

Official Transcript of Proceedings

NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Plant License Renewal Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Wednesday, September 21, 2005

Work Order No.: NRC-616

Pages 1-323

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

(ACRS)

+ + + + +

Wednesday,

September 21, 2005

+ + + + +

ROCKVILLE, MARYLAND

The Subcommittee met at the Nuclear Regulatory Commission, Two White Flint North, room T2B3, 11545 Rockville Pike, Rockville Maryland, at 8:30 a.m., John D. Sieber, Chairman, presiding.

COMMITTEE MEMBERS:

JOHN D. SIEBER, CHAIRMAN

MARIO V. BONACA, MEMBER

THOMAS S. KRESS, MEMBER

RICHARD S. DENNING, MEMBER

ACRS STAFF PRESENT:

CAYATANO SANTOS

JOHN G. LAMB, Designated Federal Official

1 TENNESSEE VALLEY AUTHORITY

2 R.G. JONES

3 RICH DELONG

4 JOE MCCARTHY

5 BOB MOLL

6 DAVE BURRELL

7 RICK CUTSINGER

8 HENRY JONES

9 KEN BRUNE

10 TOM MCGRATH

11 CRAIG BEASLEY

12 CATHERINE SUTTON

13

14 ALSO PRESENT:

15 GRAHAM LEITCH, Consultant

16 JOHN J. BARTON, Consultant

17 PAO-TSIN KUO

18 SAMSON LEE

19 RAM SUBBARATNAM

20 JOE DIAZ

21

22

23

24

25

1 ALSO PRESENT:

2 ED HASKETT

3 MARGARET CHERNOFF

4 EVA BROWN

5 BILL CROUCH

6 BOB MOLL

7 DAVE BURRELL

8 RICK CUTSINGER

9 JOE VALENTE

10 HENRY JONES

11 ROBERT JONES

12 STEVEN DART

13 THOMAS MCGRATH

14 G. CRANSTON

15

16

17

18

19

20

21

22

23

24

25

1	A-G-E-N-D-A	4
2	OPENING REMARKS	4
3	PRESENTATION BY MR. CROUCH	14
4	PRESENTATION BY MR. VALENTE	54
5	PRESENTATION BY MR. R.G. JONES	168
6	PRESENTATION BY MR. DELONG	233
7	PRESENTATION BY MR. MCCARTHY	247
8		
9		
10		
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

P-R-O-C-E-E-D-I-N-G-S

8:30 a.m.

CHAIRMAN SIEBER: The meeting will now come to order. This is a joint meeting of the ACRS subcommittees on Plant License Renewal and Plant Operation.

My name is Jack Sieber, I'm Chairman of today's meeting. With me, on my left, is Dr. Mario Bonaca, who is Chairman of the Plant License Renewal Subcommittee, the section handling the Browns Ferry application.

Other members in attendance, today, are Dr. Richard Denning, and Dr. Thomas Kress. Our ACRS consultants, Graham Leitch, and John Barton, are also present.

John Lam of the ACRS staff is the designated federal official for this meeting. Cayatano Santos, with the ACRS staff, is also in attendance to provide technical support.

The Tennessee Valley Authority voluntarily shut down all three Browns Ferry units in 1985. Units 2 and 3 were restarted in 1991, in 1995, respectively. Tennessee Valley Authority plans to restart unit 1 in May 2007.

Tennessee Valley Authority also submitted

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a license renewal application for Browns Ferry units
2 1, 2 and 3. The purpose of this meeting is to gather
3 information regarding the modifications and startup
4 activities at Browns Ferry unit 1, especially in
5 consideration of their application for license
6 renewal.

7 This will support ACRS reviews of the
8 license renewal application for Browns Ferry units 1,
9 2, and 3, as well as restart activities at that plant.
10 We will hear presentations from representatives of the
11 Tennessee Valley Authority, and the Staff.

12 The subcommittees will gather information,
13 analyze relevant issues and facts, and formulate
14 proposed positions and actions, as appropriate, for
15 deliberation by the full committee.

16 I would point out that on October 6th the
17 full committee will meet at its regular monthly
18 meeting, and will consider the salient issues that are
19 developed at today's meeting.

20 The rules for participation in today's
21 meeting have been announced as part of the meeting
22 notice previously published in the Federal Register.
23 We have received no written comments, or requests for
24 time to make oral statements from members of the
25 public regarding today's meeting.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 A transcript of the meeting is being kept
2 and will be made available, as stated in the Federal
3 Register notice. Therefore we request that
4 participants in this meeting use the microphones
5 located throughout the meeting room, when addressing
6 the subcommittee.

7 The participants should first identify
8 themselves, and speak with sufficient clarity and
9 volume, so that they may be readily heard.

10 Before we proceed with the meeting I would
11 like to introduce Dr. Mario Bonaca who, as I said
12 before, will be responsible for the plant license
13 renewal subcommittee activities. Dr. Bonaca?

14 MEMBER BONACA: Thank you. We have
15 scheduled, in fact, a subcommittee meeting to address
16 the unit 1, 2, and 3, Browns Ferry units, license
17 renewal on October 5th.

18 However, given the complexity of the
19 application, and the differences between the plants,
20 and the plans of the licensee to operate the plant,
21 there are a number of questions that have come under
22 review that would be important to clear today, so we
23 get information regarding those.

24 And that can set the stage for a more
25 effective meeting on October 5th. At least we have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 information that right now we haven't had available.
2 And, hopefully, these questions will be raised.

3 Many of them are really for the Staff, and
4 the ACRS itself. From my reading I think there are a
5 number of issues that we need to get some information
6 on.

7 One is, you know, the basic assumption has
8 been made, in the application, that operating
9 experience for units 2 and 3 is applicable to unit 1.
10 In reality, in the SER, that is not as simple as that.

11 The SER has other considerations in it
12 that may, whatever is missing from the operating
13 experience of 2 and 3, more applicable to unit 1.
14 That includes the restart inspections, that includes
15 evaluation of materials and environment dispositions.

16 It includes the use of corrective action
17 programs should something be missed. There is a full
18 articulation of elements of how you compensate for the
19 lack of total operating experience for unit 1.

20 And some of these issues are well
21 discussed. But there isn't, in the SER, anywhere that
22 I could find, and the Staff can talk about that during
23 the day, there is missing a section where this
24 philosophy is being explained.

25 I think it is important since the SER is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a communication tool for the public, too, that there
2 is a place where this issue is dispositioned. And,
3 again, there is a philosophy, through the SER, and has
4 been done. That is an issue that should be discussed.
5 Hopefully we can hear something about it today.

6 Second, the application in and of itself
7 blurs, to some degree, restart activities with license
8 renewal activities. And there is an effort, in the
9 SER, to separate them. We should talk about how
10 successful that is, and what else needs to be done to
11 address that.

12 There are issues of periodic inspections,
13 versus one time inspections, that keep recurring in
14 the SER. First of all there is a statement that says,
15 we move to periodic inspections, then there are
16 statements that talk of one time inspections.

17 So, also, these issues should be clear.
18 You can see where I'm going. I mean, by the 5th, at
19 least we will have sufficient information to know what
20 is up and what is not up, okay?

21 And so this day, I think, should be very
22 helpful to lead us to that. By the way, when I talk
23 about operating experience I was referring to the
24 experience that Browns Ferry 1 will have by the time
25 it walks into license renewal in 2013, considering

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that also will have the power operate, you know,
2 preceding that action.

3 So with that, at least we will have on
4 line some of the issues that we need to review. And
5 if there are others that members would like to bring
6 up now?

7 MR. LEITCH: I guess just one concern that
8 I have, just so that we can begin thinking about this,
9 as we move through our discussions. As I could see
10 how unit 1, how unit 2 and 3 operating experience
11 might be shown to be applicable to unit 1, if unit 1
12 was still at the original power level.

13 But the question in my mind is the intent
14 is to bring unit 1 back at the new higher power level?
15 And my question is, basically, and also with renewed
16 license.

17 So what is the basis for our operating
18 experience, for granting that renewed license, when we
19 havEn't seen unit 1 operate at all, very much. But at
20 least we could say, well, one might be able to justify
21 the unit 2 and 3 being applicable at the original
22 power level.

23 And how is that unit 2 and 3 at all
24 applicable to this new plant?

25 MEMBER BONACA: Yes, as I mentioned --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: Which is unit 1.

2 MEMBER BONACA: Same issue. And we dealt
3 with that issue, also for Dresden and Quad Cities, and
4 we asked for a report. So that is an issue that, you
5 are absolutely right, has to be addressed.

6 Because, as I said before, when you walk
7 into license renewal, in 2013, the plant will be
8 operating at almost 4,000 megawatt thermals, and not
9 at the 1,300.

10 CHAIRMAN SIEBER: Okay. Are there any
11 other questions, comments?

12 MR. BARTON: What are the project goals
13 for unit 1 that Tennessee Valley Authority has
14 documented? It is to return a unit to a better
15 condition than when it was originally licensed.

16 Now, my question is, how can you say that,
17 when some of the equipment, they've spent a lot of
18 money to replace a lot of the equipment. But some of
19 the equipment and structures are going to be some 30-
20 years old when they restart.

21 So how can you say that it is going to be
22 better than originally licensed? Does that mean when
23 it was originally licensed it wasn't in excellent
24 condition? I would like them to address that.

25 CHAIRMAN SIEBER: All right, I'm sure that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they will.

2 Before we begin with the Tennessee Valley
3 Authority's portion of the presentation, I would like
4 to ask Pao-Tsin Kuo for a statement from the staff.

5 MR. KUO: Thank you, Chairman Sieber, and
6 good morning. My name is P.T. Kuo, the program
7 director for the license renewal and impacts program.
8 I have several other staff members present here today.

9 To my right is Dr. Samson Lee, who is
10 currently the second chief for the project management
11 in license renewal program. And also next to him is
12 Radioactive material Subbaratnam, and Joe Diaz. Both
13 of them are the project managers for the Browns Ferry
14 license renewal application.

15 And I also have Dr. Hackett, project
16 director for the operating reactor, and I have project
17 managers Margaret Chernoff, and Eva Brown, so they are
18 both here, so just in case that you have any
19 questions.

20 And we have staff present here. As
21 Chairman Sieber talked about, Browns Ferry unit 1 was
22 shut down in 1985, voluntarily. But on December 31st,
23 2003, Browns Ferry Nuclear Power Station submitted
24 their license renewal application for all units, units
25 1, 2 and 3, for license renewal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 At the time of request the intent was to
2 have both license renewal applications and the EPU,
3 extended power uprate application reviewed in
4 parallel.

5 During the course of review we found some
6 difficulties in reviewing both applications, so we
7 talked to Tennessee Valley Authority, and as a result
8 of the discussion, by letter of January 7th, 2005,
9 Tennessee Valley Authority agreed to decouple the EPU
10 review from the license renewal review, so that the
11 safety review for the license renewal application can
12 be reviewed independently.

13 I just want to make that clear, that
14 although there are activities going on at Tennessee
15 Valley Authority for power uprate, but for the license
16 renewal review, we separate EPU from license renewal.

17 So the license renewal review will be
18 based on the current licensing basis, rather than the
19 120 percent power level. The license renewal review
20 is based on the current power level.

21 MEMBER BONACA: I have a question, by the
22 way, with that. Nowhere could I find in the
23 application, or the SER, where the modifications being
24 considered right now are being implemented for power
25 uprate are part of the modifications documented in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 license application and the SER.

2 MR. KUO: They may have done the
3 modifications for full power uprate, they may have.
4 But for license renewal review our focus is on the
5 current --

6 MEMBER BONACA: I understand that. But
7 throughout the SERs there are statements, from the
8 Staff, asking the licensee what components have been
9 changed, and what have not been changed.

10 Now you have this information, we haven't
11 got it yet, because the SER is not clear. That is why
12 I have this question, and I would like at some point
13 somebody tells me what is reflected in the license
14 renewal application and the SER, does it include the
15 modification for power uprate, or not.

16 MR. KUO: We plan to clarify that in the
17 October 5th meeting.

18 MEMBER BONACA: Good, that is fine.

19 MR. SUBBARATNAM: This is Ram Subbaratnam,
20 project manager. In the principal review matters of
21 the SER, on section 1.3, the first bullet and the
22 second bullet, clearly depicts the concept of the
23 philosophy how the view has been done for the SER.

24 How they decoupled the power uprate from
25 the license renewal. Then we also talk about the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 missing components, how the current licensing basis of
2 unit 1 will be made compliant with unit 2 and 3.

3 See we kind of briefly described the
4 philosophy in that particular part. Tennessee Valley
5 Authority in today's presentation, when they describe
6 the hardware changes, that they have made for unit 1,
7 they will probably try to show you what those hardware
8 changes are, how many of them incorporate the
9 modifications, the need for the proposed power uprate.

10 I think the details will come out in the
11 wash when they are discussed today.

12 CHAIRMAN SIEBER: Okay.

13 MR. BARTON: Mr. Chairman, I have one more
14 I forgot to mention.

15 CHAIRMAN SIEBER: Okay.

16 MR. BARTON: I would like the licensee to
17 describe, in his restart program, why there is no
18 transient testing planned. I don't understand how you
19 can start, basically a new plant without doing some,
20 run back some trips, and throw significant power
21 levels.

22 And I assume, from their comments, they
23 don't plan to do that. So I would like them to
24 address that.

25 CHAIRMAN SIEBER: Okay, I'm sure they will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when the time comes. Any other questions or comments
2 from the ACRS members?

3 MR. KUO: I just want to say that on
4 August 9th, 2005, we finished our draft, not draft,
5 our Safety Evaluation Report with open items, and we
6 subsequently forwarded it to the members of the ACRS
7 committee.

8 And there is a meeting scheduled for the
9 subcommittee on October 5th, as the Chairman mentioned
10 before. And my understanding was that the meeting had
11 a visit, at the planned site, on August 23rd of this
12 year. And this meeting is a follow-up meeting for the
13 Tennessee Valley Authority to provide an overview, to
14 the members, all the Tennessee Valley Authority
15 activities, including license renewal.

16 And that the Staff was not prepared to
17 make any presentation today.

18 CHAIRMAN SIEBER: Thank you. I notice
19 that our agenda consists entirely of TVA speakers,
20 which is fine. They possess the information that we
21 are soliciting at this point in time, and I'm
22 absolutely sure that coupled with our visit, in
23 August, to the plant site, today's meeting, and next
24 month's meeting, that we will gather, hopefully,
25 sufficient information for us to decide whether an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interim letter is appropriate, or not, and whether
2 issues need to be more thoroughly addressed by the
3 Applicant and the Staff.

4 So with that I appreciate the fact that
5 the Tennessee Valley Authority people are here, and
6 that the Staff has supported this meeting. And what
7 I would like to do at this time is to introduce Mr.
8 Crouch, of Tennessee Valley Authority, who will start
9 off by giving us regulatory background.

10 I think while you are getting ready I will
11 mention a couple of things. The ACRS has a statutory
12 responsibility to review certain things, of which
13 license renewal is one, and extended power uprate is
14 another one.

15 We do not have a statutory responsibility
16 to review the restart activity. On the other hand we
17 have a great interest in that because it is a unique
18 occurrence, so far, in the fleet of plants.

19 MR. KUO: Mr. Chairman, before they start
20 could I make one other comment?

21 CHAIRMAN SIEBER: Okay.

22 MR. KUO: I have Dr. Samson Lee here, and
23 this may be his last ACRS meeting presence. He is
24 moving on to other bigger and better things. But I
25 just want to recognize his contribution to the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal program.

2 CHAIRMAN SIEBER: Thank you.

3 MR. CROUCH: My name is Bill Crouch, I'm
4 the site licensing and industry repairs manager at
5 Browns Ferry nuclear plant. I want to thank you for
6 the opportunity we have to come and talk to you, and
7 tell you about the story that we have for Browns
8 Ferry.

9 Browns Ferry unit 1 is a plant that is in
10 recovery, and we are very proud of what is going on
11 there, and we want to talk to you about that. We have
12 brought a team, our core team of unit 1 recovery, that
13 as, Dr. Sieber said, we have all the knowledge that
14 maintains unit 1, so we want to talk to you about it.

15 Let me tell you a little bit about the
16 team members that we have here. We have brought Joe
17 Valente, who is our unit 1 engineering manager. And
18 I will talk a little bit more about these people as we
19 come to them, in the time of their presentation.

20 We have R. G. Jones, who is the restart
21 plant manager. We have Rich Delong, who is the unit
22 2, 3 and overall site engineering manager. We have
23 Joe McCarthy, who is with me, who is part of my
24 licensing staff. Joe will also be helping me to run
25 the slide presentation today, and make some of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 presentations.

2 We have also brought along with us other
3 people who are part of the core team of the unit 1
4 recovery. We have Bob Moll, Dave Burrell, and Rick
5 Cutsinger, who are the mechanical, electrical, and
6 civil aspects of our engineering team.

7 We have Henry Jones, who is also in the
8 unit 1 engineering staff, who has been a long time
9 person as part of the Browns Ferry engineering effort.
10 Ken Brune is the program manager for license renewal,
11 Tom McGrath, who is the unit 1 operational readiness
12 manager, and we have Craig Beasley, who is our public
13 relations person for Browns Ferry.

14 We also have Catherine Sutton with us from
15 Morgan Lewis & Boccius. That is our overall team that
16 we have here.

17 Let me tell you, this team was pulled
18 together specifically for the purpose of doing unit 1
19 recovery. We have been together, as a team, during
20 unit 2 recovery, and unit 3 recovery, and now unit 1
21 recovery.

22 So this is something we have done before,
23 we have a vast amount of experience on what it takes
24 to recover a unit, and we are taking the experience
25 from what we have done, from two previous times, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we are applying it to this unit 1 recovery.

2 Overall, if you look on page 1 of your
3 handout, I will briefly talk about what kind of agenda
4 we are going to go through. First of all I will go
5 through and present some information about the
6 regulatory history of Browns Ferry, the regulatory
7 background behind license renewal, and EPU.

8 Then after we get done with that, Joe
9 Valente, and R. G. Jones, will talk to us about what
10 we are doing to actually recover unit 1. As we put
11 here, how to make unit 1 operate the same as units 2
12 and 3. There will be strong fidelity between the
13 three units once this is over with.

14 Then we will move on to the license
15 renewal aspects, talk about what we are doing for unit
16 1 and unit 2 and 3 license renewal, to extend the life
17 of this plant from 40 years out to 60 years.

18 Then as Dr. Kuo said, this is an
19 application for license renewal. The application for
20 EPU is a separate application. But, obviously, there
21 is impact from EPU operation, back on license renewal.
22 And while we are not specifically here to present the
23 full details of EPU, we are going to talk about the
24 impact of EPU on license renewal, so that it is
25 addressed upfront.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then, obviously, as we get along,
2 further on down the licensing road, as we start
3 talking about EPU, in particular, we will come back to
4 this once again.

5 That is our overall plan for how to get
6 through the day. You had sent us a series of
7 questions. We have woven those questions into the
8 presentation. Some of them are included directly on
9 the slide, you will see the answers.

10 Others are part of the backup information
11 we will give, as we are talking along. If we get to
12 a topic and you still have questions about something,
13 we will address that, at that time.

14 So we intend to go through all the
15 questions that were given to us. With the exception
16 of one of them, which is really a question for the
17 NRC, it is a question about what inspections will be
18 done.

19 And so that will be addressed at the
20 October 5th, 6th meeting, by the NRC staff. Any
21 questions before we get started?

22 (No response.)

23 MR. CROUCH: If you will turn to page 2 in
24 your handout, as Dr. Kuo talked about, there are three
25 major issues before Browns Ferry. The license renewal

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 for Browns Ferry was submitted as unit 1, 2, 3 license
2 renewal, and it was submitted at current license
3 normal power.

4 The reason it was done at current license
5 normal power was that that is what we are licensed
6 for, right now, and if we address license renewal at
7 EPU type conditions, the NRC staff was concerned that
8 approving license renewal under those conditions would
9 be an implicit approval of EPU.

10 So we intentionally separated the two
11 apart. So when you read the license renewal
12 application it is written only at current licensed
13 normal power. And as we will talk, that is a
14 different value for unit 1, than for 2 and 3.

15 But the real basis of the license renewal
16 application is the current license normal power, and
17 the current licensing basis for the plant. Then we
18 submitted --

19 MR. LEITCH: And what is the design,
20 though, that is discussed in the license renewal
21 application? Is it the specifics of the material, and
22 so forth, is it as the plant is, or was, or will be?

23 MR. CROUCH: It is discussed as the plant
24 will be when it restarts.

25 MR. LEITCH: Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH: We will go through and talk,
2 there has been a tremendous amount of material
3 replacements, piping, tubing, cabling, everything.
4 And what is in the license renewal application is for
5 the new material that will be in there.

6 MR. LEITCH: Now, that is true for unit 1.
7 Now, is that also true for unit 2 and 3? In other
8 words, further down the road materials are going to be
9 changed on unit 2 and 3 to make it like unit 1, right?

10 MR. CROUCH: On unit 2 and 3, rather than
11 saying materials will be changed, components will be
12 changed to make it like unit 1. When we do EPU, for
13 instance, on unit 2 and 3, when we go and install new
14 pumps, or new whatever components are required to
15 achieve the EPU conditions, that will be addressed as
16 part of the EPU mod for units 2 and 3, to put those
17 in.

18 MR. LEITCH: So we are looking at the
19 license renewal application, then, the application is
20 based on unit 1 as it will be in May '07?

21 MR. CROUCH: That is right. And as units
22 2 and 3 will be in May '07.

23 MR. LEITCH: Oh, as they will be in May
24 '07.

25 MR. CROUCH: That is right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: Which will probably be as
2 they are now, right?

3 MR. CROUCH: That is correct. The EPU
4 implementation for units 2 and 3 happen just after
5 unit 1 restart.

6 MEMBER BONACA: Although you do not
7 address the EPU, which I understand, but then the
8 components that you are addressing, in the license
9 renewal, are those that you already have, will replace
10 for the EPU.

11 I mean, you have a larger, certain larger
12 components that you have installed, okay? So those
13 are reflected in the license renewal application, I
14 mean?

15 MR. CROUCH: That is right, for unit 1.

16 MEMBER BONACA: And the reason is that the
17 materials and the environment will be the same whether
18 or not they are larger?

19 MR. CROUCH: That is right.

20 MEMBER BONACA: So the only issue that is
21 left is, you know, issues tied to the EPU performance
22 which means, essentially, the environmental conditions
23 are going to be different, but --

24 MR. CROUCH: That is correct. And when we
25 get, later in the afternoon, when we get to the EPU,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we will talk about the fact that when you go to EPU
2 there is not, really, a tremendous change to the plant
3 that happens, as far as license renewal is concerned.

4 There is only a handful of systems that
5 experience increased flows, pressures, and in a few
6 cases temperatures. And that is all handled by
7 existing aging management programs.

8 MEMBER BONACA: Well, you may remember
9 that in the Dresden and Quad Cities we established a
10 requirement that a plant that goes to EPU, after
11 achieving EPU, and before entering the operation,
12 perform an evaluation of the impact of moving to EPU
13 on license renewal commitments, and incorporate, and
14 present that.

15 So that, as a minimum, would have to be
16 done anyway, because now it is engulfed, it is one of
17 the -- okay.

18 MR. CROUCH: So as we talked about, there
19 are three major issues that are going to be done
20 sequentially in approval space, so that they are
21 discrete components, as we go along.

22 We will have our approval for license
23 renewal, we will have an approval for EPU, and we will
24 have approval for unit 1 restart. This is all
25 coordinated through the NRC staff, as we started this,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as Dr. Kuo talked about.

2 We recognized that we had to do this in a
3 planned fashion. And so as we go through this, as
4 you've already mentioned, the ACRS staff will be
5 needed to give an approval for the license renewal,
6 and EPU applications.

7 Then the NRC staff will be required to
8 approve the unit 1 restart, and license renewal, and
9 EPU. We have the NRC staff working on that now.

10 And then, finally, when we get ready to
11 restart unit 1, the process for restart will be
12 governed under a manual chapter, that we will talk
13 about a little bit later, and it will require NRR, and
14 regional approval to restart unit 1.

15 To give you a little bit of regulatory, or
16 history type background for Browns Ferry, so that
17 everybody is on the same page as to what Browns Ferry
18 looks like.

19 All three Browns Ferry units are General
20 Electric boiling water reactors, with a Mark 1
21 containment. The original plan was to construct a two
22 unit plant, units 1 and 2, and then unit 3 was an add-
23 on unit, after the unit 1 and 2 got conceived.

24 And so they are all integrated together.
25 There is shared components back and forth between the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 three units. And we have recognized that as part of
2 our license renewal and EPU applications.

3 The plants were designed and constructed
4 by Tennessee Valley Authority. Unit 1 and 2 were
5 licensed in 1973 and 1974, respectively. As everyone
6 was probably familiar with Browns Ferry, knows about
7 the fire that occurred in 1975.

8 At that time both of the operating units
9 were shut down. Unit 3 was still under construction
10 at that time. Unit 1 and 2 were returned to service
11 in 1976, and operated until 1985.

12 One of the questions that has come up,
13 through various avenues is, is this unit 1 recovery
14 actually recovering from the fire? No, it is not. As
15 it says here, unit 1 was recovered, and it operated
16 after the fire.

17 So this is not a fire recovery type
18 restart that we are going through now. Unit 3 was
19 licensed in 1976, and then operating until 1985. The
20 final bullet down there gives approximate years of
21 operations.

22 This is in calendar years, not in
23 effective full power years. And this includes the
24 time before the fire, and then after the fire. So
25 unit 1 was approximately ten years of operation; unit

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2 and 3 as shown there is 23 and 18 years,
2 respectively.

3 Moving on to page 4. As was discussed at
4 the initial meeting, all three Browns Ferry units were
5 shut down in March of 1985 because of regulatory and
6 management issues. We had not come up to the current
7 standards on all the various regulatory issues, and it
8 was perceived that we had management problems.

9 Shortly after we shut down the NRC issued
10 a show-cause letter for all the Tennessee Valley
11 Authority plants, and requested Tennessee Valley
12 Authority to specify the corrective actions that would
13 be taken to restart.

14 In response to that Tennessee Valley
15 Authority submitted a three volume nuclear performance
16 plan in August of 1986. And it outlined the steps
17 needed to restart the units.

18 And this is a three volume document. The
19 first volume specified overall corporate changes that
20 needed to be made. Volume 2 was the Sequoia restart
21 plan, and volume 3 was the Browns Ferry nuclear
22 performance plan. It outlined the things that Browns
23 Ferry had to do to get restarted.

24 Overall what we need to do is management
25 and organizational changes that had to be made.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Process and program improvements, and it also outlined
2 special programs that were technical issues.

3 The process and program improvements
4 include such things as improving our design control
5 program. At that point in time we were operating
6 under a two drawing system, and we have now gone to a
7 single drawing system.

8 We have improved our corrective action
9 program, we put additional controls in our maintenance
10 programs, lots of things like these that were
11 organizational and management type changes, that fed
12 down into the processes and programs, to make sure
13 that we were operating the plant in a controlled
14 manner.

15 We also had several special programs that
16 were culled out. These were technical programs, such
17 things as seismic programs, appendix R, EQ, etcetera.
18 And we will talk about those in more detail later on.

19 So the nuclear performance plan gave the
20 overall plan for how to restart Browns Ferry. At that
21 point in time we committed that we would obtain NRC
22 approval prior to restart of any of the units.

23 CHAIRMAN SIEBER: Just one quick question.
24 The incident that seemed to be a precursor to some of
25 the issues that came up in the 1970s, and early 1980s

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was the fire.

2 And it seems to me, at the age that those
3 plants are, appendix R plants, or otherwise?

4 MR. CROUCH: Yes. For units 2 and 3 we
5 are in compliance with appendix R.

6 CHAIRMAN SIEBER: You are in compliance
7 today?

8 MR. CROUCH: We are in compliance today.
9 There are five exemptions out there, and Joe can talk
10 about those when he gets up here.

11 CHAIRMAN SIEBER: Okay, I would like to
12 hear what the exemptions are.

13 MR. CROUCH: He has all that. And then
14 unit 1, up until now, it has been treated as a single
15 fire zone, as part of the units 2 and 3 appendix R
16 plan, it will be brought up to be in compliance with
17 appendix R as part of the restart.

18 CHAIRMAN SIEBER: But the way it was, when
19 it was shut down, it was not in compliance?

20 MR. CROUCH: It was not in compliance with
21 appendix R when it was shut down.

22 CHAIRMAN SIEBER: That is what I thought.
23 And so you will address some of these details a little
24 later on?

25 MR. CROUCH: Yes. Joe has all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 exemptions, he can talk to them in detail.

2 CHAIRMAN SIEBER: Okay, thank you.

3 MR. CROUCH: Page 5, as part of recovery
4 Tennessee Valley Authority implemented the unit 2
5 restart plan, we obtained a concurrence with the NRC
6 to restart Browns Ferry unit 2 in May of 1991.

7 At that point in time we recognized that
8 we were going to restart unit 3. And so we took all
9 the lessons learned that we had, as well as
10 recognizing the fact that there was a large amount of
11 regulatory documentation that had to occur.

12 And we put together that into a proposed
13 regulatory framework document, that outlined how we
14 would go about restarting unit 3. We took all these
15 lessons learned from unit 2, and put them in, and made
16 the regulatory framework for unit 1 and 3.

17 That framework was approved in April of
18 1992. At about that same time unit 2 was removed from
19 the Problem Plant List. That was shortly after
20 restart.

21 Tennessee Valley Authority implemented the
22 unit 3 restart plan, and then we restarted unit 3 in
23 November of 1995, after obtaining NRC concurrence. In
24 1996 the NRC removed both units 1 and 3 from the watch
25 list.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And if you saw the previous page, it was
2 called the Problem List, and by 1996 the terminology
3 had simply changed, and it was now called the watch
4 list. But it was the same list, basically.

5 And so unit 1 was removed based upon a
6 commitment that we would implement the same programs,
7 and processes that was employed for the unit 3
8 restart. And we were not to restart until we obtained
9 NRC concurrence.

10 So that gave us an overall plan for unit
11 1, back in 1996. We did not start working on unit 1
12 at that time, but the plan existed. After unit 3 got
13 restarted we had the first of four consecutive INPO 1
14 ratings received in 1998.

15 We had proven our ability to operate the
16 plant safely, and it was recognized by these INPO 1
17 ratings.

18 MR. BARTON: That was just one unit at the
19 time, or that was a station rating?

20 MR. CROUCH: That was a station rating.
21 So moving forward in time to late 2001, early 2002,
22 there was a, due to the need for power, the Tennessee
23 Valley Authority board commissioned a study to be done
24 to look at the feasibility of restarting unit 1.

25 And after a detailed study of the overall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 process of restarting, and providing a supplemental
2 impact statement, it was decided that it was
3 economically feasible, and economically advantageous
4 to restart unit 1.

5 As part of that study the issues of
6 license renewal and extended power uprate were folded
7 into those decisions. Obviously operating the plant
8 for 20 more years gives you 20 more years for time to
9 recover your investment.

10 And with extended power uprate you get
11 more power output and hence more return on your
12 investment. So those two programs were integral to
13 the decision to restart Browns Ferry unit 1.

14 MEMBER BONACA: I have a question
15 regarding the decision in 2002. When I look at the
16 license renewal application, was prepared about the
17 same time.

18 So at the time, really, you had not yet
19 made decisions on how much piping you would replace,
20 what kind of systems you would modify, etcetera. I
21 mean, you couldn't possibly have done that, because
22 you were scoping.

23 So as I was trying to review the
24 application I was asking, in my mind, how much has it
25 changed, in the application, between then, when it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 submitted, and for unit 1, again, everything was more
2 an idea than reality.

3 And today, that is reflected in the SER.
4 I mean, when I look at the SER, it speaks of something
5 that is there, or is being developed. And I'm
6 wondering, if you went back to the application now,
7 and modified that, you would have substantial changes
8 in it, wouldn't you?

9 I'm not asking you to do that. I'm only
10 saying --

11 MR. CROUCH: The license renewal
12 application was started, originally, for units 2 and
13 3 only. And when we got to the point of deciding that
14 we would restart unit 1, we backed up a little bit and
15 included unit 1 in the license renewal application.

16 MEMBER BONACA: And you did that by adding
17 those commitments in the appendix F?

18 MR. CROUCH: Adding commitments --

19 MEMBER BONACA: Which would bring them
20 back into compliance with the licensing basis, and so
21 on and so forth. So I'm just trying to understand,
22 however, about the physical changes.

23 Because when we came to Browns Ferry in
24 August, you know, you pointed out that you made a lot
25 of physical changes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH: Right.

2 MEMBER BONACA: Piping, in cabling, and so
3 on and so forth. Now, to what extent are those
4 changes going to affect the commitments in license
5 renewal? For example, you may have something that is
6 made of chrome alloy piping, okay?

7 There is no justification for you to do an
8 inspection of that now because that piping is
9 impervious to certain type of aging degradation. So
10 that is a change I can see there.

11 And I'm left wondering because the
12 document, as I said, it reflects 2002, and not today.

13 MR. CROUCH: As I said, the decision to
14 restart unit 1 was made, officially, in 2002.
15 However, the team was obviously pulled together well
16 before that, and starting to work.

17 And so by the time 2002 came along we
18 already had a very good handle on what we were going
19 to replace from a piping standpoint, cabling
20 standpoint, etcetera, etcetera.

21 And so then by the end of 2003, when the
22 actual license renewal application went in, we had an
23 extremely good handle on what was going to be
24 replaced.

25 So it reflects, between the license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal application, plus the other information that
2 has been traded back and forth in the request for
3 additional information, it has a very good description
4 of what the plant will look like at the time of
5 restart.

6 MEMBER BONACA: Yes, okay. Yet, you know,
7 when I look at some of the requests for additional
8 information, I see an evolution of answers on the part
9 of Tennessee Valley Authority, an evolution of answers
10 that seem to be associated with the changes you were
11 implementing.

12 For example, in some case, you know, you
13 were hitting a hard wall, with the NRC, on some issue.
14 And then you communicated that you were replacing the
15 piping. That killed the issue. That is how it was
16 resolved, the issue.

17 I guess what I'm wrestling with is the
18 difficulty that one has, as a standard reviewer, not
19 participating in this interaction in understanding,
20 really, where we are today. That is one of the
21 complexities of the application. Okay, thank you.

22 MR. LEITCH: Just to phrase the question
23 differently and maybe add a little specificity to it.
24 I think there are a number of places where units 2 and
25 3 have carbon steel piping. And on unit 1 you are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 replacing that with chrome alloy piping.

2 Now, when we look at the license renewal
3 application, is that difference clear, and the aging
4 management programs for unit 1 would be based on the
5 chrome alloy piping, and the programs for 2 and 3
6 based on the carbon steel piping, is that the way it
7 is set up?

8 MR. CROUCH: Well, you typically put
9 chrome alloy piping in places like extraction steam,
10 and steam lines, like coming off the HPCI turbine,
11 that kind of stuff. All that is already being replaced
12 in units 2 and 3.

13 We are catching up to them. They have
14 replaced that over the last two years. And so we will
15 be -- they don't have carbon steel in those locations.
16 If they do, the only part that is left is part of
17 replacements that will occur before the period of
18 extended operation.

19 MR. LEITCH: Okay, so that is the case
20 where units 2 and 3 are really ahead of unit 1, and
21 unit 1 is catching up?

22 MR. CROUCH: What we did, when we started
23 unit 1, is we recognized that a lot of the piping in
24 unit 1, specifically extraction steam, had not
25 operated for many years, like we talked about.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: Right.

2 MR. CROUCH: Only ten years of operation.
3 And it was probably acceptable such that we could have
4 gone out and operated unit 1 for 1, 2, 3, or 4
5 additional cycles without having significant problems
6 in the extraction steam piping.

7 But we decided to take a proactive
8 approach, go in and take the old carbon steel piping
9 out, and put in chrome alloy piping at this time, so
10 that it would ensure successful operation of the plant
11 for a long period of time.

12 So we, even though it was not absolutely
13 required replacing this pipe, we went ahead
14 proactively and replaced it, just so we would
15 implement the same lessons learned as what we had seen
16 on 2 and 3.

17 MEMBER BONACA: That is an important
18 issue. When we came to Browns Ferry it wasn't clear
19 at all, to me, that you had done those changes on
20 units 2 and 3.

21 MR. CROUCH: Yes, on units 2 and 3 they
22 have been making the same, like for example on the
23 extraction steam pipe, they have been going through,
24 incrementally, and changing out the extraction steam
25 piping and putting in the chrome alloy piping.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: Okay.

2 CHAIRMAN SIEBER: You supplied us with a
3 list of piping examinations and changes for unit 1.
4 Do you have a similar list for units 2 and 3, and
5 would that be helpful to you, Dr. Bonaca?

6 MEMBER BONACA: Yes.

7 CHAIRMAN SIEBER: These sorts of things?

8 MEMBER BONACA: Yes.

9 MR. CROUCH: As far as pipe changeouts in
10 2 and 3, you are talking about pipe changes that have
11 been made in the past?

12 CHAIRMAN SIEBER: Yes.

13 MR. CROUCH: We can get that together, we
14 don't have it here today, with us.

15 CHAIRMAN SIEBER: Well, I'm not sure
16 whether it would be valuable enough for us to have it,
17 to have you put forth the effort to produce it.

18 MR. CROUCH: Basically we have changed, I
19 don't know how familiar you are with our plant, but we
20 have changed the number 2, 3, 4, and 5 extraction
21 steams out to chrome alloy pipe, both outside the
22 condenser, and inside the condenser.

23 There is a small amount of piping inside
24 one of the condensers, I have forgotten which one,
25 that when we originally changed it out, we put in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 carbon steel, again, and that is in the process of
2 being replaced, again, with chrome alloy.

3 So very shortly here all of the, number 2,
4 3, 4, and 5 extraction steam pipings in Browns Ferry
5 2 and 3 will be replaced with the chrome alloy.

6 CHAIRMAN SIEBER: Well, I'm not going to
7 ask you for those lists, at this time. I personally
8 don't feel I need them, but if another member, or the
9 Staff would need them, they can let us know.

10 MEMBER BONACA: That is fine, I don't need
11 them. I would like to --

12 CHAIRMAN SIEBER: This is very helpful, by
13 the way, for our better understanding of what you are
14 doing.

15 MR. CROUCH: At each person's place,
16 there, you have three separate handouts, in addition
17 to the book. And let me just tell you what they are,
18 as we go through it. And Joe will talk about these
19 more in detail.

20 The first one looks like this, it is a
21 multiple page printout that lists all the DCNs that we
22 have done to restart unit 1.

23 CHAIRMAN SIEBER: Right.

24 MR. CROUCH: You also --

25 CHAIRMAN SIEBER: This is something we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 asked for in August.

2 MR. CROUCH: That is something you asked
3 for in August, and you were given a copy of that in
4 August.

5 CHAIRMAN SIEBER: Right.

6 MR. CROUCH: You also have another handout
7 that looks like this, that is the piping system
8 replacements. And it goes through and kind of
9 describes where we replaced pipe, and what material we
10 have used.

11 This particular table is an excerpt from
12 one of the requests for additional information
13 responses that we made. If you need to know which
14 one, I've got the letter here.

15 Then you have another handout that lists,
16 it looks like this, that contains the NDE examinations
17 that were done on various piping systems.

18 CHAIRMAN SIEBER: Yes, those documents
19 give us a much better understanding of what it is that
20 you are doing, and what condition the plant is in.
21 Thank you.

22 MR. CROUCH: If anybody in the audience
23 needs them, they are back on the back tables, the same
24 documents.

25 MR. LEITCH: A question about that first

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 handout, the description of the modifications, in the
2 units 2 and 3 related column, most places it says Y,
3 which I guess means yes, but I'm not exactly sure what
4 yes means in that sense.

5 MR. CROUCH: What this table is saying,
6 let's just start from the left side, and work across,
7 the first column is entitled system and design change.
8 It lists the name of the system, DCN gives a number,
9 that is the design change notice, and a number, it is
10 a sequential number that goes through and lists them.

11 And, obviously, you've got the description
12 of the change. As you see, there is, we didn't try to
13 put all this in the slides. Many, many, too much
14 change to talk about.

15 Then the final column, over there, where
16 it says unit 2/unit 3 related DCN yes or no. What
17 this is telling you is, was there a related unit 2 or
18 unit 3 dcn done as part of either unit 2 recovery, or
19 subsequent to units 2 and 3 recovery.

20 So that what we are showing you is that we
21 are doing the very same things that was done on units
22 2 and 3 to get to this point.

23 MR. LEITCH: So why in that column, I just
24 want to be clear on that point, why in that column --

25 MR. CROUCH: That is what I'm getting to.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LEITCH: Okay.

2 MR. CROUCH: There are a few DCNs, and I
3 think they are, primarily, all the way to the back,
4 where you see some nos. And the reason there is nos,
5 this is, primarily, the EPU related mods. And they
6 have not been done, yet, on units 2 and 3.

7 Unit 1 is the lead unit, so we are not
8 copying a units 2 and 3 DCN. We are the lead, and
9 they are actually copying us now.

10 MR. LEITCH: So Y means that it has
11 already been done on units 2 and 3?

12 MR. CROUCH: That is correct.

13 MR. LEITCH: Okay.

14 MR. CROUCH: It has already been done.

15 MR. LEITCH: Okay, got you. Thank you,
16 that helps.

17 MR. CROUCH: Any other questions before I
18 move on?

19 CHAIRMAN SIEBER: No, you can move on.

20 MR. CROUCH: I'm on page 7 of the
21 presentation. As we talked about, we had a regulatory
22 framework for unit 1 that was originally created back
23 in the 1996 time frame. As we got closer to unit 1
24 restart we decided we needed to take the lessons
25 learned that we had from units 2 and 3 operation,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 since restart, as well as what was in there for the
2 restart efforts.

3 And we went through and improved the
4 regulatory framework letter. We also included all the
5 more recent regulatory issues that had come up, if
6 there was new bulletins, generic letters, etcetera,
7 etcetera. Those were all added in there.

8 So it represented a complete picture of
9 all the regulatory issues that had to be addressed
10 prior to unit 1 recovery. And this was submitted in
11 December of 2002.

12 As part of that, not only did it lay out
13 things like bulletins, generic letters, it also laid
14 out all the technical specification changes that we
15 would need in order to bring unit 1 into compliance
16 with units 2 and 3.

17 It was our intention to make, as we will
18 talk about more, our intention was to have one FSAR,
19 one consistent set of tech specs, so that the plants
20 would operate the same, so the operators were
21 operating, essentially, one plant no matter which unit
22 they were on.

23 The overall process for NRC oversight of
24 the restart effort is outlined in manual chapter
25 25.09, which is entitled Browns Ferry unit 1 restart

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 project inspection program.

2 And it is this restart oversight will be
3 applicable to unit 1 until it is possible that we can
4 transition into the regulatory oversight process for
5 all the cornerstones.

6 This manual chapter establishes the
7 restart oversight panel, and it is tentatively
8 scheduled to begin this fall, sometime. It will be,
9 from what I understand, it will be chaired by a
10 gentleman out of the region. It will have members on
11 it from the region, from NRR, and several other
12 outside people and stuff like that.

13 So it will be -- the NRC method of
14 overseeing what we are doing for unit 1 restart. In
15 addition to this restart oversight panel, we have
16 resident inspectors at Browns Ferry unit 1 right now,
17 that are dedicated to unit 1, that are overseeing our
18 efforts.

19 The final outcome of this manual chapter
20 25.09, as I talked about earlier, will be the
21 recommendation for restart that will come from a
22 combination of the region and the NRR people.

23 Moving on over to page 8. As we talked
24 about, the license renewal application was submitted
25 on December 31st of 2003 and it was for all three

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 units.

2 As we said, it was originally started for
3 units 2 and 3, we backed up and included unit 1, so it
4 would include all three units. That would ease the
5 process of review for the NRC, and it would ease our
6 process of implementing the programs to make them all
7 the same.

8 The license renewal application document
9 was prepared and was consistent in format and content
10 with the generic aging lessons learned, the GALL
11 document.

12 The aging management programs, as we will
13 talk about a little later on, they also have been
14 prepared consistent with the GALL document. There are
15 certain exceptions and enhancements, compared to the
16 GALL.

17 Primarily these enhancements are places
18 where we actually operate or inspect to a later
19 program than what is called out in the GALL.

20 CHAIRMAN SIEBER: What version of GALL are
21 you using?

22 MR. CROUCH: The application was based
23 upon REV-1.

24 CHAIRMAN SIEBER: Okay.

25 MR. CROUCH: Ken agrees, it is REV-1.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: Okay.

2 MR. CROUCH: The current plan for license
3 renewal approval is in approximately May of next year.
4 Extended power uprate application was submitted on
5 June 28th for unit 1, and June 25th, 2004 for units 2
6 and 3.

7 These were not submitted as one combined
8 application because units 2 and 3 had previously been
9 uprated five percent, unit 1 had not been uprated.

10 CHAIRMAN SIEBER: Right.

11 MR. CROUCH: When units 2 and 3 were
12 uprated five percent, we increased the pressure 30
13 PSI, so that that changed the method, the way the
14 plant operates.

15 So the EPU applications are separate for
16 unit 1 versus units 2 and 3.

17 CHAIRMAN SIEBER: Now, I take it those are
18 constant pressure uprates?

19 MR. CROUCH: For units 2 and 3 it will be
20 a constant pressure uprate.

21 CHAIRMAN SIEBER: At the elevated
22 pressure?

23 MR. CROUCH: At the elevated pressure.

24 CHAIRMAN SIEBER: And so the final steam
25 conditions, for the units, will be slightly different

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from one unit to another at the final power rating?

2 MR. CROUCH: No, we will increase the
3 pressure --

4 CHAIRMAN SIEBER: You will bring that up
5 another 30 PSI?

6 MR. CROUCH: Yes, we want them to run the
7 same, we want them to be operationally the same.

8 CHAIRMAN SIEBER: So you won't, strictly,
9 be able to use the topical for the CPU?

10 MR. CROUCH: No, even the units 2 and 3
11 EPU was not submitted under the CLTR, which is
12 constant pressure power uprate. We submitted it under
13 the extended ELTR topical.

14 CHAIRMAN SIEBER: Okay.

15 MR. CROUCH: The reason being was that as
16 we originally started into it, we were going to use
17 the CLTR, but we were also undergoing a fuel change.
18 And so it was discussed that the CLTR was not
19 applicable to a fuel change plant.

20 So we submitted it under the ELTR.

21 CHAIRMAN SIEBER: I think what you are
22 doing is complicated, in that in the final analysis
23 will end up being the wise choice.

24 MR. CROUCH: The EPU applications for both
25 unit 1 and units 2 and 3, were consistent with GE's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 extended power uprate topical reports. This is the
2 ELTR-1 and ELTR-2.

3 When we initiated our efforts to do
4 extended power uprate, not only did we follow the ELTR
5 in format and content, but we also went out and got
6 all of the requests for additional information from
7 any other plant that had undergone an EPU, as well as
8 looking at their specific application.

9 And we took all the lessons learned, and
10 folded it into our document. So our EPU applications
11 are bigger in scope and content than what would just
12 strictly be required by the ELTR-1 and 2.

13 As I talked about, unit 1 is a separate
14 submittal because of the previous five percent uprate.
15 We expect to receive approval for the EPU in
16 approximately May of 2007, which is just prior to unit
17 1 restart.

18 MEMBER BONACA: I have a question. Go
19 ahead.

20 CHAIRMAN SIEBER: These units are what,
21 BWR-4s?

22 MR. CROUCH: BWR-4s.

23 CHAIRMAN SIEBER: So that is the slope
24 steam drier?

25 MR. CROUCH: Yes, we have the slope steam

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 driers.

2 CHAIRMAN SIEBER: Okay. Go ahead.

3 MEMBER BONACA: The question I have is,
4 you know, you are giving your presentation addressing
5 the units 2 and 3, the attempt to make unit 1
6 identical, licensing wise, as the other units, and so
7 on.

8 Again, by the time the plant goes into
9 license renewal we will have seen 10 or 11 years of
10 operation, 22 years of lay-up, the power uprate of 20
11 percent, and about five or six years of operation of
12 the power level.

13 So it will have an operating history that
14 is substantially different from units 2 and 3.

15 MR. CROUCH: Right.

16 MEMBER BONACA: And I think you are
17 recognizing the application, and the interaction for
18 the SER, when you do have, for example, all those
19 evaluations in section 3.1 of the SER, where you are
20 addressing, specifically, potential latent effects of
21 lay-up through inspections now, and those you are
22 committing to inspections later in the licensing
23 period, or somewhere -- I have to understand that.

24 So you really are recognizing the
25 differences, and you are recognizing the importance of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing those kinds of testing. Also you are, in some
2 areas, the NRC credits the corrective action program
3 for whatever is going to be missed, it is going to be
4 captured, hopefully, by the corrective action program.

5 Again, what troubles me at this stage, of
6 the review, is the fact that nowhere in the
7 application, or the SER, there is a coherent
8 description of this aggregate elements to bring, to
9 make the operating experience of units 2 and 3
10 acceptable for unit 1.

11 Because that is a sticking issue. I mean,
12 simply, you know, if you look at the Statement of
13 Consideration of the Rule it speaks very strongly of
14 the importance of the 20 years of experience behind
15 the plant, and that specific operating experience.

16 I think, again, an effort is being made.
17 But, you know, I haven't seen in the application,
18 anywhere, a statement that says it will be applicable
19 because not only we have similarities, of course, in
20 materials and environments, and so on and so forth,
21 but also we are doing the following inspections, we
22 are doing the following etcetera, etcetera, which will
23 plug some of the gaps in the differences.

24 And I don't know if you have a comment on
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH: I think my only comment would
2 be to Rom, that if this needs to be added in to
3 address the issue, then we will work with you to come
4 up with an evaluation so that it can be put into
5 there.

6 MR. SUBBARATNAM: Yes, this is Ram
7 Subbaratnam, license renewal. Maybe we have to
8 schedule a time to separately discuss that. The unit
9 inspection program was an afterthought, meaning
10 based on the Staff's deliberation.

11 When we wrote the draft SER it was still
12 like an open item at the time. And, finally, TVA said
13 we have to have some kind of a system monitoring
14 program to have a benchmark and tend to the thing all
15 the way into the acceptance period.

16 Because this is in development we still
17 have the elements of that new program being worked
18 out. You don't see it in the SER. But in the final
19 SER you will have it, full-blown, added up.

20 MEMBER BONACA: Because it seems to me
21 that if in the component you do not have an operating
22 history you can trust, you can inspect, and that is
23 what you are doing.

24 MR. SUBBARATNAM: Fair enough.

25 MEMBER BONACA: But the point is that, you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, it is so ad-hoc, something is here, something is
2 there. I think it is important that you have a
3 coherent philosophy that you can express in the SER,
4 if not in the application, that says that is why I can
5 count on units 2 and 3, because we are supplementing
6 that with all these other elements.

7 MR. SUBBARATNAM: Yes, as a matter of --

8 MEMBER BONACA: When you are taking credit
9 for corrective action program you have to explain that
10 you are doing it on a limited basis. Because if you
11 have to rely on it extensively it means that you are
12 looking for problems, and then you fix them.

13 That is not the way you want to relicense
14 the plant. So, okay, as long as that can be done,
15 that would be helpful.

16 MR. SUBBARATNAM: Yes, I think when we
17 come down October 5th we will, definitely, be well
18 prepared to answer those questions. We will make a
19 distinction between what the restart program is, what
20 the one time inspection is, and what is the unit 1
21 periodic inspection, which staff worked out, after
22 deliberations with the licensee.

23 I think that will probably clarify that a
24 little bit.

25 MEMBER BONACA: Right now the SER is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 confusing.

2 MR. SUBBARATNAM: Because that program is
3 not there, and we are still writing it up, so --

4 MEMBER BONACA: Well, there is part of it,
5 and then there is -- anyway, we will bring that up
6 later.

7 MR. SUBBARATNAM: Yes.

8 MR. CROUCH: So, as I said, unit 1 is
9 being restarted in a controlled manner, as we talked
10 about, where we are trying to make unit 1 operate the
11 very same way as units 2 and 3, we are incorporating
12 all the lessons learned from units 2 and 3, we are
13 incorporating all of the regulatory issues from units
14 2 and 3.

15 We have submitted a unit 1, 2, 3 license
16 renewal application, it addresses the concurrent
17 operation of all three units for an additional 20
18 years.

19 As part of that overall license renewal
20 application, while it is not being specifically
21 approved as part of a license renewal application, we
22 have addressed the impact of EPU on license renewal.

23 We know what it does, and we are going to
24 talk about that in a lot more detail during the day
25 today. So that we are confident that when unit 1 is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 restarted, at the extended power uprate conditions,
2 and operate for 20 more years, it will operate
3 successfully.

4 So any further questions on this opening
5 portion of our presentation?

6 MEMBER BONACA: One last comment I would
7 like to make, from the perspective of Tennessee Valley
8 Authority, I mean, you restart the plant at 20 percent
9 higher power level, and then you know that by 2011 you
10 have to do a number of tests, inspections, to support
11 license renewal.

12 You know, so you will be monitoring this
13 operation at the higher power level --

14 MR. CROUCH: That is correct.

15 MEMBER BONACA: -- and, of course, already
16 we have a commitment that you will have to make
17 regarding submitting a report, and feeding that
18 information into the license renewal program.

19 MR. CROUCH: And recognize that units 2
20 and 3 will be going to license renewal just shortly
21 after unit 1 does. So they will be, essentially,
22 operating concurrently at EPU conditions.

23 MR. LEITCH: Do you have a time frame in
24 mind for when units 2 and 3 are going to have this EPU
25 outage?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH: The current schedule for EPU
2 is to start up in the 2007 outage, at EPU. So just
3 shortly after unit 1 comes up unit 2 will also come
4 up, and then unit 3 will have its EPU outage in 2008.

5 MR. LEITCH: And they will be like a year
6 in length, or --

7 MR. CROUCH: The outage?

8 MR. LEITCH: The outage, yes.

9 MR. CROUCH: Oh, no. I don't know what
10 the official length is but it is 35, 36 days. Yes,
11 when we do outages we plan them and we implement them
12 in --

13 MR. LEITCH: And that is replacing the
14 feed pumps, the condensate pumps, your pump booster,
15 retubing the condenser --

16 MEMBER BONACA: And the turbine.

17 MR. CROUCH: Condensers, that is not part
18 of EPU.

19 MR. LEITCH: And transformer?

20 MR. CROUCH: The main transformers is
21 already done.

22 MR. LEITCH: It is already done, okay.

23 MR. CROUCH: So it is primarily each cycle
24 that --

25 MR. LEITCH: Turbine unit 2 and 3 rotors,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and HP turbine --

2 MR. CROUCH: We will be putting in new HP
3 turbines on units 2 and 3.

4 MR. LEITCH: How about rotors? They have
5 already been changed?

6 MR. CROUCH: No. The units 2 and 3
7 turbines will stay their existing design. On unit 1
8 the --

9 MR. LEITCH: You are doing the mono-
10 blocks?

11 MR. CROUCH: We are doing the mono-block
12 LP rotors, and we will do the high pressure rotor,
13 also.

14 MR. LEITCH: Okay.

15 MR. CROUCH: During this interim --

16 CHAIRMAN SIEBER: And that equipment is in
17 place, right?

18 MR. CROUCH: Beg your pardon?

19 CHAIRMAN SIEBER: You have those rotors
20 already at the plant, right?

21 MR. CROUCH: For which unit?

22 CHAIRMAN SIEBER: For unit 1.

23 MR. CROUCH: They have not gotten here
24 yet. We had a slight problem with them, they had to
25 get sent back, and reworked. They are scheduled to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 come in, in December.

2 CHAIRMAN SIEBER: But that is not critical
3 to your schedule?

4 MR. CROUCH: No.

5 CHAIRMAN SIEBER: Okay.

6 MR. LEITCH: During this interim, when
7 unit 1 is operating at EPU, and you are still in the
8 EPU outages on units 2 and 3, will there be a
9 different set of operating procedures for each unit?

10 MR. CROUCH: Yes. Each unit has its own
11 operating procedures, and the operating procedures for
12 a unit will get revised as part of the EPU
13 implementation, to address EPU conditions.

14 As we will talk later, we are also -- we
15 have two simulators now, and so we will make one
16 simulator correspond to EPU conditions, and one
17 correspond to current conditions, so that the
18 operators will be trained for both conditions.

19 MR. LEITCH: Okay. Were we going to talk,
20 a little later, about operator training in some more
21 detail?

22 MR. CROUCH: Yes.

23 MR. LEITCH: Okay, thank you.

24 MR. CROUCH: Any further questions about
25 the background on Browns Ferry?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (No response.)

2 MR. CROUCH: Okay. At this point in time
3 I would like to invite Joe Valente to come up. Joe is
4 our unit 1 engineering manager. As I said, Joe has
5 been part of the team, is part of unit 2 recovery, and
6 unit 3 recovery, and he is now the unit 1 engineering
7 manager.

8 So he brings a strong historical
9 perspective to what we are doing here. And he is
10 overseeing the efforts. As I said, earlier,
11 supporting Joe we have with us Bob Moll, who is the
12 mechanical engineering manager, as well as the system
13 engineering manager; Dave Burrell, who is the
14 electrical engineering manager, and Rick Cutsinger,
15 who is the civil engineering manager.

16 And as another point of reference, in case
17 anybody doesn't remember, I was the former mechanical
18 engineering manager for unit 1. And so if other
19 questions come up I can jump in to help Joe, also.

20 So at that point we will turn it over to
21 Joe. Joe is going to talk to us about the overall
22 philosophy for the unit 1 recovery, about how we've
23 scoped out the project to make sure that all three
24 units operate the same.

25 He is going to talk about the condition of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the units, what we saw when we started the recovery
2 efforts as far as the conditions after shutdown, and
3 the conditions that we expect to see in the plant,
4 once we do all the recovery efforts.

5 He is also going to talk about the overall
6 scope of recovery, what it takes in the way of
7 modifications to make the plant operate.

8 MEMBER BONACA: Let me ask you one
9 question before Joe starts. You said that each unit
10 had its own operating procedures, units 2 and 3 will
11 be different than unit 1, and you are going to talk
12 about licensing later, and training of the operators
13 later.

14 But are the operators licensed for
15 individual units, or station license?

16 MR. CROUCH: They have a station license
17 and at that point in time they will be trained for
18 both EPU conditions and current license thermal power.

19 CHAIRMAN SIEBER: Okay. Joe, before you
20 begin I'm going to give you a great responsibility.
21 You are to speak until 3 p.m. And during that --

22 MR. BARTON: Do we get a break then?

23 CHAIRMAN SIEBER: Only some of us. But
24 there is a break, and a lunch period that comes in
25 there. And I think that only you will know best when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to take those.

2 So if you would keep that in mind as you
3 go through your presentation, and when you find, or
4 think that it is an appropriate place for us to take
5 a break, or to recess for lunch, let me know, and we
6 will do so then.

7 And I think that will give you a chance to
8 make a smoother presentation, that is less disjointed.

9 MEMBER BONACA: You want to put a front
10 stop or back stop? He can make us so uncomfortable --

11 CHAIRMAN SIEBER: Yes, I was thinking
12 about what kind of constraints that I would put on
13 this. And in our ordinary regulatory fashion we have
14 insufficient time to develop the restraints, so we
15 will use common sense, which will be new, right?

16 Go ahead, Joe.

17 MR. VALENTE: I'd like to start off by
18 discussing our project objective for restart. When we
19 started the project the main objective was to have
20 operational fidelity between the units.

21 And we accomplished this by using the same
22 processes and procedures, both in design and in our
23 modification, maintenance, and other activities. So
24 in the design activities we used the same design
25 criteria, we used the same design processes, and we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 essentially amplified and expanded the existing, what
2 we call, the baseline essential calculations. We will
3 talk, a little later, on those.

4 So basically we used the same software
5 that was in existence on the station, and was just a
6 continuation of how the plant was designed.

7 Same thing in the modification area. We
8 used the same procedures, processes, programs, we used
9 the same loading program, we have the same control on
10 our welding rods, the same work plan, write process,
11 so everything was seamless, for what we did consistent
12 with the operating unit.

13 Now, our scope of the work for restart
14 included the same restart programs that we used on
15 units 2 and 3. This is commonly referred to as the
16 MPP special programs, and we will talk on those in our
17 next sheet here.

18 As Bill had mentioned, we also
19 incorporated all the upgrades that were performed on
20 the operating units, from the time of their restarts
21 to the current time. And we looked at the business
22 plan for each unit to identify all the major
23 modifications that would be incorporated from the
24 start of unit 1 recovery, to the end of May of 2007.

25 Now, this included EPU and license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal. So when we did our designs we factored in
2 the license renewal requirements to ensure plant
3 reliability in the extended period.

4 And we did all our design work, all the
5 analysis work, at a 60 year life, for a 20 year
6 license renewal period, and at 120 percent power. So
7 all those calculations were done for 60 years.

8 Pipe wall fitting calculations, and so
9 forth, were done for 120 percent power. So that was
10 the basis for our scope here.

11 Now, when we are done with the recovery
12 effort unit 1 will be operationally the same as units
13 2 and 3. Unit 1 will have similar systems, equipment,
14 operating procedures, and tech specs, as the other
15 units.

16 There is only FSAR for the station. Our
17 operators are licensed for all three units, and they
18 will be fully trained on any unit differences. The
19 unit differences are going to be primarily attributed
20 to obsolete equipment replacement.

21 Now, the majority of our obsolete
22 equipment that we replaced is seamless to the
23 operator. It is more in the maintenance space,
24 different maintenance procedures.

25 But, basically, the classic work that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are seeing here on unit 1, we are changing out the
2 control system on the balance of plant side, we are
3 using a foxboro control system.

4 Units 2 and 3, as a majority, has some
5 foxboro equipment on that control system. Unit 1 will
6 be totally Foxboro. The classic one that we like to
7 talk about, that affects the operator, we've changed
8 out some recorders in the control room to a paperless
9 recorder, on unit 1.

10 Units 2 and 3 still operate with the paper
11 recorders. So that one is obvious that the AUO has to
12 carry up the paper.

13 CHAIRMAN SIEBER: Do they still make
14 those?

15 MR. VALENTE: Yes, they sure do.

16 CHAIRMAN SIEBER: Okay.

17 MR. VALENTE: The other unit difference
18 that we see is in the extended power uprate. Unit 1
19 is scheduled to be the lead plant, as you saw in the
20 DCN list.

21 Units 2 and 3 does not have the precedent
22 for these DCNs yet, and unit 1 will be the lead. We
23 do have one condition, right now, on unit 1. We have
24 the lead of the LPCI motor generator sets, based on
25 our analysis.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We had the tech spec approved, and unit 1
2 is doing that. Now, units 2 and 3 is scheduled to
3 remove these in subsequent refueling outages. Unit 2
4 will take this out in '07.

5 MR. LEITCH: I don't understand what those
6 motor generators set did. Did they give you variable
7 speed on the --

8 MR. CROUCH: They are there for electrical
9 isolation.

10 MR. LEITCH: Electrical isolation, okay.
11 So without those, then --

12 MR. CROUCH: We went through and
13 redistributed the loads on various boards and there is
14 a scheme for how the various loads load into the
15 boards, in the diesels. So we don't need the
16 isolations provided any more.

17 MR. LEITCH: Okay, I understand.

18 MR. VALENTE: That work actually
19 simplifies some of the electrical system.

20 MR. LEITCH: Yes.

21 CHAIRMAN SIEBER: That is actually a
22 complicated way to do it. A lot of mechanical
23 equipment.

24 MR. CROUCH: There was a lot of mechanical
25 equipment that was a maintenance headache, and so

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 eliminating them was one of the real pluses for the
2 plant.

3 CHAIRMAN SIEBER: Okay.

4 MR. VALENTE: Another issue on the LPCI,
5 with regards to the question concerning the LPCI loop
6 selection logic we eliminated this logic on all three
7 units, back in 1977. That was a question that was
8 submitted --

9 MR. LEITCH: Yes, that was my question, I
10 thank you.

11 MR. VALENTE: Okay. The other portion
12 here that gets us into a little unit differences, has
13 to do with the outage modification sequencing. And
14 basically what this is, one unit is the lead for a
15 change.

16 And they are implemented in the outage,
17 and then the subsequent units follow. So there can be
18 a time period, if there is a major modification, that
19 would be implemented, say, on unit 2, then unit 3 and
20 unit 1 would follow that implementation.

21 So as Bill was explaining, when we
22 implement a modification, our design control process
23 requires all procedures to be brought up to speed
24 before what we call the design package being closed.

25 So that affects maintenance, operating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 procedures, training procedures. So the operator is
2 brought up to speed by the time it gets into the
3 operation aspect of the unit.

4 Now, the programs implemented to return
5 unit 1 to service have the same rigor, and the
6 thoroughness, as those programs that we use for units
7 2 and 3 recoveries, there is no difference.

8 The subsequent performance of units 2 and
9 3 demonstrated the adequacy of these programs, and we
10 are going to talk about it here in a minute.

11 So, John, when unit 1 is restarted it is
12 going to be the newest old plant in the country. And
13 we know it is going to be returned to service in a
14 better condition than originally licensed, because we
15 have added a tremendous operating margin in the plant.

16 CHAIRMAN SIEBER: Okay.

17 MR. VALENTE: And that is what we are
18 trying to tell you here.

19 CHAIRMAN SIEBER: Okay.

20 MR. VALENTE: We have added margin on this
21 recovery, okay?

22 MR. LEITCH: Would this be an appropriate
23 time to talk about PRA, or do you have that later in
24 the presentation, or --

25 MR. CROUCH: We can talk about it now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. VALENTE: We can talk to it now.

2 MR. CROUCH: And we are going to address
3 these questions to Henry Jones, as part of our unit 1
4 staff over there. Henry, if you want to come up in
5 this direction?

6 MR. JONES: Yes, sir.

7 MR. LEITCH: I guess my question,
8 basically, was did you redo the PRA based on these
9 modifications to unit 1? In other words, looking the
10 way unit 1 will be in May of 2007, is there a PRA
11 associated with that?

12 And is there a significant change in core
13 damage frequency between unit 1 will be, and units 2
14 and 3 now, for example?

15 MR. JONES: I'm Henry Jones, Browns Ferry
16 nuclear plant. Yes, sir, we went back and anticipated
17 the configuration of unit 1 at restart, and performed
18 a full level one PRA, and a limited level two.

19 And on the screen now you will see the
20 results. Of course, for unit 1, this is the first
21 analysis that we have accomplished for unit 1,
22 relative to PRA.

23 And there you will see both the core
24 damage frequency and the LERF value. And, again,
25 those are values based on a configuration at unit 1

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 restart.

2 For unit 2 we have a baseline number which
3 is the number presently in place for unit 2, that
4 assumes unit 2 is operating at 3958 megawatts thermal.
5 And unit 3 is operating simultaneously, also. Those
6 are our baseline numbers.

7 We have evaluated those models in
8 anticipation of the configuration for unit 2 and unit
9 3 at restart, at EPU conditions. And accomplished the
10 calculations.

11 You will notice, for example, on unit 2
12 there is a slight decrease in the core damage
13 frequency. At Browns Ferry we take our PRA very
14 seriously.

15 And the time that we made those changes we
16 took the opportunity to also make some additional
17 enhancements to our model. For example we updated the
18 reliability numbers, failure rate numbers of the major
19 components.

20 We also did enhancements to the model. So
21 that is why you will see a slight decrease. Overall,
22 when you go from the baseline model, like on unit 2
23 the EPU conditions, we have found the major change is
24 the fact that for those sequences where you have an
25 isolation of the balance of plant, the reactor is high

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pressure, for units 2 and 3 today, we really have two
2 makeup systems in that configuration.

3 One being the HPCI system, RCIC, and also
4 CRD. It is a high pressure displacement pump, but
5 high pressure into the vessel. At EPU conditions we
6 have found, we went back and did our map runs, that we
7 can no longer take credit for CRD.

8 So that has provided a little bit of a
9 limitation on the number of high pressure makeups at
10 isolated conditions.

11 CHAIRMAN SIEBER: Flow not enough, is that
12 the reason --

13 MR. JONES: Flow is not sufficient, that
14 is correct.

15 CHAIRMAN SIEBER: Okay.

16 MR. JONES: So that is what really has an
17 impact to make the core damage frequency slightly
18 larger. But, overall, we had a decrease in our core
19 damage frequency.

20 MR. LEITCH: Were there any EPU
21 modifications made to unit 1, or planned for units 2
22 and 3, that were primarily driven by PRA
23 considerations?

24 I'm thinking about did you find that you
25 had to do anything with the standby liquid control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system, like add a third pump, or increase boron
2 concentration, or anything of that nature?

3 MR. JONES: No, sir. I don't recall any
4 that -- we did increase the SLC system, we did
5 increase the volume that we had to inject. Same flow
6 rate still the same pump configuration, but we did
7 have to increase the volume in the tank.

8 MEMBER DENNING: Did you do anything with,
9 some plants have automatic initiation of standby
10 liquid control?

11 MR. JONES: Ours is manual.

12 MEMBER DENNING: Yours is manual.

13 MR. JONES: The PRA did not specifically
14 identify anything we had to modify. As Joe alluded
15 to, earlier, in the balance of plant we are going back
16 and putting in larger booster pumps, larger condensate
17 pumps, and actually gaining margin in our balance of
18 plant equipment.

19 And we found that, obviously, the safety
20 system had adequate flow rates to meet the various
21 safety related requirements.

22 One note, also, on unit 1 that model was
23 accomplished using the latest ASME standard, as
24 guidance. Whereas the units 2 and 3 models were done
25 a little bit earlier, and they do not include that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are putting together a plan to possibly
2 do that in the future. But just that little side
3 note, that there is a little bit different criteria
4 utilized for the unit 1 models.

5 MEMBER DENNING: What is the difference
6 between unit 2 and unit 3 CDF?

7 MR. JONES: The Browns Ferry has the
8 benefit of a number of shared systems. And one that
9 is a major additional support, is the RHR system.

10 Unit 2 is physically located between unit
11 1 and unit 3. So in addition to the four RHR pumps
12 that unit 1 has dedicated to it, there is also shared
13 pumps.

14 For example, the unit 1 bravo and delta
15 pumps, and the unit 3 alpha and charlie pumps, can
16 also support all of the RHR functions on unit 2. So,
17 really, unit 2 has the benefit of eight, not four RHR
18 pumps.

19 And that is what reflects in the numbers,
20 is things like that. The diesel loading is a little
21 bit different, and these things go into making the
22 slightly different numbers.

23 MEMBER DENNING: Are there any plant
24 damage states that appear as you go to extended power,
25 that aren't important contributors at the baseline?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. JONES: I'm not sure I understand your
2 question.

3 MEMBER DENNING: As you go to higher power
4 there is some new scenarios that suddenly appear, that
5 are significant, that weren't --

6 MR. JONES: No, we did not find anything
7 that really came up like that. You will find some
8 slightly different system importances as you go across
9 and compare the results.

10 But nothing unique, or nothing that we
11 didn't expect because of the operation of our shared
12 systems.

13 MR. CROUCH: Henry, you might want to talk
14 about CRD, how it was -- how you went to EPU's.

15 MR. JONES: Right, we went through that
16 and the fact that it is no longer capable of --

17 CHAIRMAN SIEBER: Insufficient flow.

18 MR. JONES: That was a major thing,
19 because there are a number of initiators that result
20 in an isolated vessel at high pressure.

21 CHAIRMAN SIEBER: I think what you are
22 asking is, are there success paths that are no longer
23 successful?

24 MEMBER DENNING: Yes.

25 MR. JONES: I don't recall any that came

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 out that way, no.

2 MEMBER KRESS: As part of the license
3 extension, license renewal, are there plans to do a
4 level 3 PRA for the --

5 MR. JONES: I'm not aware of any, I can't
6 say. I don't know if the other plants have or not.

7 MEMBER KRESS: It is generally part of the
8 environmental impact statement that is required, some
9 sort of level 3-like analysis.

10 MR. CROUCH: We will have to take that as
11 a question and get back to you in the next meeting.

12 MEMBER KRESS: Okay.

13 MEMBER DENNING: How about different
14 operating modes, what do you -- this is for the plant
15 at full power operation, or do you have --

16 MR. JONES: Those are plants are full
17 power operation. We do not have a shutdown PRA.
18 There are aspects, in all of these numbers, that
19 represent the adjacent unit in an outage.

20 And, obviously, how various outage times,
21 as far as diesel generators, and things, is considered
22 in the analysis. But the analysis is already done at
23 full power operation for all three units.

24 MEMBER DENNING: And do you have plans for
25 that, do you have plans to do PRA for other modes?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. JONES: Not to my knowledge, no. Not
2 at this time.

3 MEMBER DENNING: You say you take the PRA
4 seriously.

5 MR. JONES: I understand.

6 MEMBER DENNING: Yes. And what about fire
7 PRA?

8 MR. JONES: Yes, we have done, we have
9 accomplished the five method. We have recently
10 accomplished that for unit 1 and found no
11 vulnerabilities, and met the various analysis that
12 have been completed on unit 1, and been finalized.

13 MEMBER DENNING: Yes, but that is kind of
14 a minimal approach.

15 MR. JONES: I understand, it is not a fire
16 PRA, it is a bounding screening type of approach.

17 MEMBER DENNING: Do you have online PRA
18 monitor that you use for units 2 and 3? Do you have
19 it online and you use it to support operations?

20 MR. CROUCH: Sentinel.

21 CHAIRMAN SIEBER: Any further questions?

22 (No response.)

23 CHAIRMAN SIEBER: Thank you very much,
24 sir.

25 MR. JONES: You are welcome.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. VALENTE: What I would like to do, on
2 this slide, is to discuss the major issues that we
3 had. I want to start off with the nuclear performance
4 plan.

5 Now, the nuclear performance plan, the
6 special programs that we talked about, these represent
7 the core of the restart effort. It is the same that
8 it did on units 2 and 3.

9 The programs listed here are very large in
10 scope, and consist of various tasks to confirm data
11 base and compliance with our design criteria.

12 What I would like to do is essentially
13 walk through three of them. I would like to start off
14 talking about the design baseline verification
15 program, some fire protection in Appendix R, and then
16 talk about intergranular stress corrosion cracking.

17 Now, the design verification baseline
18 program is a very comprehensive program intended to
19 reestablish the data base for the unit. This was done
20 on the other two units, and this is the extension
21 coming into unit 1.

22 The scope of these programs are those
23 structures, systems and components, that are required
24 to mitigate the postulated accidents, transients, and
25 special events.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The program consists of three major
2 elements. The first element is to determine the
3 analytical approach and methods, and then establish
4 the procedures to maintain this program.

5 So we definitized how we were going to
6 analyze for conditions, we controlled it,
7 proceduralized it, so it was consistent, and it was
8 maintained.

9 The second element here was to establish
10 written design criteria, which established the
11 requirements for each system. And then document these
12 requirements in a safe shutdown analysis.

13 The safe shutdown analysis defines the
14 modes for each systems that are required to mitigate
15 the accidents, transients and special events. Here is
16 the third element that we will talk about in the lay-
17 up aspect.

18 The third element is to do the walkdown of
19 the plant. And this walkdown is to establish the as-
20 built configuration. And then evaluate it against the
21 calculation and the analytical basis of the program.

22 So we have an as-built condition, and we
23 have the analytical condition which definitized all
24 the system requirements and we reconciled that. And
25 this reconciliation is what results in the physical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hardware changes to the plant, that is the DCNs.

2 A simple process here, but very intent
3 tests. There is a significant amount of output,
4 besides the hardware DCNs. We established baseline
5 calculations, and established the minimum margins.

6 We established the baseline testing
7 requirement documents that feed into the restart
8 testing program. Those are the major ones here. So
9 when we completed the baseline program, the output
10 from this program allowed us to establish and maintain
11 both our data base and licensing basis.

12 Any questions on that one? It is a big
13 one.

14 MR. LEITCH: Joe, I'm not specific on that
15 bullet, but I'm trying to understand this slide. It
16 says summary of unit 1 major issues. And you've got
17 four things there, the nuclear performance plan being
18 the first.

19 How were those, is that a complete list of
20 the nuclear performance plan, or is that just a
21 sampling?

22 MR. VALENTE: No, this is, essentially,
23 the special programs contained.

24 MR. LEITCH: How were those arrived at,
25 were they issues that were problematic at the time of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shutdown?

2 MR. VALENTE: Yes, that is correct. How
3 we arrived at all of this was in negotiation with the
4 Staff. We had specific areas that there were
5 concerns, both internally and with the Staff.

6 And we compiled all of these issues into,
7 essentially, 13 special programs. And what you see
8 here are the programs. That is why I say that what
9 you see here, a nice little summary, but it is a very
10 broad issues.

11 Like when you see electrical issues, it
12 carried on and passed voltage drop short-circuit
13 analysis, coordination, protection issues, all
14 imbedded in there. Same with seismic design.

15 We went back and we reconstituted the
16 basis for the vessel in the internals with GE. We
17 redid our seismic analysis for all the structures,
18 soil structure interactions were brought up. So they
19 are very broad.

20 And then imbedded in this seismic design
21 is 79.14, and 2 over 1 issues, so they are very broad,
22 very broad.

23 MR. LEITCH: Was cable separation an
24 issue? Perhaps that is under electrical?

25 MR. VALENTE: It is under electrical

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issues, yes.

2 MR. LEITCH: And what about MPSH on your
3 ECCS pumps, do you -- was that an issue, or do you
4 take credit for dry well pressure?

5 MR. CROUCH: As far as overall NPSH type
6 calculations, that is part of the baseline
7 calculations program.

8 MR. LEITCH: Okay.

9 MR. CROUCH: And then as we went on to do
10 the first power uprate for units 2 and 3, and now for
11 EPU conditions, we have redone those calculations.
12 For units 2 and 3 the first power uprate does take
13 credit for containment overpressure.

14 We had not done that before that time.
15 The EPU application also takes credit for containment
16 overpressure.

17 MR. LEITCH: Okay.

18 MR. VALENTE: Basically this slide is
19 tying together the scope from the original one, just
20 definitizing it down, so you see what built the scope
21 for the unit 1 restart, the fidelity going forward.

22 MEMBER DENNING: Pretty narrow question
23 related to what we are talking about. But with
24 regards to containment overpressure credit, which you
25 have taken, do you evaluate alternatives as to what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you could have done as an alternative to taking that
2 credit?

3 What would have been required, could you
4 have done something to the pumps? And did you
5 evaluate that?

6 MR. CROUCH: Henry? I don't remember
7 doing that, but he may know.

8 MR. JONES: We did look at some
9 alternatives, for example, trying to design pumps
10 that, obviously, would require less NPSH. And our
11 work that we did, we could not identify another type
12 of configuration that would satisfy the needs, as far
13 as pump flow rates.

14 And, of course, keep in mind that we do
15 require, for EPU, is three pounds, both short term and
16 long term overpressure. These calculations, that Bill
17 talked about, are extremely conservative.

18 We use maximum flow rates, for short term,
19 for RHR. The design flow rates in the long term we
20 use our design flow rates. So they are conservative
21 calculations. But we did look at alternatives and
22 could not identify any that were available to us, that
23 would replace the need for overpressurization.

24 MEMBER DENNING: So you couldn't find the
25 pumps that could reasonably be replaced, at reasonable

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 cost, is that the type of analysis that you did?

2 MR. JONES: That would require extremely
3 low NPSH requirement for our application.

4 MEMBER BONACA: What is short term?

5 MR. JONES: Beg your pardon?

6 MEMBER BONACA: What is short term?

7 MR. JONES: Short term is ten minutes or
8 less, wherein ten minutes is long term. That is how
9 we make that distinction in our analysis arena.

10 MEMBER DENNING: And in this case you
11 needed it for how long, did you say?

12 MR. JONES: We need three pounds short
13 term, and three pounds long term.

14 MR. CROUCH: We also, when we do our
15 calculations, we use vendor required NPSH. We know
16 that our pumps will operate at full flow at less than
17 vendor required NPSH. We have demonstrated that
18 through tests back in the '70s.

19 And so there is margin in there.

20 CHAIRMAN SIEBER: Well, that is sort of in
21 the eye of the beholder, because the vendor assumes
22 some cavitation when he develops the curves himself.
23 And so there is a range of suction pressures, where
24 cavitation occurs, but the pump is pretty efficient,
25 it doesn't damage itself.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then as the suction pressure gets
2 lower and lower, you gradually lose some flow, you
3 start to get some chugging, you start to get impeller
4 damage, excessive vibration.

5 So that is sort of in the eye of the
6 beholder, to know where you are at, at any given time.
7 but I do recall selecting these pumps for new plants,
8 back when the plants were new, and I was new, and
9 there was a lot of effort going into coming up with
10 the optimum impeller design, and for deep draft pumps,
11 to figure out how deep they could be, and still not
12 get a lot of shaft whip, and things like that.

13 So there may not be too many alternatives
14 that are available today that weren't available at the
15 time of the original design that a licensee could rely
16 on.

17 MEMBER DENNING: But did I understand you
18 properly, this is just an EPU issue?

19 MR. CROUCH: Yes. When we went to the
20 first power uprate we took credit for containment
21 overpressure at that time.

22 CHAIRMAN SIEBER: Right.

23 MEMBER DENNING: Now, was that when you
24 took your --

25 CHAIRMAN SIEBER: Five percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER DENNING: Just the five percent?

2 CHAIRMAN SIEBER: Right.

3 MEMBER DENNING: Did that imply that when
4 you were at the previous power, that you actually
5 didn't need it?

6 MR. CROUCH: That is correct.

7 CHAIRMAN SIEBER: That is right.

8 MEMBER DENNING: Just the five percent was
9 enough to put you over the margin where it was no
10 longer practical?

11 MR. CROUCH: Right.

12 CHAIRMAN SIEBER: One of the interesting
13 things, I think, is that there is a lot of margin in
14 these plants. But the higher you make the basic power
15 level, some of that margin sort of slips away.

16 And it really doesn't reflect itself in
17 the PRA numbers, except through the success criteria.
18 You know, there is no evaluation in a PRA that says,
19 it will still work, but I don't have the margin I used
20 to have.

21 And so in a way PRAs mislead us a little
22 bit in that respect. And it could well be that the
23 numbers would be even better under those conditions,
24 where the margin is not used at all.

25 MR. CROUCH: The other thing to keep in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 mind, when I say this happened when we went to first
2 power uprate, we were also, at that same time,
3 resolving the issue of the generic letter 9601 for
4 containment blockage.

5 And so the new assumptions that went into
6 that also impacted. But at that point in time we put
7 in the new larger stack and went to all the new
8 utility resolution guideline methodology for how to
9 calculate NPSH.

10 CHAIRMAN SIEBER: That may have forced you
11 into taking credit for containment pressure, even if
12 the power uprate wasn't there.

13 MR. CROUCH: It might have.

14 CHAIRMAN SIEBER: You know, I don't know
15 the answer, and you may not know it either. Thank
16 you.

17 MR. VALENTE: This special program that I
18 would like to talk about is fire protection in
19 Appendix R.

20 Unit 1 is performing extensive
21 modifications to bring the unit into compliance with
22 the NFPA standards and Appendix R requirements. We
23 are installing a new fire detection and suppression
24 systems on the unit, fire rated compartmentation is
25 also occurring.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are installing water curtains, we are
2 sealing wall and floor penetrations, and we are
3 installing new fire dampers and doors. We are
4 rerouting cable --

5 MR. BARTON: Joe, let me ask you, while
6 you are on fire protection, you didn't mention
7 sprinklers. Have you done anything with sprinklers
8 that have been sitting there for 30 something years?

9 MR. CROUCH: We replaced them all. We
10 replaced all the piping, as well as the sprinkler
11 heads.

12 MR. BARTON: Okay, thank you.

13 MR. VALENTE: When I said the suppression
14 system, the piping and sprinklers. Everything from
15 the deluge valves out to the sprinkler heads have been
16 replaced.

17 CHAIRMAN SIEBER: Let me ask another
18 question, since I have been thinking about this for a
19 long time now. When I walked through your plant I saw
20 you are putting in a lot of new cable trays, that were
21 basically empty.

22 But I also saw cable trays that weren't
23 empty.

24 MR. VALENTE: That is correct.

25 CHAIRMAN SIEBER: Do you plan to abandon

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 circuits in place when you reroute?

2 MR. VALENTE: Yes.

3 CHAIRMAN SIEBER: And, if you do, have you
4 taken into consideration the additional combustible
5 loading in those compartments that you will have, that
6 serve no purpose, other than it is inconvenient to
7 take the cables out?

8 MR. VALENTE: Yes, we have.

9 CHAIRMAN SIEBER: And to what extent will
10 that condition exist, unused, abandoned in place
11 cables?

12 MR. VALENTE: What we had, we had common
13 trays on unit 2 that had unit 1 cable in it.

14 CHAIRMAN SIEBER: Right.

15 MR. VALENTE: We de-energized those cables
16 at the time of the recovery.

17 CHAIRMAN SIEBER: Right.

18 MR. VALENTE: So our dilemma, on the
19 restart, was go back and perform all the analysis for
20 ampacity, heat load, everything in the existing trays,
21 or run new trays that we could build in the -- not get
22 into having to do anything with flamastic, you know,
23 to check the quality of the cabling.

24 So our decision was to install the new
25 tray system, and to do the reroutes. So that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 eliminated a lot of analytical time that we would have
2 spent.

3 And that was a lesson learned from unit 3,
4 where we analyzed everything, and then eventually had
5 to make hardware changes, anyway.

6 CHAIRMAN SIEBER: Well, the concern is the
7 combustible loading, as opposed to whether you got it
8 right in the first place.

9 MR. VALENTE: That was factored in, on the
10 unit 2. The combustible loading is factored into the
11 fire hazards analysis, it assumes, it took actual
12 profiles of the existing trays. It assumes the new
13 trays will be filled to one hundred percent capacity,
14 and establishing what the fire loading would be for
15 the various fire zones.

16 So that is considered in the analysis.
17 And the practicality of removing the abandoned cables
18 is problematic since most all of those trays are
19 covered with flamastic, as well, the fire retardant
20 that we put on after the fire in '75.

21 CHAIRMAN SIEBER: Actually you probably
22 have more than one problem. You probably have some
23 trays that have abandoned cables in them and, also,
24 currently used cables. Separating them would be --

25 MR. VALENTE: And that was the problem.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: -- like eating
2 spaghetti.

3 MR. VALENTE: And that is what we got into
4 in considering whether to analyze any further,
5 particularly in ampacity, if I'm turning on another
6 load in that tray, I'm adding heat load to that tray,
7 and potentially adversely affecting the operating
8 unit.

9 So the decision was made to reroute.

10 MR. CROUCH: That is Dave Burrell, our
11 electrical engineering manager.

12 MR. BURRELL: And that decision corrected
13 a lot of concerns, not only in the electrical issues,
14 but also in Appendix R.

15 CHAIRMAN SIEBER: I presume that is a
16 matter the Staff will take up when you get ready for
17 restart. But it is an interesting problem that arises
18 when you do this kind of a restart activity and plant
19 modification.

20 Because I would expect there to be more of
21 it, I think every plant you find abandoned cables.
22 But I would expect you have more than most.

23 MEMBER BONACA: From this conversation you
24 have abandoned cables, but not abandoned trays. What
25 I mean is that some of the cables in those trays would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 still be used?

2 MR. BURRELL: That is correct.

3 CHAIRMAN SIEBER: That is the way I would
4 be --

5 MR. BURRELL: We didn't abandon any tray.

6 CHAIRMAN SIEBER: Otherwise they would
7 tear them up because that would be the simple thing.

8 MEMBER BONACA: No, because this is the
9 older, and we have a new cable tray. So the
10 implication was that there is a full replacement.
11 That is what I understood. Now I understand.

12 CHAIRMAN SIEBER: You know, when we were
13 down there they told us we are replacing everything,
14 but I didn't think that was true then, and I don't
15 think it is true now.

16 MR. BURRELL: Keep in mind the electric
17 board rooms, we have board rooms on the unit 2 side,
18 board rooms on the unit 1 side, and those board rooms
19 supply the power for both units 1 and 2.

20 CHAIRMAN SIEBER: Right.

21 MR. BURRELL: So most of the trays in unit
22 1 would also contain, potentially contain unit 2
23 circuits.

24 CHAIRMAN SIEBER: Right. Well, I think
25 that you can do what you are doing, it is just that it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 becomes a tremendously complicated thing. When you
2 consider 30 years of history of playing with cables,
3 and replacing things, and having multiple units in
4 single trays, it just seems very complicated to me.

5 MR. BURRELL: It is, and we have a very
6 detailed account of every cable.

7 CHAIRMAN SIEBER: Okay. That plant was
8 built in a time frame where they, sometimes, did not
9 have pull tickets that would fit into somebody's
10 computer, track where every cable initiates and goes,
11 and terminates.

12 So I don't know whether you have that
13 situation or not. If you were looking at tags on
14 individual cables you can make a lifetime out of that.

15 MR. BURRELL: The main issue is that we
16 are related back to recovery of units 2 and 3,
17 relative to cable routing, the -- what we found, and
18 we sampled a large population of routing cables,
19 complied with the design, they were pretty much what
20 the design called for them to be.

21 The issues that we got into were, in some
22 cases, the design didn't adequately recognize some
23 separation requirements.

24 CHAIRMAN SIEBER: Right.

25 MR. BURRELL: So from the analysis part we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 had to revisit our separations program.

2 CHAIRMAN SIEBER: Well, I expect you to
3 get an appendix R inspection from the Staff, someplace
4 along the line, and it will be a complex inspection
5 because of your situation. So I would prepare for it
6 in advance.

7 MR. BURRELL: Our first inspection is in
8 about three weeks.

9 MR. VALENTE: And we are prepared.

10 CHAIRMAN SIEBER: Okay, that is good.

11 MR. VALENTE: The other thing that we are
12 doing, related to cables, is that we are rerouting
13 cables, and we are using some thermal lag on two
14 conduit to get us the separation for appendix R, and
15 the fire rating for --

16 CHAIRMAN SIEBER: Thermal lag?

17 MR. VALENTE: -- thermal lag, appendix R.
18 So we will have cables approximately --

19 MR. BURRELL: There are some short pieces
20 of thermal lag that we are wrapping some conduit on,
21 that you can't get from point A to B, you can't get
22 out of the fire zone without having some --

23 CHAIRMAN SIEBER: Thermal lag is now good?

24 MR. BURRELL: Yes, we have qualified
25 tests, configuration for thermal lag.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: Be careful there.

2 MR. BURRELL: We have, absolutely.

3 CHAIRMAN SIEBER: You may not have the
4 rating that you think you have. And there are a lot
5 of stories about thermal lag, but that, too, is an
6 issue.

7 MR. BURRELL: I understand. But we
8 performed separate tests with Sandia Labs, relative to
9 thermal lag. We have test reports that support all of
10 our configurations.

11 CHAIRMAN SIEBER: Well, at least you have
12 Wiley close by there, if you need to test some more,
13 you can just go across the street.

14 MR. VALENTE: As we alluded to, earlier in
15 Bill's presentation, unit 1 required no new exemptions
16 for restart for appendix R. And we do have fire
17 resistant exemptions, and they will be applicable to
18 one.

19 And, Dr. Sieber, you asked what they were.

20 CHAIRMAN SIEBER: Yes, sir.

21 MR. VALENTE: The first exemption we took
22 was the exemption from no core uncovering. The
23 requirement is that the coolant system, the reactor
24 coolant system possess variables within those predicted
25 for a wash of normal AC power.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Basically there were some time that we
2 could have some core uncovering, analytically, and we
3 had additional analysis to support the fact that the
4 integrity of the clad boundary would remain intact.
5 So that exemption --

6 CHAIRMAN SIEBER: I don't think you are
7 unique in claiming that exemption.

8 MR. VALENTE: Right, it is a very short
9 period of core uncovering, and demonstrated no fuel
10 factors.

11 CHAIRMAN SIEBER: And it is not to a very
12 great depth, either.

13 MR. CROUCH: That is correct.

14 MR. VALENTE: The second exemption was
15 from the fixed fire suppression system in the main
16 control room. We don't have the suppression system,
17 we have the detection system, and we have operators
18 there around the clock --

19 CHAIRMAN SIEBER: You have portable
20 extinguishers.

21 MR. VALENTE: Portable extinguishers, and
22 fully manned, 24 hours, 7 days.

23 CHAIRMAN SIEBER: Right, okay. So your
24 operators don't need umbrellas in the control room?

25 MR. CROUCH: Precisely.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. VALENTE: The third exemption is for
2 the RHR pump rooms. Again, this had to do with some
3 separation, the 20 foot separation between the
4 redundant circuits coming down the pump there are some
5 areas where we don't have that separation.

6 CHAIRMAN SIEBER: And so what is your
7 compensatory measure?

8 MR. CROUCH: There are fire curtains in
9 the area, there is water spray in the area.

10 CHAIRMAN SIEBER: Fire curtain is a water
11 system, right?

12 MR. CROUCH: Right, that is correct. Fire
13 curtain is you basically have a system where it just
14 sprays a curtain of water down so that the fire cannot
15 go through it.

16 CHAIRMAN SIEBER: And the Staff has
17 approved that?

18 MR. VALENTE: Yes, an NFPA approved method
19 of separation.

20 CHAIRMAN SIEBER: Okay.

21 MR. VALENTE: The fourth exemption has to
22 do with the intervening combustibles. Again, this has
23 to do with the separation, the 20 foot separations.
24 We had some conditions where we didn't meet that.

25 MR. CROUCH: But in those cases the fire

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 loading in those areas is very low.

2 MR. BURRELL: This goes back to your
3 remark, earlier, relative to intervening cable trays
4 between required redundant circuits. And there the
5 combustible loading has been determined to be minimal,
6 and acceptable.

7 CHAIRMAN SIEBER: Okay. You do have a
8 full fire hazard analysis?

9 MR. VALENTE: Absolutely, yes, sir.

10 CHAIRMAN SIEBER: That covers all this,
11 okay.

12 MR. VALENTE: And the last exemption that
13 we have has to do for the fixed suppression, again, up
14 in the control bay, the control building.

15 What we have there is there are certain
16 rooms that have non-safety equipment in them, they
17 don't have permanent suppression. Again, the same
18 condition as in the main control room.

19 There are adjacent areas that have the
20 suppression, the area is manned with personnel, and
21 the exemption was granted on those limitations.

22 CHAIRMAN SIEBER: Could you give me an
23 example, or two, of your control building, or control
24 tower, or whatever you call it there, where you have
25 non-safety equipment that is not manned and still

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doesn't have detection and suppression, and why.

2 MR. VALENTE: The computer room would be
3 one. It has the detection but not suppression. And
4 this room, it is essentially a concrete --

5 CHAIRMAN SIEBER: Box, yes.

6 MR. VALENTE: Stairwell, hallway --

7 CHAIRMAN SIEBER: Well, the computer room
8 is not immune from fire.

9 MR. BURRELL: But detection is in.

10 CHAIRMAN SIEBER: Okay.

11 MR. BURRELL: And the proximity of
12 personnel with portable equipment is right there.

13 CHAIRMAN SIEBER: Yes.

14 MR. VALENTE: Those are the exemptions.

15 CHAIRMAN SIEBER: And your computer, you
16 have no digital protection systems, right?

17 MR. VALENTE: No.

18 CHAIRMAN SIEBER: That are run from that
19 computer, that is just the data acquisition system?

20 MR. VALENTE: That is just purely data
21 acquisition.

22 CHAIRMAN SIEBER: Okay, thank you.

23 MR. VALENTE: Now, where we are at on the
24 fire protection work, is we essentially have completed
25 the fire detection, we are in the process of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 performing the testing on the system right now.

2 On fire suppression we have completed the
3 pipe installation on three of the elevations, we are
4 working on a fourth elevation, and in the corner
5 rooms. And that is scheduled to complete,
6 essentially, in November. So that is proceeding.

7 CHAIRMAN SIEBER: Do you use halon in any
8 place?

9 MR. VALENTE: No.

10 CHAIRMAN SIEBER: CO2?

11 MR. VALENTE: Yes, CO2.

12 CHAIRMAN SIEBER: Well, halon you can't
13 get any more, I think. But if you use it, it is hard
14 to test if you can't get replacement chemical. Going
15 back to your fire hazards analysis, I presume the
16 calculations that are done in there are done using the
17 five methodology?

18 MR. CROUCH: Yes.

19 CHAIRMAN SIEBER: Yes?

20 MR. CROUCH: Yes.

21 CHAIRMAN SIEBER: Okay. Which is a sort
22 of, it will give you a conservative answer?

23 MR. CROUCH: Right, that is correct.

24 CHAIRMAN SIEBER: Okay, thank you.

25 MR. VALENTE: The last program that I will

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discuss is the one on the intergranular stress
2 corrosion cracking.

3 MR. BARTON: Before you skip over -- let
4 me ask you, your fuse program is -- I'm not familiar
5 with what you are doing here.

6 MR. VALENTE: This program that is listed
7 here had to do with, essentially, the existing fuses
8 that were in the plant. This, again, primarily on
9 unit 2 time frame.

10 So basically we had to confirm that the
11 existing fuses in the plant were consistent with the
12 analytical basis. That was the issue --

13 MR. BARTON: So, in other words, the fuses
14 that were in the plant didn't always match the
15 drawings?

16 MR. VALENTE: That is correct.

17 MR. BARTON: So you are not changing out
18 all the fuses in unit 1?

19 MR. VALENTE: On unit 1 we are. Remember
20 the time frame here, this is what existed on unit 2
21 back in 1985 time frame, when we negotiated the --

22 MR. BARTON: So you are changing out all
23 the fuses for restart on unit 1?

24 MR. VALENTE: Right.

25 MR. BARTON: Now, are you taking advantage

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 of that time and inspect fuse holders? I don't know
2 what your commitment is, in the LRA, on fuse holders.

3 MR. VALENTE: Yes, yes, we are. Here is
4 what we are doing. On unit 1 we decided to not
5 perform the analytical exercise, go in and make the
6 physical change based on the baseline calc
7 requirements. So we are bringing everything down,
8 just like -- fuses for sizes and everything, fuse
9 holders are getting changed out, all that is getting
10 changed out, the coordination curves are all checked,
11 it is all standard in the program.

12 CHAIRMAN SIEBER: Now, you are changing
13 all fuses? All is a big word. Usually when they
14 change fuses they are changing -- the ones that seem
15 to age are the ones that have the springs inside.

16 MR. BURRELL: We are changing all fuses
17 that are supporting the recovery of unit 1. If it is
18 currently a fuse supporting common equipment that
19 would also involve unit 1, those are not necessarily
20 being replaced.

21 But all the fuses that support unit 1
22 recovery are being replaced.

23 MR. CROUCH: So to say it another way, if
24 it is a common fuse it means it is already supporting
25 units 2 and 3 operation, it is already in the plant

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 program.

2 CHAIRMAN SIEBER: So you know it is a good
3 fuse because it is doing its thing?

4 MR. CROUCH: That is correct.

5 CHAIRMAN SIEBER: I will caution, when you
6 use the word all --

7 MR. BARTON: Almost all.

8 CHAIRMAN SIEBER: Well, every time
9 somebody says all then I get excited.

10 MR. VALENTE: I understand the guidance.

11 CHAIRMAN SIEBER: Okay. So if you think
12 it is all, think of exemptions and tell us those.

13 MR. CROUCH: Joe, why don't we take a
14 break at this time?

15 MR. VALENTE: That would be fine. How
16 long a break do we want to take?

17 CHAIRMAN SIEBER: We usually take 15
18 minutes, and I think we should come back at 20 to 11.

19 (Whereupon, the above-entitled matter
20 went off the record at 10:25 a.m. and
21 went back on the record at 10:40 a.m.)

22 CHAIRMAN SIEBER: I think it is time for
23 us to resume. I think, just as a comment, at this
24 point in time I think the TVA folks are doing well to
25 answer our questions, and I think you are well

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prepared.

2 So I anticipate further good performance
3 on your part.

4 MEMBER BONACA: Is that the expectation?

5 CHAIRMAN SIEBER: That is an expectation.

6 Okay, go ahead.

7 MR. VALENTE: Okay. I would like to talk
8 about the intergranular stress corrosion cracking
9 special program here. This program addressed the
10 issue and complied with the guidelines in generic
11 letter 88.01

12 On unit 1 we replaced all of the IGSCC
13 susceptible piping, including the safety aspect, and
14 we replaced it with 316 NG stainless steel. This
15 total pipe replacement on unit 1 was a difference from
16 the unit 3 precedent, where they only changed out the
17 header and some of the candy cane.

18 MR. BARTON: This was all the recirc
19 piping?

20 MR. VALENTE: Recirc, RWC, RHR.

21 MR. CROUCH: We also, not with 316 NG, but
22 with 333 carbon steel, changed out the core spray
23 piping inside the dry well.

24 CHAIRMAN SIEBER: So you've, with all this
25 piping replacement, including safety you said?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. VALENTE: Yes.

2 CHAIRMAN SIEBER: So you've had a lot of
3 heat treating going on. And you have records for all
4 of that, right?

5 MR. VALENTE: Yes. And we have had --

6 CHAIRMAN SIEBER: And radiographs of all
7 the welds?

8 MR. VALENTE: Yes, sir. And we have had
9 multiple inspection on our safe heads from the region
10 inspectors, and they are successful.

11 CHAIRMAN SIEBER: Now, the plant hasn't
12 operated since you replaced the piping, and so you
13 haven't had a hydro, or anything like that. And that
14 will all occur during the restart.

15 MR. CROUCH: We have not had hydro, but we
16 have refilled the vessel, so the major portions of the
17 recirc loop do have water in them now.

18 MR. BARTON: So they haven't leaked under
19 head pressure?

20 MR. CROUCH: Haven't leaked.

21 MR. CROUCH: Have not leaked.

22 CHAIRMAN SIEBER: That is a step in the
23 right direction.

24 MR. VALENTE: One question was, why did we
25 replace all of the piping? And the answer was IGSCC,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and it also facilitated work in our dry well for other
2 ongoing activities.

3 Now, for stress improvement we are using
4 the mechanical stress improvement process. That is
5 being done. And for the improvement in the operating
6 environment, hydrogen water, chemistry, and noble
7 metal injections are --

8 MR. BARTON: You are doing noble metal as
9 well.

10 MR. VALENTE: Noble metals will not be
11 done prior to restart, because you have to have the
12 operating conditions right --

13 MR. BARTON: But you are going to restart
14 with hydrogen --

15 MR. VALENTE: That is right.

16 CHAIRMAN SIEBER: Now, I presume you
17 refilled the vessel to provide some shielding, right?

18 MR. VALENTE: Yes.

19 MR. CROUCH: We refilled the vessel to
20 facilitate the in-vessel work going on, the
21 inspection.

22 CHAIRMAN SIEBER: Okay. Which is,
23 basically, the same. Are you circulating water in the
24 vessel, or is it just sitting there where you can get
25 all kind of hideout, and things like that?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. R. G. JONES: This is R. G. Jones, the
2 restart plant manager. We are currently, right now,
3 we do not have direct water cleanup system in service.
4 We have tested it, that was one of the systems that we
5 completely redid.

6 We have it out of service right now, but
7 we have three 600 gallon per minute tri-nukes in the
8 vessel currently, right now, and we have on 2,600
9 gallon per minute tri-nuke, that is currently laying
10 there, that is recirculating water to the vessel.

11 CHAIRMAN SIEBER: Well, you are
12 essentially in a wet lab condition and recirculation
13 is important under those conditions.

14 MR. VALENTE: Yes.

15 CHAIRMAN SIEBER: Okay.

16 MR. LEITCH: Now we are talking about
17 vessel connections, the CRD return line nozzle, to the
18 vessel, has been capped on this unit, is that correct,
19 on all three units?

20 MR. VALENTE: Yes.

21 MR. LEITCH: What is the status of --

22 MR. VALENTE: All three.

23 MR. LEITCH: All three, thanks.

24 MR. VALENTE: That was the only items on
25 the performance plan I was going to discuss. And if

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there are any other questions --

2 As I previously mentioned, all of the
3 program scopes and criteria were approved by the Staff
4 during the unit 2 recovery. And I have provided you
5 a copy of the program synopsis.

6 MR. LEITCH: Now, what is meant by the
7 restart test bullet that is there, could you describe
8 that a little bit?

9 MR. VALENTE: Yes. This one will describe
10 the process for the restart testing, R.G. and Bob Moll
11 are going to go through this in detail. Do you want
12 to add anything on that one?

13 It took us through the framework on how
14 you go through and test all your safe laid aspects of
15 the plant.

16 MR. LEITCH: and we are going to hear more
17 about that?

18 MR. CROUCH: You are going to hear a lot
19 more about that later on.

20 MR. LEITCH: Fine, okay.

21 MR. VALENTE: One of the thing that was
22 questioned, as far as one of your questions, and we
23 will get into this more, a little bit later on, we are
24 talking about IGSCC pipe replacement.

25 In the question here, along the same line,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what have you also done for your RDVCU pumps and heat
2 exchangers? The pumps have been replaced as new, and
3 Joe will go over that. And three of the five heat
4 exchangers have been replaced, the three reach-in heat
5 exchangers.

6 All this was part of the overall scope of
7 replacing the IGSCC piping.

8 CHAIRMAN SIEBER: Okay.

9 MR. VALENTE: And a little further in the
10 presentation we are going to get down to some systems,
11 we are going to talk about RWCU, is one of the
12 systems. We have some marked up flows and control
13 diagrams, so that you can get a feel for the magnitude
14 of the replacement on the system.

15 I think the visual will give you a better
16 feel. The other items on this sheet, performance
17 upgrades, again, this is the scope that was put on the
18 units, post their recoveries.

19 And we incorporated all of that scope up
20 and an example, is the digital feed water, got
21 incorporated. Same thing with license renewal and
22 power uprate.

23 The original design concept was to bring
24 back unit 1 for a 60 year life, and an extended power
25 uprated conditions. All the analytical work was done

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to those parameters, and all the physical hardware
2 changes in the plant reflect that.

3 So, basically, this is a little bit more
4 detailed from the scope provided on the other page.
5 Page 11. Some other notable programs for recovery
6 include the station black-out, the ATWS rule.

7 The station blackout was addressed for all
8 three units, during the unit 3 recovery. Now, Browns
9 Ferry has a very reliable and diverse electrical
10 system.

11 We have seven off-site power lines coming
12 into the station, we have eight diesel generators,
13 four which support units 1 and 2, with four that would
14 support unit 3.

15 The ATWS rule, that was originally
16 resolved for all three units back in 1989. Currently
17 unit 1 is implementing the DCNs, the design change
18 packages to complete the ATWS requirements. And this
19 includes the alternate rod injection DCN, the recirc
20 pump trip, and the boron concentration in the stand-by
21 liquid control system.

22 CHAIRMAN SIEBER: Jumping back to the
23 station blackout, what is the condition of the unit 1
24 station batteries?

25 MR. BURRELL: The station batteries are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 common batteries for all three units, and they are --
2 so they were replaced, effectively, at the time of
3 unit 2 restart. There have been some material
4 condition issues with shutdown boron batteries, and
5 those are being, or are planned to be replaced later
6 this calendar year.

7 CHAIRMAN SIEBER: Okay. So they are,
8 what, about 12 or 13 years old?

9 MR. VALENTE: Actually we replaced them on
10 the unit 3 recovery, not the unit 2. We had a very
11 large outage after unit 2 came up, and there is now
12 100 plus day outage that we replaced the batteries.

13 CHAIRMAN SIEBER: But you have a regular
14 plan of surveillances, including discharge tests?

15 MR. BURRELL: There is a regular
16 surveillance routine for supporting the --

17 CHAIRMAN SIEBER: And they have
18 continuously been satisfactory?

19 MR. BURRELL: Yes.

20 CHAIRMAN SIEBER: Okay, thanks.

21 MR. VALENTE: VIP, all three Browns Ferry
22 units are committed to the VIP, and unit 1 will
23 perform all their prior inspections prior to restart.

24 The other items here are the generic
25 upgrades required by the NRC, the generic letters, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bulletins, and the TMI items. Basically we have 24
2 outstanding generic letter, 14 bulletins, 11 TMI
3 items, and 21 tech spec changes for recovery.

4 If you need any specific on those, Mr.
5 McCarthy has it in --

6 CHAIRMAN SIEBER: What are some of the TMI
7 items that are still outstanding?

8 MR. MCCARTHY: Joe McCarthy, licensing.
9 Control room design review, the additional review for
10 the human performance. That wasn't done on unit 1, it
11 had been done on units 2 and 3.

12 CHAIRMAN SIEBER: That is a pretty
13 extensive job.

14 MR. MCCARTHY: Yes, it is.

15 CHAIRMAN SIEBER: Okay. Any others that
16 come to mind

17 MR. BARTON: Might that not, the results
18 of that review might not get into some more design
19 changes in the unit 1 control room?

20 MR. BURRELL: All the changes, all the
21 human factors, deficiencies, have been identified for
22 all three units, early on, and all of those HEDs are
23 being resolved. How the designs are issued to do the
24 control room upgrades, and the implementation is in
25 process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Other things related to TMI, certain post-
2 action monitoring instrumentation is being
3 supplemented, or added. And there is other
4 instrumentation changes associated with TMI.

5 CHAIRMAN SIEBER: One of the tough ones,
6 under REG guide 1.97 was neutron detection to detect
7 re-criticality. I presume -- most people took
8 exemption to that. I presume you did too?

9 MR. BURRELL: We did the same.

10 CHAIRMAN SIEBER: Okay.

11 MR. VALENTE: Everything we discussed on
12 these two sheets, that represented about 2.3 million
13 man hours to do the effort, extensive.

14 Any questions on this portion?

15 (No response.)

16 MR. VALENTE: Next thing I would like to
17 talk about is our lay-up program. The lay-up program,
18 the purpose of our program was essentially an economic
19 asset preservation program.

20 The systems and components that were
21 determined to be more economical to lay-up rather than
22 to replace in the future were put into the program.
23 We did keep some systems in service to support the
24 operating units, that was a loop of HR service water,
25 and a loop of RHR.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We used the EPRI NP-5106, the source book
2 is the basis for our guidelines in the program. We
3 used both revs. And for dry, we used two types of
4 lay-up, obviously, wet and dry.

5 For dry lay-up the primary method used was
6 the circulation of dehumidified air through the
7 systems piping and components.

8 CHAIRMAN SIEBER: That is heated air?

9 MR. VALENTE: Yes.

10 CHAIRMAN SIEBER: You are trying to
11 evaporate whatever residual water is in there?

12 MR. VALENTE: That is correct.

13 CHAIRMAN SIEBER: That has the
14 disadvantage of, as you are evaporating the water out,
15 the chemical concentration of impurities is going up.
16 So you end up with places in your system where it
17 hides out.

18 And so you have a very aggressive chemical
19 environment with a little bit of water and air going
20 through there, which some folks think is not good.

21 MR. VALENTE: All right. We implemented
22 the method by connecting portable dehumidifiers at our
23 piping systems, and then had the exhaust points at the
24 furthest part of the system that we were interested in
25 preserving.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Now, what we used as the standard for our
2 lay-up was that when we made our checks, the relative
3 humidity was to be less than 60 percent on the exhaust
4 air. There was no standing water to be identified on
5 the low point drains, and we performed some limited
6 visual inspections, and we didn't want to see any
7 corrosion, adverse corrosion issues.

8 CHAIRMAN SIEBER: You plan any additional
9 inspections? I notice, you told us that you weren't
10 taking credit for the lay-up, which implies you are
11 going to do some additional inspections.

12 Have you identified the places where you
13 feel those inspections are necessary, and what kind
14 you will do?

15 MR. VALENTE: Well, what we have been
16 doing, we have been replacing so many components and
17 valves on these systems, that we have cut into so many
18 points, that we have made visual inspections at these
19 points.

20 And what we found was that when we got
21 into them, the original inspections that we did, where
22 we did some UT inspections and so forth, we haven't
23 found -- additional cuts into the systems.

24 So what I'm going to tell you in a
25 subsequent sheet is how many cuts, how many valves we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 replaced out, and how many inspections we were able to
2 make, in addition to what we did from the original
3 material condition walk-downs that we performed.

4 CHAIRMAN SIEBER: Well, visual inspections
5 are usually the simplest type that you can do. And so
6 if there are areas of concern where visual doesn't
7 really tell you everything, you may have to go to
8 something more volumetric, so to speak.

9 MEMBER BONACA: The SER, you know, there
10 is a section in the SER which has been added,
11 discussing further lay-up issues, and the plans that
12 you have for additional inspections, and the
13 discussion of separating those which are to establish
14 the proper condition of the components, versus the
15 ones for license renewal, which are --

16 MR. VALENTE: Yes.

17 MEMBER BONACA: So there is all the
18 discussion we will have. But in that discussion there
19 is also documentation that you had some problems with
20 the lay-up program. I mean, in 1987 report, for
21 example, from the NRC that establishes that for a
22 certain period of time there were moisture concerns
23 that were not addressed.

24 And another issue, I believe, with loop
25 boil environment not being monitored, and things of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that kind. So when you discuss the issue of not
2 taking credit for lay-up, let's understand the whole
3 logic behind that.

4 I mean, you still take credit for lay-up,
5 because you did have components in lay-up, and you are
6 not replacing them. You are supplementing, I believe,
7 that credit with the inspections.

8 And I think the central issue becomes,
9 then, to what extent those inspections will identify
10 possible latent conditions that may not affect the
11 condition or the method now, but will affect the rate
12 of aging in the future.

13 And for those, I believe, the strategy is
14 one of having periodic inspections.

15 MR. VALENTE: Right.

16 MEMBER BONACA: Which to me implies at
17 least two, to monitor that. So if you could address
18 those a little bit?

19 MR. VALENTE: Okay. Let me try this. You
20 bring up two very good points. I'm going to start out
21 by talking what we did for restart, and then we will
22 come back into the license renewal.

23 CHAIRMAN SIEBER: Okay.

24 MR. VALENTE: For restart, when we say we
25 didn't take credit for the lay-up, is because we did

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional inspections, material condition
2 inspections, to determine that what the analytical
3 basis required was out there, like on the piping
4 system.

5 Did it have the sufficient wall thickness,
6 did it have sufficient wall thickness to absorb our
7 conditions, our wear rates, and last for a minimum
8 period of years?

9 And when we get down to some piping I will
10 tell you, we looked at some stuff that had a four year
11 life, and some that had a 13 year life, existing pipe
12 that were in the lay-up program.

13 But we didn't take credit, when we say we
14 didn't take credit for the program, we didn't care how
15 the inspection was on the lay-up. We did inspections
16 to validate the analytical basis requirements.

17 MEMBER BONACA: Okay, I understand now
18 what you meant by refurbishing, because we are talking
19 about refurbishing or base lining when we came to
20 Browns Ferry, and that was confusing to me, still,
21 what we meant by that. Okay, I understand.

22 MR. CROUCH: Basically what it means is we
23 didn't have any place out there where we said, we
24 don't have to do any inspections on this system
25 because it has been in lay-up. That would have been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 taking credit for the lay-up. Instead we keep doing
2 those inspections to make sure that we are in good
3 condition.

4 MR. VALENTE: And just like the report
5 that you were looking at, there, initially when the
6 lay-up program was initiated, it obviously went
7 through a maturing process.

8 The report that I read, the first NRC
9 inspection, the program is very immature, there were
10 some issues. Subsequent to that the station got more
11 aggressive in monitoring the lay-up program.

12 The AUOs, review this stuff, essentially,
13 daily. And then reports were generated monthly. The
14 wet lay-up we circulated the water through the vessel,
15 we controlled it to our chemistry instruction, which
16 was more conservative and more rigorous than the
17 requirements.

18 And that was monitored quarterly. So we
19 did see some excursions on the air, the exhaust air
20 being greater than 60 percent. We did see some
21 excursion where it had some water in the drain points.
22 But those were corrected on.

23 There weren't any excursions, from what I
24 could see, on the chemistry, on the water through the
25 vessel. That was pretty tightly controlled. Now,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subsequent, the NRC made an inspection, the NRC
2 resident made the inspection on the lay-up program
3 right at the time of the start of DCP, which was late
4 2001.

5 And in that report he didn't find any
6 excursions from the requirements. So, obviously, it
7 matured out. Now, in license renewal, absolutely. We
8 are confident that we know that that degradation
9 mechanism is based on what we observed on unit 3.

10 Unit 3 was sitting idle for almost ten
11 years before we recovered it. Later in the
12 presentation we are going to talk about the RHR
13 service water, we had to replace it, based on a lesson
14 learned from unit 3.

15 We saw the actual same condition in the
16 delamination in the pipe, on how we laid it up, that
17 we saw on unit 3. So ten years, five, ten years, the
18 delamination occurred, and it occurred on unit 1.

19 Subsequent to unit 3 coming back, it has
20 ten years of operating experience. And its capacity
21 factors were very high. We haven't seen any
22 condition, based on the operational time period, that
23 we could attribute to the lay-up conditions.

24 So I understand your question, I have an
25 example of ten years down, down time, with ten years

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operating experience, nothing detrimental related to
2 aging, or the lay-up period coming out of there.

3 Then I have unit 1 with twice the lay-up
4 time, but much more extensive replacements in the
5 piping systems. And I can't give you the definitive
6 answer, but I think the definitive answer is I have
7 ten years of operating experience here, and I think
8 I'm going to see the same thing on unit 1.

9 Because unit 1 is going to be in a better
10 position because of all those changes.

11 MR. BARTON: Did unit 3 have a lay-up
12 program in place during that ten years, similar to
13 unit 1's, or not?

14 MR. VALENTE: Mr. Jones.

15 MR. JONES: Yes, it did. We established
16 the lay-up program just a few years after that they
17 were shut down, and we put everything in lay-up, and
18 then it stayed in that condition until prior to
19 startup, when we came back with recovery.

20 MR. BARTON: -- programs that you have in
21 place on unit 1?

22 MR. JONES: That is correct, sir.

23 MR. BARTON: Okay.

24 CHAIRMAN SIEBER: I think one of the
25 interesting things you are going to find, as far as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system integrity is concerned, is that once you get
2 ready to start up and pressurize, you have about,
3 probably, somewhere between 12 and 17,000 valves in
4 that plant.

5 And I would bet you that every one of them
6 leaks, packing glands. And that --

7 MR. BARTON: Well, some of them they are
8 repacking.

9 CHAIRMAN SIEBER: Well, that might be too
10 early, because packing does dry up. But, in any
11 event, there is this block of work that is out there.

12 MR. BARTON: There are going to be a lot
13 of mechanical leaks.

14 MR. CROUCH: Every valve is either being
15 replaced, or being refurbished. So it will get new
16 packing. The operators go out there, turn the valves
17 and make sure they work properly. So that will be
18 refurbished before we restart.

19 CHAIRMAN SIEBER: I have been through that
20 adventure in my lifetime, and it is not a pleasant
21 experience, and it does turn into a lot of man hours.
22 It is not a particular safety concern, other than
23 contamination.

24 MEMBER BONACA: Going back to your
25 statement of the ten years of experience on unit 3, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 must say that I thought about it myself, but I wasn't
2 helped by the documentation almost anywhere. And
3 nobody made that point, in either the application or
4 the SER.

5 So, therefore, one is left to his own
6 instrument to say, you know, they did this for unit 3
7 and lo, and behold, they restarted that. And what was
8 the result of that? You know, if there had been a
9 discussion on operating experience that said, yes, we
10 found this problem, this problem, this problem, we
11 fixed it and, clearly, we have therefore some
12 experience. That is the kind of information that
13 helps.

14 MR. CROUCH: We can, once again, work to
15 put some of that information in the SER.

16 MR. SUBBARATNAM: I would like to find
17 out, with respect to the homework you are taking now,
18 when you come back could we have two slides on so many
19 inspections you are talking about, prior to restart,
20 the base line, and you want to talk about inspection.

21 You need to clearly define, in the context
22 of what you give us, by way of document submittal,
23 what you meant by that, which is applicable for
24 restart, which is applicable to license renewal.

25 We need to have that clarity clear for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 committee, when you come back on October 5th.

2 MR. VALENTE: And then, like you said,
3 license renewal had other aspects. You know, what I
4 call the baseline inspection. And we will do that,
5 essentially what we are doing right now, in restart.
6 And then we are going to have the periodic
7 inspections, again, to validate.

8 We don't anticipate any latent defects
9 coming up in operation. And as Rich will probably
10 tell you, later, in the presentation, we are going to
11 continue those periodic inspections until the data
12 shows that there is no concern.

13 So it is not going to be a one shot, or a
14 two shot. It is going to go out.

15 MEMBER BONACA: So that was a question I
16 had in my mind. So when you say that you will have
17 periodic inspection means that if you do, first the
18 inspection at, say, two years before you enter in
19 license renewal, you would perform at least another
20 inspection?

21 MR. VALENTE: Yes. And my guess is that
22 there would be, at least, a third inspection.

23 MEMBER BONACA: Because my main concern
24 would be that you fall back on a one time inspection.
25 We have seen it before, the people say we don't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a problem, and they go the first time, they find no
2 problem, and they say we will never do it again.

3 MR. VALENTE: That was not our intent.
4 And if I left you with that conclusion --

5 MEMBER BONACA: No, no.

6 MR. VALENTE: -- from the August meeting,
7 I didn't present it clear enough.

8 MEMBER BONACA: No, that wasn't from the
9 other, just from reading the material it wasn't clear
10 to me.

11 MR. VALENTE: Basically on page 13 you can
12 see some of the systems that we had in dry lay-up, and
13 you can see the systems in the wet lay-up. We did the
14 monitoring results, as I said, the dry systems were
15 essentially monitored monthly in the reports, the wet
16 system was monitored quarterly.

17 The results that we got from the
18 monitoring program, except for some excursions on the
19 dry, we essentially met the acceptance criteria that
20 we were after.

21 And, again, no credit was taken for the
22 lay-up program in determining the acceptability of the
23 structure systems, or components, for unit 1 restart.
24 Because we did additional walk-downs to criterias, to
25 support the design basis that we were doing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Part of the DDPT program was the element,
2 the walk-downs, to reconcile everything up. And once
3 we came through the calculations, after we had that
4 walk-down data, what was acceptable was then looked at
5 by either our system engineers, or maintenance
6 personnel, to determine the actual material condition.

7 And if the condition came back from
8 visuals that it was extensive problems, we replaced.
9 If it came back that it looks good, then we
10 refurbished.

11 MR. BARTON: -- assume you included the
12 main condensers, and you put dry warm air through
13 there?

14 MR. VALENTE: Yes. Is that correct, R.G.?

15 MR. R. G. JONES: That is correct.

16 MR. BARTON: Thank you.

17 MR. CROUCH: Before we go on, some
18 questions have been asked by other people, what was
19 the status of the other systems? Other systems
20 besides these that are listed here as dry and wet,
21 they were basically just drained.

22 They did not have humidity control on
23 them, or anything like that, but they were drained,
24 and nominally dry. Another question that came up was
25 we've talked some with the license renewal staff about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 replacing approximately 3,000 feet of raw cooling
2 water piping.

3 And the question was, why is this being
4 replaced? Well, this system was also drained.
5 However, some of the isolation valves leaked through
6 and refilled the system, so the system was sitting
7 there with stagnant, untreated water in it.

8 And so as part of our unit 1 inspections
9 we found this condition, and we are replacing the
10 piping.

11 MR. BARTON: So the source of that water,
12 what is your raw water, river water?

13 CHAIRMAN SIEBER: The Tennessee river,
14 right.

15 MR. LEITCH: One of the systems that would
16 be of concern to me is the turbine, the main turbine
17 EHC piping, hydraulic system. I know that initial
18 startup of these plants, that can be very troublesome,
19 and minute particles can really play fits with the
20 servos, and so forth, and give you all kinds of mis-
21 operation.

22 And I remember flushing those systems with
23 vibrators on the pipe, and everything, trying to get
24 just minute specs out of there. I wonder if you
25 considered that kind of a problem associated with lay-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 up?

2 MR. CROUCH: RG, a problem?

3 MR. MOLL: My name is Bob Moll, unit 1
4 system engineering manager mechanical lead. There are
5 plans, with GE, that has most of the turbine flow work
6 on the TVA service shop to do extensive EHC system
7 fluid flushing, as well as the main turbine system
8 flushing, and in a low boil system, because the piping
9 is bigger, and parts of the HC system, they are also
10 looking at some mechanical cleaning, where that is
11 possible.

12 Actually that work is scheduled to happen,
13 I believe, later on this fall.

14 MR. LEITCH: It seems to me that is an
15 area where you are not replacing and, yet,
16 observation, just visual observation may not reveal
17 the particles that I'm talking about, which are quite
18 small.

19 So I think you almost have to think about
20 flushing in the same sense as with a brand new unit,
21 really.

22 MR. MOLL: That is correct, that is
23 basically the plans I have in place, is treating it as
24 a brand new unit for both the low boil and the HC.

25 MR. LEITCH: Yes, I think low boil is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certainly important but the EAC can really give you
2 fits with very, very small particles.

3 MR. VALENTE: We will go to page 14, then.

4 Continuing on why we didn't take credit for the lay-
5 up program, the material condition of the structures,
6 the systems, and components, required for unit 1
7 restart was determined by physical hand-over, hand
8 walk-downs, and inspections.

9 The results from these activities provided
10 the input into the baseline calculation work. Once
11 that calculation work was completed we were able to
12 determine which valves, components, pump motors,
13 piping systems, that were acceptable, based on the
14 design.

15 Now, when we met in August you asked me
16 what criteria did we use to come up with this? Each
17 discipline, mechanical, electrical, INC, structural,
18 had specific criteria for the key parameters that they
19 needed for their analysis.

20 The obvious ones in the electrical, motor
21 size, what it looked like, and so forth. Mechanical
22 was interested in the functional relationship of
23 lines, pipe diameters, wall thicknesses, and so forth.

24 Civil was after size of members, bolt
25 connections, and so forth. We can tell you more

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 detail if you want to know the criteria. But there
2 was a defining criteria, each discipline, that this
3 information came back on.

4 When we determined the component was good,
5 piping system was good, system engineers, or the
6 maintenance personnel went out to do material
7 condition inspections.

8 We opened valves, we cut into pipe, we put
9 robots in, cameras in, we took UT measurements on 12
10 systems, we took UT measurements down. Our heat
11 exchanger shells, heat exchangers that were
12 acceptable, the shells were also UTd.

13 Tube bundles that didn't have a history of
14 any leakage, we did eddy current testing on them, one
15 hundred percent. And the ones that we knew were bad
16 we just replaced out, and new bundles went in.

17 So if we had a component that was
18 determined, from the analytical basis, to be
19 acceptable, it was looked at either by eddy current,
20 UT measurement, visual.

21 MR. BARTON: What did you do about buried
22 piping and buried tanks?

23 MR. VALENTE: We only had one segment of
24 buried piping that affected unit 1, the CRHS service
25 water pipe.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BARTON: You don't have any fire
2 protection stuff that is underground?

3 MR. VALENTE: There is fire protection,
4 but it is in service.

5 MR. BARTON: It is in service for unit 1?

6 MR. VALENTE: Right.

7 MR. BARTON: What about buried tanks, do
8 you have any of those?

9 MR. VALENTE: Not that I'm aware of.

10 MR. CROUCH: Not specific to unit 1. The
11 buried tanks are common to units 2 and 3, and
12 currently in operation, such things as the diesel fuel
13 oil tanks.

14 MEMBER BONACA: What above-ground tanks,
15 did you do any inspection of bottoms, or internals, on
16 above-ground tanks that were probably drained?

17 MR. R. G. JONES: They are in service for
18 units 2 and 3.

19 MR. VALENTE: RG.

20 MR. BARTON: Condensate storage, they are
21 all common tanks?

22 MR. R. G. JONES: Yes, sir. They are
23 currently in service and we have divers that will be
24 going into the condensate storage tanks to do an
25 observation and a visual look-through on that before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we start-up.

2 MR. BARTON: Do you have a good confined
3 space program?

4 MR. R. G. JONES: Yes, sir.

5 MR. VALENTE: Yes, sir.

6 MR. CROUCH: One of the handouts that was
7 given to you was the locations where we had performed
8 NDE, that is the handout that looks like this. This
9 refers to the piping locations that Joe was talking
10 about.

11 And let me give a little explanation on
12 how we did these piping locations. We did not go in
13 and just randomly select locations. Instead we used
14 what I call smart engineering. We went and looked for
15 places where it would be susceptible to having had
16 water standing, or where you had situations where if
17 it was like a steam system, where it would potentially
18 be susceptible to back, we applied our engineering
19 knowledge, and we would go out and look at the
20 locATions where we would be most likely to find
21 detrimental type conditions.

22 So we went in. It gives you an idea, on
23 this sheet here, how many places we looked at, how
24 many feet of pipe, that kind of stuff. We looked at
25 the full circumference of the pipe, all the way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 around, when we were doing these things.

2 In all cases the measurements were
3 acceptable in these systems.

4 MEMBER BONACA: So you looked in specific
5 crevasses and --

6 MR. VALENTE: What you have there, Dr.
7 Bonaca, is this is a summary and a snapshot in time.
8 Subsequent to this work here, we had done a lot more
9 UT inspection of piping, and we can provide that to
10 you, if you are interested.

11 But we have done quite a lot of looking.

12 MR. BARTON: You've got the dry well liner
13 listed on here, four areas, below the concrete
14 interface floor, or were they all above?

15 MR. VALENTE: No, it was right at that
16 interface.

17 MR. BARTON: At the interface.

18 MR. VALENTE: The reason that came in was
19 that --

20 MR. BARTON: You didn't go down into,
21 through the floor, to the bottom of the dry well?

22 MR. VALENTE: The interface was right at
23 the --

24 MR. BARTON: Right at the interface?

25 MR. VALENTE: Interface, right. As you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know there is a seal that is in there, that we were
2 concerned about trapped water over time. We pulled
3 the seal out, we did the inspection, and no loss.

4 And the reason we did that, at this time,
5 is we were doing work on dry well coolers and some
6 duct work, and we were going to lose accessibility
7 when the duct work went back in.

8 So we made, we put the new repair in and
9 we conducted the IWE at that time.

10 CHAIRMAN SIEBER: Most of the inspections
11 you made were thickness measurements?

12 MR. VALENTE: Yes.

13 CHAIRMAN SIEBER: Which presumes a general
14 corrosion, erosion kind of mechanism, as opposed to
15 pitting and cracking. The thickness, UT thickness
16 gauge won't tell you that. So is there any
17 supplemental methods that you -- I noticed a few exams
18 are more definitively volumetric, where you could
19 actually characterize flaws, but not a lot of them.

20 MR. CROUCH: The UT measurements, they
21 were gridded of in like a four by four grid. They
22 very slowly and meticulously go over the entire area.
23 So even if there is pits they will find pits.

24 CHAIRMAN SIEBER: Well, you won't find
25 cracks that way. And in four by four is, it may be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 okay on some things, but not on others, because if you
2 are really looking for flow assisted corrosion, on
3 small lines, it can be in a very small place, where
4 the turbulence is there, and you can miss it with a
5 four by four grid.

6 MR. CROUCH: And that is the reason why we
7 used our engineering knowledge of where we were seeing
8 flow corrosion on units 2 and 3, and we went and
9 looked in the same location on unit 1.

10 CHAIRMAN SIEBER: Yes, that is a good
11 idea.

12 MR. VALENTE: So we had history on this
13 plant. The configuration between the units is purely
14 consistent. So we did have a focused look --

15 CHAIRMAN SIEBER: Yes. Well, as much as
16 you say the units are identical they probably aren't.
17 And, occasionally, there are surprises and good
18 engineers aren't surprised very often. I tried not to
19 be.

20 MR. VALENTE: One of the other things that
21 we did, when we started doing piping replacement, I
22 went to the units 2 and 3 engineer that is responsible
23 for the pipe program and asked him, where have you had
24 to replace pipe?

25 And then, just like you are saying, there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are some places where you do the small geometry
2 differences, and you have something occurring, but you
3 wouldn't have noticed. Well, I took those and applied
4 them, generically, so we had places where you had some
5 Ts, where you were shooting out the back side of the
6 T, only in certain Ts.

7 CHAIRMAN SIEBER: Right.

8 MR. VALENTE: Well, I took that and
9 applied it to all the Ts like that, so that that kind
10 of situation is occurring, I replaced all that piping.

11 CHAIRMAN SIEBER: Yes, that is a good
12 idea. Good, okay, thank you.

13 MR. VALENTE: The only other point I would
14 like to make here is on valves and motor that we
15 determined to be acceptable, we had them refurbished
16 to the original OEM spec.

17 They were sent off to our vendor, they
18 disassembled them, inspected them, made repairs, they
19 replaced the consumables, reassembled, tested them,
20 and sent them back. We monitored the testing.

21 CHAIRMAN SIEBER: Do you have a pretty big
22 warehouse?

23 MR. VALENTE: Yes, sir.

24 CHAIRMAN SIEBER: I imagine.

25 MR. VALENTE: As I was telling you, on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 next sheet, we are going to get into some numbers. We
2 did cut out a lot of valves, and components, and we
3 performed the additional inspections when we got into
4 those pipes.

5 They were visual, in the area, and we did
6 do some remote inspections on the core spray RHR, pump
7 suction, and the main steam lines. We sent a robot
8 down there with a camera.

9 MR. BARTON: You did three more unit 1
10 mechanical systems since you put the book together,
11 right?

12 MR. VALENTE: Sir?

13 MR. BARTON: Our slide says 39, your slide
14 says 42.

15 MR. VALENTE: They didn't fix the slide.

16 CHAIRMAN SIEBER: That is since yesterday.

17 MR. VALENTE: Well, it will be a long ride
18 home for one of these guys.

19 (Laughter.)

20 MR. VALENTE: On page 15, what I want to
21 do here, each individual system, on unit 1, was
22 evaluated for its adequacy for restart. We got some
23 subsets here, I want to make sure everybody
24 understands.

25 Each system for restart totally reviewed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 individually, and the interactions. Now, what this
2 slide describes is how the unit 1 restart is captures
3 the applicable license renewal systems.

4 Now, we've got the -- I'm going to take
5 you out of sequence a little bit. 61 systems for
6 restart, we have 47 systems for license renewal,
7 mechanical systems for license renewal, okay?

8 Restart had physical modification work on
9 39 of those 47. So, obviously, 8 were in service for
10 the operating unit, we, being unit 1, we didn't have
11 to modify anything, because these systems were
12 evaluated at the time unit 3 restart, for unit 3
13 operation.

14 A historical point, unit 3 time, when we
15 were recovering, the intent was to finish 3 and then
16 roll into 1. So all that analytical work was done
17 upfront, and we were touching it, and then subsequent
18 decisions made.

19 Obviously all of these systems will have
20 some maintenance work on them. And what I'm talking
21 about here is physical changes to the system. We
22 replaced one system, one complete replacement, that is
23 the recirculation system.

24 We replaced all the piping, the
25 instrumentation, and the electrical cables.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BARTON: Do you have valves, isolation
2 valves in your recirculation piping or not?

3 MR. VALENTE: Yes.

4 MR. BARTON: You do?

5 MR. VALENTE: Yes.

6 MR. BARTON: What did you do with those
7 valves?

8 MR. CROUCH: They were refurbished.

9 MR. BARTON: Refurbished. You reused the
10 packing when you put them back together, disassembled?

11 MR. CROUCH: Yes.

12 MR. BARTON: Everything, same thing?

13 MR. CROUCH: Disassembled, inspected,
14 either repaired or determined to be acceptable,
15 refurbished.

16 MR. BARTON: Okay.

17 MR. CROUCH: Consumables replaced,
18 reassembled, tested, testing witness by our source
19 surveillance. That was our standard, safety related,
20 and a lot of non-safety related.

21 MR. VALENTE: Like we said, we refurbished
22 the existing valves and motors to original OEM specs.
23 Now we get down to some interesting numbers here.

24 Thirty three of the license renewal
25 systems were partially replaced by design changes or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maintenance activities to meet the requirements.
2 Design criteria requirements for unit fidelity. And
3 the list of DCNs that you had, what is in there.

4 In these 33 systems, 35 percent of the
5 large bore piping was replaced. This represents
6 approximately 15,300 feet of replaced pipe, compared
7 to a total of approximately 43,000 feet.

8 For the small bore we replaced 25 percent
9 of this piping. And that replacement equated to,
10 essentially, 19,000, approximately 19,400 feet,
11 compared to approximately 77,000 feet in the unit.

12 Fifteen percent of the valves were
13 replaced. That is approximately 5,300 valves out of
14 a total population of 38,000. Now, we did a lot of
15 cutting. We cut, we performed visual inspections.
16 Our field engineers did, our system engineers did.

17 If we had access, we looked.

18 MR. BARTON: When these valves were
19 replaced, were they replaced with same type valve that
20 was there before, or did you upgrade? In other words,
21 did you change some gate valves because of engineering
22 consideration, or operational considerations?

23 MR. CROUCH: There were a few places we
24 did that but, for the most part, it was like to like,
25 as far as valve type. Now, you can't always get the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same --

2 MR. BARTON: Same vendor or whatever,
3 right. But it was --

4 MR. CROUCH: We also, as part of doing
5 this, we did a lot of stellate removal. We replaced
6 a lot of valves. There was nothing really wrong with
7 the valve, but it contained stellate, we would replace
8 it for that reason.

9 CHAIRMAN SIEBER: How much cobalt do you
10 think you have remaining, roughly? Some things you
11 can't replace.

12 MR. VALENTE: I don't know, I have no
13 idea.

14 CHAIRMAN SIEBER: Okay. I was just
15 curious. It is not something you should know.

16 MR. VALENTE: Okay, in the electrical
17 arena we replaced approximately 30 percent of the
18 cable on the unit. This represents approximately
19 800,000 feet of cable replacement, against an
20 estimated total of 2.8 million feet.

21 Now, the 30 percent cable replacement, on
22 unit 1, represents 80 percent of the safety related
23 cable, okay? For the remaining safety related cable
24 that wasn't changed out, visual inspections were
25 performed at the available access points.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And this inspection was to look for jacket
2 degradation, problems, or anything.

3 MR. BARTON: Do you have buried cable?

4 MR. VALENTE: Yes.

5 MR. BARTON: Was all that replaced?

6 MR. CROUCH: Dave? I believe all of the
7 buried cable was --

8 MR. BURRELL: The only buried cable is
9 cable that is supporting common equipment that is
10 currently in service. As a part of having to do some
11 modifications on a couple of those circuits, for
12 appendix R reasons, we did go in and do ten delta
13 tests on them to confirm the integrity of the cables,
14 and they tested good.

15 CHAIRMAN SIEBER: You may not be able to
16 answer this question. But a lot of times folks
17 consider replacing cable because of the EQ envelope.
18 And so there is always a question as to whether you
19 can reinterpret, or engineer the envelope to show that
20 your conditions aren't as harsh as the testing would
21 have allowed.

22 Or you can just turn around and replace
23 the cable. Or the third thing is you can ignore it
24 altogether and wait until you get to the end of the
25 period, and then you say, what do I do now?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And do you have any cable in that last
2 category?

3 MR. VALENTE: Not on unit 1. We replaced
4 the majority of our EQ cable. There were certain
5 cables, supporting unit 1, that were in service. We
6 performed the inspections, confirmed that they were
7 adequate for our conditions.

8 MR. BURRELL: And that their life would be
9 sufficient to the extended operating period.

10 CHAIRMAN SIEBER: Okay. There are, from
11 a fire protection standpoint, there is thermoplastic
12 and thermosetting cable?

13 MR. BURRELL: Correct.

14 CHAIRMAN SIEBER: What do you have
15 remaining, a little bit of both, or --

16 MR. BURRELL: There is some of both,
17 thermoplastic and thermoset.

18 CHAIRMAN SIEBER: Okay. That would have
19 been a criteria that you could have used, is to
20 upgrade for --

21 MR. BURRELL: But like Joe mentioned, most
22 all of the safety related cable is getting replaced.
23 There would be some places, in appendix R area, that
24 they aren't all getting replaced, and some of that
25 would still be some thermoset.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: Okay, thanks.

2 MR. VALENTE: Now, the inspection that we
3 did on the safety related cable that we did replace,
4 we found no indications of degradation. And you have
5 to remember, these cables were de-energized since
6 1985. So what we saw, at the access points, is
7 representative for what the cables are.

8 The result of this work that we described,
9 the replacement work, unit 1 is going to be in a
10 better position to operate for the extended period of
11 time. We just handled so much, and changed out so
12 much to new.

13 As I mentioned, we had eight sections that
14 were in service for units 2 and 3, we didn't have to
15 perform any modification work on it, diesel
16 generators, fuel oil, and so forth.

17 The package that we handed out on the
18 restart mods, Bill alluded to this earlier, I guess,
19 when Graham asked him. You can look at the first 44
20 pages and what you will see in there is a yes out
21 there, which means these DCNs, these designs, were
22 already incorporated on units 2 and 3.

23 If you look towards the back you will find
24 a couple of pages where the answer is no, and those
25 are essentially the EPU DCNs. Those DCNs will be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 incorporated on the other units, in their EPU window.

2 The only true unique DCN that we have on
3 unit 1, associated with the turbine.

4 MR. CROUCH: Right now there is no plans
5 to go to the monoblock rotors. So the changeover to
6 the monoblock rotors is the only truly unique DCN that
7 we have.

8 CHAIRMAN SIEBER: But from an operator
9 standpoint that makes no difference.

10 MR. CROUCH: No difference.

11 CHAIRMAN SIEBER: I presume, when you talk
12 about fidelity, that is really what you are talking
13 about, because the units can't possibly be identical.

14 MR. CROUCH: Right, the units, like we
15 were talking about earlier, you cannot still buy
16 Hancock model 78 so and so valve. It would be another
17 manufacturer --

18 CHAIRMAN SIEBER: Ashcroft, or something.

19 MR. CROUCH: It would be a gate valve, it
20 would still be a half inch valve, it would still
21 function the same way, as far as the operator is
22 concerned.

23 MR. BARTON: The operator still turns it
24 the same way.

25 MR. CROUCH: That is correct.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BARTON: Hopefully.

2 MR. CROUCH: We want everything seamless
3 for the operator. Maintenance has different issues,
4 procedures are written up, consistent with the design
5 packages when they close out, and everything is
6 tracked that way.

7 And like Joe was talking about, there are
8 some small ones that are caused by such things as
9 equipment where once again you cannot buy the same
10 piece of equipment any more, but those are really
11 quite small.

12 MR. VALENTE: I have examples of three
13 systems here that we want to show you. We are going
14 to talk about HPCI. The reason for this system that
15 had the minimal amount work done to it, safety related
16 minimal amount of work.

17 RWCU, extensive amount of work. And then
18 the feedwater balance of plant system, affected by
19 EPU. So --

20 CHAIRMAN SIEBER: On the reactor water
21 cleanup system, the connection point to the reactor
22 vessel is a pipe nozzle, right in the bottom of the
23 vessel.

24 MR. VALENTE: Yes.

25 CHAIRMAN SIEBER: And that is probably the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 point where you have the highest amount of oxygen, if
2 there is oxygen in your system, the highest
3 temperature, and the most aggressive conditions. Have
4 you taken any steps on any of the three units to
5 examine the area around that connection to the vessel?

6 Recognizing that it is very hard to get
7 to. You have, you know, control rod drive mechanisms,
8 and instrumentation, and all kinds of stuff up in
9 there. Have you done anything like that.

10 MR. MOLL: This is Bob Moll. On unit 1
11 the access, the bottom head drain connection on the
12 vessel, we did take ultrasonic UT readings, and --
13 pardon?

14 CHAIRMAN SIEBER: Through the inside?

15 MR. MOLL: No, from the outside. This is
16 externally from the outside, and saw no degradation.

17 CHAIRMAN SIEBER: That is an industry
18 concern, and I was just wondering how you folks
19 approached it.

20 MR. VALENTE: We had some robotics.

21 CHAIRMAN SIEBER: Okay.

22 MR. VALENTE: Bob, if you would like to
23 get those drawings out? It would be better to talk
24 through this, and you can see we've got the three
25 systems.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We will start with the HPCI.

2 MR. CROUCH: And what we have here is we
3 have some flow diagrams that have been marked up to
4 demonstrate what some of the scope of the recovery is.
5 We want to use these drawings here, during the course
6 of the discussion today, and we will have these to
7 look at during the day, but these will not be part of
8 the docketed material.

9 CHAIRMAN SIEBER: You want these back?

10 MR. CROUCH: Yes, please.

11 CHAIRMAN SIEBER: Okay.

12 MEMBER BONACA: For the HPCI system, this
13 is one of the systems that will be periodical
14 inspections?

15 MR. CROUCH: Yes. Completely disassembled
16 and refurbished.

17 MEMBER BONACA: We would like to -- the
18 SER, there is a statement there regarding the system,
19 that it will have a one time inspection performed
20 before restart. Is this the statement that is
21 obsolete by now?

22 Once you are committed to periodic
23 inspection you may do a startup inspection, but not
24 necessarily the license renewal inspection, you don't
25 do that any more. That is more a question for the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Staff because the SER is very confusing on that.

2 If you go to this system, the SER --

3 MR. SUBBARATNAM: Yes, I believe we
4 haven't still worked out the details with the licensee
5 on that one. But what they are going to attempt is if
6 the periodic inspection is going to push the thing
7 below the threshold, they said that they would take it
8 under the current for 54B, and then they will take the
9 corrective action program and replace it completely.

10 That is what they had, at least, agreeing
11 to do that for us.

12 MEMBER BONACA: My suggestion, if you look
13 back at the SER, it is confusing right now, because
14 after the inspection, then there is a statement
15 specific to this, and other systems like these, that
16 says that licensee has agreed to advance a one time
17 inspection prior to start-up.

18 MR. SUBBARATNAM: Dr. Bonaca, we are going
19 to revisit those areas, and then we will clean up
20 after we have the unit 1 inspection later on.

21 MEMBER BONACA: Right. Because, I mean,
22 clearly --

23 MR. SUBBARATNAM: Yes, that will be --

24 MEMBER BONACA: -- understand --

25 MR. BARTON: Okay, I'm sorry, what is your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 code here, orange versus yellow?

2 MR. VALENTE: What we are going to do,
3 John, is Bob and Dave are going to walk through this.

4 MR. BARTON: Okay.

5 MR. VALENTE: The one thing I want to tell
6 you, if you look on sheet 16, for HPCI, you will see
7 the synopsis of the modifications down there, various
8 cable relays, pressure switches, changeouts for EQ
9 separation, and other design criteria breakages, 8910
10 requirements, and refurbish the skip.

11 If you look on pages 25 and 26 of this big
12 handout you will see the corresponding DCN. We will
13 have Bob walk you through the mechanical portion, and
14 the Dave will walk through the electrical and the INC
15 portion, to give you a feel for what happened.

16 MR. CROUCH: On page 16 there is a kind of
17 a synopsis of what is being done. And when you look
18 on the big drawings, you've got, that is where Bob and
19 Dave are going to walk through.

20 MR. MOLL: Bob Moll. Let me walk you
21 through what you have in your package. The very front
22 sheet you've got is a, that would be a high pressure
23 coolant injection. We call that a mechanical flow
24 diagram.

25 And, basically, it will show you all the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 big valves, and the piping, it doesn't necessarily
2 contain all the instrumentation functions. But on
3 that cover sheet what we've done is if it is
4 highlighted in yellow, that is a mechanical valve, or
5 a pipe, that has either been replaced, or cut out.

6 So all the yellow for high pressure
7 coolant injection indicates valves that have been
8 replaced. So if you look at the upper left-hand
9 corner, you will see FCV732, and 733, those are the
10 primary containment isolation valves for HPCI.

11 We have cut out and totally replaced those
12 two large motor operated valves, and operators, on
13 unit 1 as part of unit 1 restart.

14 The orange items, on this flow diagram,
15 are instrumentations that have been, basically the
16 instrumentation has been changed out. You go to the
17 second page, that is a flow diagram of the HPCI oil
18 system.

19 And what you see are, within the old
20 system we changed out some instruments. There are
21 some thermal welds we changed out. There are also
22 some of those other yellow items that are colored,
23 that is a throttle valve, and we have upgraded the
24 unit 1 HPCI, similar to what we did on units 2 and 3,
25 those throttle valves were replaced with orifices.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The next page is what we call a mechanical
2 control system. And this shows all of the
3 instrumentation associated with HPCI. And, again if it
4 is colored orange that means that instrument is new on
5 unit 1 HPCI, and has been changed out.

6 So you can see the type of modifications
7 that have been made in the INC area, there, as well as
8 in the electrical area. We have replaced cables,
9 breakers, fuses, thermal overloads, that is not
10 included in what you have in your handout.

11 But most of the HPCI INC mods were in the
12 INC area were made primarily for environmental
13 qualification reasons, or for fidelity issues that had
14 been, had cropped up as issues on the operating unit,
15 that we picked up in the modifications that we made
16 for unit 1.

17 And it goes anywhere from condensate
18 header levels, which is to replacing the steam leak
19 detection system for HPCI, replacing temperature
20 switches, converting differential indicating switches,
21 to differential pressure transmitters, the gamut of
22 instrumentation that would be involved.

23 MR. BARTON: While you were looking at
24 HPCI, you looked at it to make changes based on what
25 units 2 and 3 had upgraded, or whatever?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MOLL: That was the starting point for
2 it.

3 MR. BARTON: Is that a criteria? How
4 about industry experience with HPCI --

5 MR. MOLL: All the industry experiences
6 would have been previously evaluated as an ongoing
7 activity for the operating unit, and those mods would
8 have been picked up for the operating units and then
9 factored into unit 1.

10 MR. BARTON: That would have picked them
11 up?

12 MR. MOLL: That is correct.

13 MR. BARTON: Okay.

14 MR. MOLL: Just to give you a feel for
15 numbers, the yellow lines on the HPCI cover sheet
16 don't look that big. But those yellow lines, on the
17 small bore piping, that actually equates to 1,210 feet
18 of small bore piping on HPCI that we are changing out.

19 If you looked at the total number of
20 valves, we are replacing on HPCI, was 668, is what the
21 total count was, that we reached out and touched.
22 Some of those valves are getting changed out, other
23 ones are -- most of the packing leak-offs on all the
24 big valves, they are getting cut out, and those lines
25 capped.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So that would be counted in that number,
2 too, when it is getting cut out and removed.

3 MR. BARTON: The other valves that aren't
4 getting replaced in the system, since they have been
5 sitting around so long, are they being repacked with
6 fresh packing?

7 MR. MOLL: If you look at all of the, I
8 would call them large bore valves, on here, are all
9 getting worked on. Another effort that has been
10 ongoing since '03, that operations has recently
11 completed, they have gone out and physically cycled
12 all small manual valves.

13 And basically identified as part of that
14 process, written work requests for maintenance, if
15 those valves are hard to operate, or look like they
16 need work, then there is a work order written.

17 MR. BARTON: Yes, but that doesn't really,
18 it could tell you the condition of the vacuum, but not
19 necessarily tell you the condition of the vacuum. As
20 soon as you load the system with water, that is going
21 to be part of your test program, I guess.

22 Because the packing on those valves has
23 been there for 30 years, and hasn't been wetted in how
24 many years? Since '85?

25 MR. VALENTE: The RWCU, the reactor water

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 clean up, this one had extensive work.

2 CHAIRMAN SIEBER: I see you saved the
3 reactor vessel.

4 MR. MOLL: If you look at the reactor
5 water clean up, the first flow diagram you have, that
6 is all of the reactor water cleanup system piping,
7 with the exception of the demineralizers. There is
8 two of them that are in it.

9 So you can see, on this first sheet, that
10 is -- we have just about replaced all of that part of
11 the cleanup system, piping and --

12 MR. BARTON: What about the heat
13 exchangers?

14 MR. MOLL: Three of the heat exchangers
15 were changed out, the other two were not. If you flip
16 to the next page that shows you the demineralizer
17 portion of reactor water cleanup.

18 There was very little modification work in
19 this area. Again, cleanup was in service, on unit 1,
20 up until somewhere in 2001, 2002, when the vessel was
21 drained on unit 1.

22 What we have done with the reactor water
23 cleanup system, outside of modification, we have done
24 extensive maintenance work, and this week just
25 recently finished up.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have essentially gone through, and
2 cycled, and timed, and checked all of the valves that
3 you see on this drawing, that are air operated, or
4 electrically operated, that are needed to back wash
5 our reactor water clean up demin.

6 We changed out all of the time delay
7 relays in the logic circuitry, and all of those
8 controls, and set all those back up. And this week we
9 are successful, after all of that work, and we call it
10 a dummy backwash and precoat.

11 But basically we energize the system, it
12 thinks it has gone through a backwash and precoat. We
13 hit the button and verified it cycled through, and
14 timed correctly. So there was a lot of maintenance
15 work, but no real piping changeout. The only valves
16 we really changed out were some relief valves.

17 And the next page is the instrumentation
18 diagram for reactor water cleanup. Again, it shows
19 you the instrumentation changes we made.

20 MR. CROUCH: Once again, that is similar
21 to what we did on HPCI, replaced the leak detection,
22 pipe break leak detection system, replaced various
23 instruments from suction header pressure indication to
24 bearing and casing temperature indication, vibration
25 monitoring was upgraded.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Bump cooling water temperature switch is
2 replaced, flow switch is replaced, about 15,000 feet
3 of cable was replaced, with RWCU, breakers, fuses.

4 CHAIRMAN SIEBER: Have you done anything
5 on hangers and supports?

6 MR. VALENTE: Yes, sir. We have
7 implemented 7914.

8 CHAIRMAN SIEBER: Okay.

9 MR. VALENTE: And what we call our long
10 term integrity program with hangers. HPCI systems
11 falls in it, RWC falls in it, there is a break for
12 class 1 and class 2 systems. But, yes. All of these
13 systems have had significant hanger upgrades.

14 In fact, on this recovery unit we have
15 either replaced or modified 85 percent of the hangers.

16 CHAIRMAN SIEBER: Is there -- that is in
17 the normal course of business, you would have had to
18 make those changes, under the bulletin?

19 MR. VALENTE: Yes.

20 CHAIRMAN SIEBER: Whether you were doing
21 a restart or not?

22 MR. VALENTE: That is correct.

23 CHAIRMAN SIEBER: Is that because of
24 methods that were used in original construction, or a
25 change in the seismic analysis, or what?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. VALENTE: It was a change in our
2 seismic, back on unit 2. We had to go to Housener.
3 Go ahead, Rick.

4 MR. CUTSINGER: This is Rick Cutsinger,
5 I'm the civil engineering manager in unit 1. On unit
6 2 we redesigned, redefined our seismic design criteria
7 for this station.

8 That redefinition brought in new methods,
9 new practices, and a new response spectra. The new
10 response spectra dramatically changed the input to the
11 station, and it caused dramatic mods to all the
12 hangers.

13 The biggest criteria change probably was
14 from the perspective of stiffness. The original
15 hangers were designed from can the hanger take the
16 seismic load, versus we now have hangers that are
17 designed to make sure that they don't deflect more
18 than an eighth of an inch.

19 So you see significantly stronger, stiffer
20 hangers. And that is probably the biggest change.
21 But the input motion changed, and the reaction has
22 changed. And so it caused dramatic changes to the
23 hangers, which then went to the structure, and it
24 caused different loads to the platform steel, which we
25 had to make mods to, and just follow on down to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 building.

2 MR. BARTON: What about subbers?

3 MR. CUTSINGER: The subbers are all being
4 replaced on unit 1. We have 250 subbers, and they are
5 all being refurbished and replaced.

6 MR. BARTON: Did you go through a subber
7 reduction program in dry well?

8 MR. CUTSINGER: No. Since we had about
9 250 snubbers, total, on the unit, we didn't go to the
10 sub reduction program.

11 MR. BARTON: You didn't?

12 MR. CUTSINGER: No.

13 CHAIRMAN SIEBER: Okay, thank you.

14 MR. MOLL: The last system we have is a
15 feedwater system. Just looking at almost all of the
16 changes you see on this page, from a mechanical
17 staNdpoint, are driven by either EPU, or I call them
18 lessons learned, operational experience we have gained
19 from units 2 and 3.

20 Some of that work is work they have done
21 already. A good example I will give you is we are
22 changing out all of the feed pump and inflow valves on
23 unit 1, and the piping downstream of those valves.

24 That is really based upon a lessons
25 learned. We are on our second version of min-flow

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changeouts on either unit 2 or unit 3, trying to stop
2 those valves from leaking by. And our design on unit
3 1 will be different. But it is a much better valve.

4 It is a little bit more expensive, but
5 shouldn't leak by. The other big ticket item that we
6 have completed on unit 1 is the main feedwater header
7 check valves, where notorious problems on units 2 and
8 3 as far as appendix J testing.

9 We, essentially, get into a major outage
10 refurb probably once every three cycles, thereabouts.
11 We have changed out all four of those check valves
12 with brand new ASME code class appendix J, on unit 1.

13 The other big aspect of this is we are
14 changing out all three feed pump turbines for power
15 uprate, and are changing out all three reactor feed
16 pumps for power uprate.

17 Each feed pump will be a 50 percent, I'm
18 sorry I take that back, each -- two feed pumps will
19 handle one hundred percent EPU power, even though we
20 continue to run, we will run three, but each one would
21 be 50 percent capacity, compared to now we have about
22 a 33 percent, or thereabouts, for each feed pump.

23 MR. BARTON: Are they all steam driven, or
24 do you have any electric?

25 MR. MOLL: No, all three feed pumps are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 steam driven.

2 MR. BARTON: The feed water heaters aren't
3 highlighted. Did you do anything with the tubes, or
4 anything in the feedwater heaters?

5 MR. MOLL: Yes. We haven't done anything
6 on the feed water side. On this drawing there is work
7 that we have done on the -- we have eddy currented all
8 the feed water heaters.

9 We have done some, there are some other
10 modifications we have done, internally, to the
11 heaters.

12 MR. BARTON: You haven't retubed them,
13 though?

14 MR. MOLL: No, no retubing.

15 MR. VALENTE: Eddy current, no problems.

16 MR. BARTON: pardon?

17 MR. VALENTE: We eddy currented.

18 MR. BARTON: Eddy currented, okay.

19 CHAIRMAN SIEBER: Now, your feedwater
20 regulating valves have a constant differential
21 pressure across them, and you control flow by
22 controlling the steam on most of the turbines?

23 MR. MOLL: Yes, we have no feed water
24 regulation valves. Basically we strictly control flow
25 through the feedwater --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: Turbines.

2 MR. MOLL: -- level control system by
3 varying turbine speed.

4 CHAIRMAN SIEBER: Okay.

5 ? : And then, once again, on the control
6 side, incorporating the major mods that have been made
7 on units 2 and 3, we are upgrading the feed water
8 control system with a digital upgrade that is
9 incorporating redundancy and fall tolerance control
10 system.

11 Some of the mods we have -- removing
12 mechanical linkage, motor speed changer, and motor
13 governor unit, and replaced with a Woodward 505
14 digital governor, and final driver.

15 Time delay relays were added on for flow
16 suction trips to eliminate nuisance spurious pump
17 trips that we had had experienced in the past, as well
18 as on the lou boll system we put in two hundred
19 percent capacity AC pumps, and one hundred percent
20 capacity DC pump, with diverse power supplies, to make
21 it more fall tolerant, as well as the array of
22 individual instruments that have also been replaced in
23 upgrading the feed water system.

24 CHAIRMAN SIEBER: You said that you are
25 using Woodworth digital governors?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MOLL: Woodward.

2 CHAIRMAN SIEBER: Woodward, okay.

3 MR. VALENTE: Any other questions on
4 systems?

5 MR. CROUCH: These were just three sets
6 that we picked as an example. Safety system with a
7 small amount of modification, a primary non-safety
8 related system with an extensive amount of
9 modification, then a system that had a large amount of
10 modification.

11 This list of modifications that we handed
12 out, every system has its own set of modifications,
13 and if you have any particular questions on systems we
14 can answer them. But we didn't figure we would want
15 to take up your time, because it would take weeks, and
16 weeks, probably, to go through all of them at this
17 level of detail.

18 CHAIRMAN SIEBER: I'm sure that it would.

19 MR. BARTON: Just for information, the
20 tubes in the water heaters are what material?

21 MR. VALENTE: I don't know, I don't
22 remember. We can make a call back to the station and
23 have that answer for you after lunch.

24 MR. CROUCH: I would recommend, at this
25 time, this would be a good stopping point to stop for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 lunch.

2 CHAIRMAN SIEBER: Okay. That is great,
3 why don't we come back at 5 minutes to 1.

4 (Whereupon, at 12:55 p.m., the above-
5 entitled matter was recessed for lunch.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 1:00 p.m.

3 CHAIRMAN SIEBER: We will come back in
4 session now.

5 MR. VALENTE: Before we proceed on to page
6 19, there was a question that was asked, what was the
7 material type on our feed water heaters. The material
8 type is 304 stainless steel.

9 So moving on to page 19, we essentially
10 completed the design for unit 1 restart in March of
11 2005. The design changes that were issued for unit 1
12 were driven by our design criteria, given fidelity
13 issues, and other restart issues.

14 License renewal did not require any
15 modifications on unit 1. To kind of cover the next
16 couple of pages, we will go over some of the passive
17 components that we replaced. I will tell you what we
18 did, and the reason that we did it.

19 First one we have there is the condenser
20 tubes. We replaced these tubes with stainless steel
21 to eliminate the brass and get rid of the copper.

22 Extraction steam piping, it has been
23 replaced for FAC. As Bill mentioned earlier this
24 morning, we could have operated with the extraction
25 steam pipe that we had. It wasn't extensive, but we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 brought it up to unit fidelity to match the units 2
2 and 3 FAC program.

3 We wanted to keep everything consistent.
4 The turbine cross-over/cross-under piping got replaced
5 for FAC. GE supplied us an inadequate material on the
6 original contract.

7 MR. CROUCH: For just unit 1.

8 MR. VALENTE: For just unit 1. We had a
9 lot of tiger striping and we replaced it. The reactor
10 building closed cooling water heat exchangers, these
11 were replaced for economic reasons.

12 It was cheaper for us to replace the heat
13 exchanger, in its entirety, vis a vis going after the
14 two bundles and replacing those. And that is why we
15 replaced them.

16 Dry well structural steel, this was
17 changed out to support the design criteria. As Rick
18 told you, we had change in spectra, pipe loads went up
19 significantly, and components on the supporting steel,
20 we had to essentially change things out.

21 Electrical penetrations, these were
22 changed out for two reasons. One was for EQ purposes,
23 and the other one was for appendix J. We had
24 penetrations that were excessive.

25 Large and small bore piping primarily

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 changed out for FAC, IGSCC, and some nick issues, and
2 for minor rerouting. Reactor pressure vessel, safe
3 ends were changed out for IGSCC.

4 And the RHR service water, in the reactor
5 building, this was changed out because of material
6 condition. This was a lessons learned we had from
7 unit 3. They had the laminations in there, we also
8 had them. So that is all changed out.

9 Going on to the next page, --

10 CHAIRMAN SIEBER: Before you leave here,
11 on the condenser tubes, what kind of biological
12 control do you use?

13 MR. CROUCH: Condenser tubes?

14 CHAIRMAN SIEBER: It is an open cycle
15 plant, right?

16 MR. CROUCH: Right, open cycle plant.

17 CHAIRMAN SIEBER: So do you use -- have
18 you had any evidence of microbiological filing
19 leakage?

20 MR. CROUCH: If you don't run the ammer
21 taps you will have filing. But we run the ammer taps
22 to keep the tubes cleaned out.

23 CHAIRMAN SIEBER: Okay. And you've
24 already changed your condenser tubes?

25 MR. VALENTE: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH: Yes.

2 CHAIRMAN SIEBER: Okay. Sometimes
3 stainless isn't the optimum choice. But if you keep
4 your system clean you are probably okay.

5 MR. CROUCH: And we have already changed
6 the condenser tubes out on units 2 and 3, stainless
7 steel also, so we are familiar with the operation of
8 them.

9 CHAIRMAN SIEBER: Well, it is not safety
10 related, anyway.

11 MR. CROUCH: That is right.

12 CHAIRMAN SIEBER: But some plants have not
13 had the world's best experience. And the key is
14 keeping the system clean.

15 MR. VALENTE: Page 20, if there is not
16 other questions on that page, the dry well coolers
17 were changed out, primarily, for reliability and
18 reduction in maintenance time during the outages.

19 Our cable tray and conduit, and the
20 associated supports, again, some electrical issues.
21 We eliminated the ampacity issues by routing new trays
22 and conduits. We got our separations for Appendix R.

23 And basically that was it. Pipe hanger
24 installations were changed out. Design criteria 79-14
25 primary driver there. The GE in-vessel inspections,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we did the inspections, placed the access hole covers,
2 inspections are essentially ongoing.

3 We did complete the shroud inspections,
4 good results on the shrouds.

5 MR. BARTON: Any indications on the
6 shroud?

7 MR. VALENTE: Yes, we had indications. No
8 through-wall indications. Rick, do you want to
9 expand?

10 MR. CUTSINGER: The shroud inspection, it
11 was actually pretty good. I just got the data, but if
12 you go through it, each one had 83 percent inspected,
13 with no flaw. H-G weld had 81 percent with .4 percent
14 of the inspected area having a flaw.

15 The H-3 weld had 88 percent inspection
16 with no flaws, the H-4 had 90 percent inspection had
17 20 percent flaw. The 20 percent, the majority of the
18 flaws were less than 10 percent, so they were pretty
19 nominal flaws.

20 H-5 had 91 percent with 1.2 percent flaw.
21 H-6 had 91 percent with no flaws. H-7 weld had 91
22 percent with 12 percent flaw. Once again, they are
23 pretty small, they are like less than ten percent in
24 range.

25 The Hotel-8 was a visual inspection, we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 couldn't do the UT on that, and no detectable flaws on
2 that one. And Hotel-9, which we had 19 percent
3 inspection of the weldment, and no flaws identified
4 there, either.

5 MR. BARTON: So what corrective action
6 does that tell me I have to take, anything?

7 MR. CUTSINGER: No, it does not put into
8 any corrective action form at this time.

9 MR. VALENTE: Torus coatings, torus was
10 used to support the operating units with the water.
11 We drained it during recovery. When we drained it we
12 found some delaminations on the coatings below the
13 water line.

14 We sandblasted all of that below the water
15 line, bare metal, recoated with a qualified coating.
16 So we had some damaged areas above the water line, we
17 made isolated repairs on torus, so no problem with
18 that one.

19 Cables, again, our cables were changed out
20 primarily on the nuclear performance plan programs, EQ
21 separation passed the voltage drop, short-circuit
22 analysis. All these programs, and design criteria.

23 So, basically, that is what we had here.
24 Nothing here, on these two sheets, was driven by
25 license renewal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BARTON: How about the coatings on the
2 containment itself?

3 MR. VALENTE: We have done some
4 preliminary inspections. There are some areas that
5 need to be repaired. Overall we are in excellent
6 condition.

7 And as we complete out in the dry well we
8 will close out on that aspect, and we will be recoated
9 in the damaged areas.

10 MR. CROUCH: The real purpose of these
11 last two slides has been, what Joe has been saying,
12 these modifications were not driven by license
13 renewal, but they are things that will be new
14 components that are out there.

15 So they obviously support continued
16 operation of the plant for an extended period of time.
17 They are big passive components that will be new.

18 MR. LEITCH: With cables, you have talked
19 quite a bit about instrument and control cables. What
20 about medium voltage cables? I'm talking about maybe
21 4KV cable.

22 MR. CUTSINGER: The course break cables
23 are being replaced. All we have is RHR and core
24 spray, and then board feeders. Board feeders is
25 already in service supporting the units 2 and 3

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operation.

2 The RHR pump motor cables are being
3 spliced and rerouted for Appendix R reasons, a portion
4 of those are being retained. Obviously those will be
5 tested before we do any splicing to those, to confirm
6 the condition that they are in.

7 So that is really all that will be in
8 scope for the medium voltage.

9 MR. BARTON: You are not replacing the
10 whole cable, you are splicing the 4KV cables?

11 MR. CUTSINGER: Right.

12 MR. BARTON: Well, why don't you pull all
13 new cable?

14 MR. CUTSINGER: We found it to be, the
15 cables that we've got in there is perfectly adequate
16 cables. And that having to be replacing, changing
17 those out, we would get into other issues relating to
18 conduit fail, and those sort of issues.

19 And since that is an imbedded conduit we
20 did not want to risk the potential of damage on a
21 larger sized cable, trying to fit it into that --

22 MR. BARTON: Isn't a splice a weak point
23 that is subject to water, and moisture, and all that
24 kind of stuff?

25 MR. CUTSINGER: No, sir, this is going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be a fully qualified 50.49 splice that we are putting
2 in. And we are talking about where the splice is
3 going to be located, it is going to be located up in
4 the ceiling of the reactor building, 565 elevation.
5 So there will be no exposure to any moisture.

6 CHAIRMAN SIEBER: Well, there are
7 qualified splices out there that you can buy.

8 MR. CUTSINGER: Yes.

9 CHAIRMAN SIEBER: On the other hand they
10 are sort of technic-dependent. So whether they
11 exhibit all the environmental and electrical qualities
12 that you want is dependent on the expertise and the
13 care of the workman who installs it.

14 MR. CUTSINGER: Like I said, we took the
15 medium voltage splice kits through a full
16 qualification program.

17 MR. LEITCH: Some of these, some plants
18 have experienced problems with medium voltage cables.
19 The breakdown of the insulation with phenomena called
20 treeing.

21 CHAIRMAN SIEBER: Right.

22 MR. LEITCH: Have you experienced any of
23 that in these cables?

24 MR. CUTSINGER: No, we have not
25 experienced any of that. And that is more of a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 phenomena when it is exposed to moisture.

2 MR. LEITCH: Moisture.

3 MR. CUTSINGER: And these are all in the
4 reactor building, so that they are not exposed to that
5 kind of environment.

6 CHAIRMAN SIEBER: So they don't go through
7 trenches, or --

8 MR. CUTSINGER: They don't go outside the
9 building.

10 CHAIRMAN SIEBER: -- manholes, or anything
11 like that?

12 MR. CUTSINGER: That is right. Like I
13 mentioned before, we do have some that are supporting
14 common equipment, going down to the pumping station
15 for service water. And those we did do some testing
16 on, and verified that they were in good condition.

17 MR. LEITCH: But the routing from the, say
18 for example, the diesels to the safeguard busses, and
19 so forth, those kinds of cables are not below grade?

20 MR. CUTSINGER: That is affirmative, yes.
21 They are not below grade.

22 MR. LEITCH: Thank you.

23 CHAIRMAN SIEBER: Okay.

24 MR. VALENTE: Page 21 we have some other
25 modifications refurbishments that we performed. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 first one up there is the control room design review
2 modifications.

3 Again, this is primarily driven from
4 regulatory TMI item. The recirc pump variable
5 frequency drives, we replaced them on unit 1, again,
6 for reliability and fidelity with the operating units.

7 And that is the same with the digital
8 electro-hydraulic control system, again reliability
9 and fidelity. The main generator rewind was
10 associated with EPU. And, obviously, the rotor
11 balance is just prudence.

12 The close in-fault protection of the
13 switchyard, this was due to unit 3 operation coming
14 in. And then the common accident signal, we had
15 reinstalled the accident signal for unit 1, it was
16 disabled when unit 1 was in lay-up.

17 MR. BARTON: What is that?

18 MR. CROUCH: In-plant, as Joe was talking
19 about, we have -- it is a three unit plant. Unit 1
20 and 2 share four diesels. And so the way, and they
21 have, each unit has like four RHR pumps, four core
22 spray pumps.

23 And so since they come from the same
24 electrical boards you have to, originally it was set
25 up so that there is a potential where if accident

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 signals occurred in multiple units, the unit had to
2 decide where the real accident was, and it would load
3 the boards.

4 Well, we disabled that signal as part of
5 unit 1 shutdown, to get unit 2 back and running. We
6 have now gone and redone the circuitry and the logic
7 so that it can properly handle a real accident signal
8 in one unit, and a spurious accident signal in the
9 other unit, without overloading the boards.

10 MR. BARTON: I understand, thank you.

11 CHAIRMAN SIEBER: With all these changes
12 you are going to have to do a lot of testing prior to
13 start-up, in your power escalation phase.

14 MR. VALENTE: Yes.

15 MR. CROUCH: That is correct.

16 CHAIRMAN SIEBER: I mean, it is going to
17 be like a new plant.

18 MR. CROUCH: That is, essentially, what it
19 is like.

20 MR. VALENTE: The remaining items, here,
21 the reactor core isolation turbine reassembly and
22 upgrade, and refueling bridge, crane modifications,
23 these were driven by reliability and fidelity with the
24 other two units.

25 Then the pumps and motor refurbishment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design criteria requirements for restart, same with
2 the valves replacement/refurbishment. Again, nothing
3 here was driven by license renewal.

4 CHAIRMAN SIEBER: I presume that your
5 switchyard circuit breakers have all been sized to
6 reflect the additional power, and the change in
7 reluctance that the system presents to the plant?

8 MR. VALENTE: Yes, there was an extensive
9 switchyard off grid study performed prior to the
10 restart.

11 CHAIRMAN SIEBER: Does the plant control
12 the switchyard, or does some off-site entity control
13 it, or don't you know?

14 MR. VALENTE: Well, we hear that the
15 switchyard, didn't we Dave?

16 MR. BURRELL: The plant owns the
17 switchyard.

18 CHAIRMAN SIEBER: The whole thing?

19 MR. BURRELL: From the main banks, high
20 side main banks in is station, make the transition on,
21 I think for the switchyard as well, to the plant, as
22 far as maintenance of the -- I stand corrected.

23 CHAIRMAN SIEBER: Maybe you should just
24 step to the microphone so that we can hear you.

25 MR. R. G. JONES: Again, the plant has got

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the responsibility for the transformer from the high
2 side in. It belongs to the plant from the high side,
3 from the transformer out, it belongs to TPS
4 organization.

5 CHAIRMAN SIEBER: Okay.

6 MR. VALENTE: And a detailed switchyard
7 study, detailed switchyard study, and grid study was
8 performed, and there was outfall from that, that we
9 had to make modifications to.

10 CHAIRMAN SIEBER: Okay.

11 MR. BARTON: Do you do work in the
12 switchyard without clearance of the control room? How
13 do you guys control the work done out there?

14 MR. R. G. JONES: Again, this is R.G.
15 Jones. The work is controlled, sir, by -- the TPS
16 organization calls in and requests --

17 MR. BARTON: Who is the TPS organization?

18 MR. R. G. JONES: The TPS, I'm sorry,
19 transmission power supply organization, they are also
20 a Tennessee Valley Authority organization. They
21 control the lines going out of the switchyard, as far
22 as that.

23 And the other breaker, at the other end of
24 the transmission line, is what belongs to those. So
25 then, so if there is a maintenance request, if there

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is maintenance to be worked on, they coordinate that
2 through the on-shift operations group, and they
3 coordinate the times that that is out.

4 MR. BARTON: Does the station engineering
5 staff get to review any mods, or engineering work that
6 the transmission people want to do in the yard? Do
7 you get to review and approve it?

8 MR. R. G. JONES: Yes. All the work that
9 is done in the switchyard is done to the station
10 process and procedures, and they are all reviewed by
11 the site engineering organization, as well as plant
12 organizations.

13 CHAIRMAN SIEBER: All these big circuit
14 breakers are controlled by batteries, the control
15 system and trip coils, and so forth. Do you have
16 procedures equivalent to station procedures for the
17 maintenance of DC control systems on circuit breakers?

18 MR. R. G. JONES: There are similar
19 controls that are in place for permanent plant
20 equipment.

21 CHAIRMAN SIEBER: Okay.

22 MR. VALENTE: On page 22 here, for
23 extended power uprate, actually there are 40
24 modifications that will be affected here, and we will
25 discuss those a little later in the afternoon, here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 License renewal, I would like to
2 reiterate, we factored in license renewal in the
3 original design activities. And we had no
4 modifications resulting from any license renewal
5 issue.

6 Any questions on my discussions?

7 MR. LEITCH: Joe, earlier you indicated
8 that there were 21, I think, was the number of tech
9 spec changes. Where does that stand in the interface
10 with the NRC, have those requests been made?

11 MR. VALENTE: Yes.

12 MR. LEITCH: And are they scheduled?

13 MR. MCCARTHY: That is correct, there are
14 21 tech spec changes total, that includes EPU, as one
15 of those changes. Sixteen have currently been
16 submitted, we have five approved, we have a couple we
17 are still working on, or awaiting for a generic Safety
18 Evaluation Report from the Staff.

19 That also includes our COLA, which one of
20 those is also.

21 MR. LEITCH: Okay, thank you.

22 CHAIRMAN SIEBER: One quick question.
23 There are requirements regarding lifting heavy loads
24 with cranes. And when you look at license renewal
25 many applicants evaluate the cranes as far as how many

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 loads has it lifted, how many times has it flexed, you
2 know, what is the remaining life in the crane, what is
3 the remaining life in the hook.

4 Have you done that kind of work?

5 MR. VALENTE: Yes, the reactor refueling
6 zone crane was upgraded for dry cask work. And that
7 evaluation was performed.

8 MR. BARTON: Is that a single failure
9 crane now?

10 MR. VALENTE: Yes, it is. Same with our
11 turbine building crane. We had made some heavy lifts,
12 and we evaluated each one of those lifts, and
13 performed the inspections.

14 CHAIRMAN SIEBER: Some of the cranes are
15 only good for a certain number of lifts, you know, 40
16 lifts, or 100 lifts, or something like that. Have you
17 looked at that?

18 MR. VALENTE: Ken is our project manager
19 for license renewal.

20 MR. BRUNE: Ken Brune, license renewal
21 project manager. Yes, we looked at those, that is
22 TLLA, or the crane lifts, and went ahead and estimated
23 the number of lifts we had, and the number of lifts we
24 expected to have, made sure we ensured that they were
25 under the crane manufacturer's limits.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: And who is the crane
2 manufacturer for the turbine building, and your
3 reactor --

4 MR. BRUNE: Actually I'm talking about the
5 CMA guidelines. They can answer to the manufacturer
6 itself, but we looked at the fatigue, and the number
7 of lifts, and made sure they were well under the
8 limits.

9 CHAIRMAN SIEBER: Okay. I asked the
10 question of who the manufacturer is because there is
11 one manufacturer that has had some kind of a problem,
12 that they had to file a Part 21 report, I think.

13 MR. CROUCH: Our cranes are Edever.

14 CHAIRMAN SIEBER: Okay, that is not the
15 one, okay. Thank you.

16 MR. CROUCH: So what Joe has talked about,
17 during this time, is the fact that we started the unit
18 1 recovery we were going to make sure we were going to
19 use the same programs, processes, everything that was
20 used for units 2 and 3 we've used the same methods for
21 unit 1.

22 We tried to make unit 1 operationally
23 identical to units 2 and 3 by installing all the same
24 modifications, doing all the same upgrades as what had
25 been done, either for restart, or for post-restart, up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 until now.

2 It is a very large scope of modifications
3 to do, as shown by this 40-something page of DCNs. It
4 is a very well known scope, though, because we have
5 already done it two times, this is the third time. So
6 it is a well known scope.

7 There has been very little scope addition
8 as we have gone through the course of unit 1 recovery.

9 CHAIRMAN SIEBER: Well, we don't expect
10 the scope to be lock solid and firm at this point in
11 time because stuff comes up.

12 MR. CROUCH: That is right.

13 CHAIRMAN SIEBER: On the other hand, the
14 impression that I had, up until today, was that the
15 scope was pretty fluid. So that would be tough for
16 the Staff to evaluate as far as life extension is
17 concerned.

18 But I think that the material you
19 presented today sort of dispels my concern, to some
20 extent, in that area. It does look like you have
21 quite a bit of detail in what it is that you plan to
22 do over the next two years.

23 MR. CROUCH: These upgrades and
24 improvements, and basic DCNs that we are doing, they
25 are being done to improve operational reliability and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to meet regulatory requirements.

2 They are also being done in order to
3 implement extended power uprate. And, once again as
4 we said, none of the DCNs, none of the design changes,
5 were driven by license renewal.

6 But several of them by virtue of the fact
7 that you are replacing large major components that
8 have potential degradation, aging type degradation to
9 them. Since they will be brand new they will support
10 extended life for the plant.

11 CHAIRMAN SIEBER: Yes, but I'm sure you
12 realize that once you replace it you have no operating
13 history on the components you just installed which,
14 you know, in the simplest form, in order to figure out
15 how long a component will last, like a piece of pipe,
16 you have to have its installed thickness, and you have
17 to have another point, someplace along the line, so
18 you can extrapolate out to a point in time where you
19 need to do something about it.

20 And, to me, that is what so-called
21 operating experience is, which we rely on for license
22 renewal. So you are going to have programs, in place,
23 probably more extensive than standardized programs to
24 generate that kind of operating experience.

25 Even though the plants are functionally

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 identical, from a material standpoint they are not,
2 from an aging standpoint they are not.

3 MR. CROUCH: Well, many of these material
4 replacements had already been performed on units 2 and
5 3. So we are already getting operating experience on
6 these particular materials, in this particular
7 environment.

8 CHAIRMAN SIEBER: Okay. There are some
9 exemptions to that of course, you know, flow
10 accelerated corrosion, for example, is specific to the
11 configuration of the pipe as well as the fluid
12 conditions, and velocities, and so forth, in there.

13 So you can't just apply that across the
14 board.

15 MR. CROUCH: That is right.

16 CHAIRMAN SIEBER: But, anyway, that has
17 been a concern of ours in the past because these units
18 have been, unit 1 at least, has been shut down for a
19 long time, you are going to make a lot of changes, and
20 you don't have this history on which you can predict
21 the condition at the end of life.

22 MR. CROUCH: Any other questions for Joe?

23 CHAIRMAN SIEBER: I think you did a good
24 job, and appreciate the fact that you not only are
25 recovering the plant, but also recovered our schedule.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH: Thank you. At this point in
2 time I would like to invite R.G. Jones to come up.
3 R.G. is our unit 1 restart plant manager. R.G. has
4 been with the plant since, essentially, day one. He
5 was an operator on the plant, back when unit 1 was
6 started up.

7 So he has been around here for many years,
8 and knows the intimate details of everything in the
9 plant. He is going to talk to us a little bit about
10 what we are going to do in order to return this plant
11 to service, once we get it all modified, how we are
12 going to make sure that everything is done before we
13 turn it over to the operational side of the plant.

14 He is also going to talk to us a little
15 bit about the restart test programs, how we are going
16 to go through and test the plant. As you pointed out,
17 this is a very large testing program, and he is going
18 to talk to us about how we are going to scope it out,
19 and how we will conduct it.

20 He is also going to talk about how we are
21 then going to do the power extension testing, going
22 from a shutdown reactor, all the way up to one hundred
23 percent power.

24 One of the things that he is basing his
25 discussion on, and you will hear him talk to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 various modes of operation. This is not referring to
2 shutdown mode, startup mode, run mode. This is a
3 baseline terminology, a design based on verification
4 terminology that we use at Browns Ferry.

5 As we started through the baseline program
6 for Browns Ferry, we have a document that is referred
7 to as the Safe Shutdown Analysis. What this document
8 did was it started back from the FSAR, and went and
9 looked through, and found all the various events that
10 Browns Ferry has to respond to, accidents, transients,
11 and special events, it lists them all out.

12 It then went through, on a system by
13 system basis, and determined what each system has to
14 do, in order to respond to this particular type of
15 event.

16 So, for instance, for a big event you
17 needed to isolate your reactor, maintain a reactor
18 coolant pressure, we listed as an event, closed the
19 valve. If you needed an actuation of a system to
20 inject water, that would be a mode of operation.

21 So what this Safe Shutdown analysis does,
22 it goes through, for each system, and comes up with
23 the modes. It also goes through and says, in order
24 for this system to do its mode, it needs support from
25 these other modes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It may need electrical power, it may need
2 air, it may need a signal from another system,
3 whatever. So this document tells us how the plant
4 talks back and forth to each other, from a mode to
5 mode standpoint.

6 By doing it this way we are very confident
7 that we know what to go test in the plant, so that we
8 test the full progression, from the very basic
9 functions up to the true safety related functions, to
10 make sure that everything is tested.

11 So as RG talks about these, and when he
12 starts talking about the modes of operation, that is
13 what he is talking about, this Safe Shutdown analysis
14 modes.

15 So with that I will turn it over to RG.

16 MR. R. G. JONES: Good afternoon. I would
17 like to talk to you first on page 23, we will talk
18 about the system return to service process.

19 And the process that we are going to look
20 at ensures that all the tasks, everything we have been
21 talking about up to this point in time, all the
22 physical work that has to be done, all the engineering
23 work that has to be done, that all of it has been
24 completed prior to returning to service.

25 The piece of equipment, or the system that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we are going to be discussing, and talking about. The
2 first thing is the engineering portion, maintenance is
3 involved in that, modifications is involved in it,
4 also operations and licensing.

5 What we will do, as we turn the page and
6 look at it, we will see some of -- we will go into
7 each one of these organizations, on what they do, and
8 what their process is, and how they look at the system
9 return service process.

10 One thing we need to note, before we do
11 that, is that this same process that we are using to
12 start this up, unit 1 up, was the same process we used
13 on unit 2. We took those, with some lessons learned,
14 and some enhancements that we saw from unit 2, applied
15 it to unit 3, saw the results we got there, and that
16 is the process we are using now for unit 1.

17 So it is the same process, we have used it
18 on two successive times, both of them has been
19 successful on doing that. And as of today we returned
20 six systems to operation, using this process.

21 We did that as an upfront check for
22 ourselves, to make sure that the process, and the
23 individuals that we had working with the process, that
24 they were familiar with it, because as we picked the
25 piece up, as the bulk work draws to an end, and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 startup testing begins, at the latter part of the
2 year, then we will start increasing the amount of
3 testing, and we wanted to make sure that we had all
4 the bugs worked out of the scope, and that everybody
5 understood what the system, and what the process was.

6 So with that, we will turn to page 24. I
7 think the last time that I talked to you all, I think
8 I pulled out a drawing that was a little busy, and it
9 looked something like this. I think you remember
10 seeing that.

11 And I could tell, by the look on you all's
12 faces, that I didn't spend anywhere near enough time
13 on that to do justice that it needed. So what I tried
14 to do is tried to simplify it just a little bit, still
15 giving us time to talk about it, and we will talk
16 about each one of the sections as we go through it.

17 But I think it better lays out how the
18 return to service process works. And we will start up
19 in the top left-hand corner, in what we call the
20 system plant acceptance evaluation, or we call it the
21 SPAE process, is our terminology that we use for it.

22 This is the design engineering input. So
23 you've heard us just talk about the different modes of
24 operations. What we do is we take each system and we
25 say, okay, here is the system that we want to return

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to service, this is the system that we want to SPOC.

2 And then we look at all the supporting
3 systems that has to be there with it. If it is power,
4 if it has air operated valves, that requires
5 controlled air to be there, if it is coolant, raw
6 coolant water, so all those supporting systems, and
7 components.

8 Also we have to get ready, at the same
9 time, that we get ready to run this system. So we
10 have to have it in service to do that. So that is one
11 of the things that this system plant acceptance
12 evaluation does.

13 It looks at all of the systems, it looks
14 at the components. And what it does, at the end of
15 it, it gives us, in operations, a testable system that
16 we can actually functionally test when we get through.

17 MR. BARTON: Sounds like we used to call
18 a prerequisite list.

19 MR. R.G. JONES: In a sense, yes. That is
20 exactly right.

21 So once we go through that, but it
22 includes everything else. It includes all the
23 modifications that is done, and with all the paperwork
24 complete, it looks at all the couch, all the couch are
25 drawn up, and any UVAs are looked at, and they are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 taken care of at that point in time.

2 Either that, or they are excepted, and
3 then exemptions are laid out there for us to be able
4 to look at, so we will know what the exemptions are as
5 we go through.

6 The drawings then are looked at and also
7 any corrective action that has to do with that system
8 will be included in the SPAE package. So we will know
9 what the full scope of the work is, that is required,
10 for this system to return into service.

11 The two bullets underneath that, then talk
12 about what the two different functions that we have,
13 as far as repairing, or refurbishing the system. The
14 first one is a maintenance organization.

15 The maintenance organization, they do the
16 like for like replacements. If we are going to take
17 a globe valve out, and put a globe valve back in, and
18 it is a like for like replacement, then the
19 maintenance organization does that.

20 If we are going to modify the system, if
21 we are going to take something that is there, and do
22 something different with it, than what we had before,
23 then it goes to the modifications organization,
24 because they are used to working that type of work.

25 If we are going to reroute pipe, and run

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it to a different place, if we are doing pipe
2 replacement, a lot of times that could be done by
3 maintenance, if it s a small group.

4 The large bulk work modifications, though,
5 is mostly done --

6 MR. BARTON: Who are the craft people in
7 the modifications box?

8 MR. R.G. JONES: They are the same, but we
9 have a group, we have two groups under the maintenance
10 mod supervisor. We have a maintenance mods
11 superintendent. We have a TVA individual that works as
12 a maintenance manager, and we have a TVA individual
13 who works as a mods manager.

14 Under those individuals are contractors.
15 We have Stone & Webster contractor under the
16 maintenance organization, and we have Stone & Webster
17 contractors under the mods organization.

18 For the maintenance --

19 MR. BARTON: Things that are in the -- the
20 contractors under maintenance are qualified to do your
21 plant maintenance? How are you sure that they are
22 qualified?

23 MR. R.G. JONES: The biggest majority of
24 the maintenance individuals that we have, that are in
25 the supervision line for this right here, even though

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they are contractors, were ex-TVA people that is
2 retired.

3 So they had all the qualifications when
4 they retired. Some of them were retired on Friday,
5 came back to work on Monday as a contractor --

6 MR. BARTON: As a Stone & Webster --

7 MR. R.G. JONES: As a contractor by Stone
8 & Webster, that is correct. But the qualifications
9 are there.

10 MR. BARTON: But they are working to your
11 procedures?

12 MR. R.G. JONES: That is correct, they are.
13 So the maintenance organization takes care if any
14 break or refurbishments that go on, they take care of
15 that. So they are doing the break and refurbishments.

16 Whenever we get through with the motors we
17 bring them back and the motors get one of two things.
18 You have already heard Joe talk about it. We either
19 refurbished, or we rewound all of our 4KV motors in
20 the line, or replaced them, one of the three.

21 So they have all been taken off, sent to
22 the power service shop and looked at, and brought
23 back, and with the exception of the two that we had in
24 service already, that was supporting unit 2 operations
25 in the RHR pumps.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So all the valve motors have been taken
2 off. They are back. And as they come back, these are
3 reinstalled, and they are stroked. And just to make
4 sure that the valves work, and everything works right
5 on those, we go through that process of doing it, as
6 we do that.

7 The maintenance also then, we do flushes,
8 we are in the process of doing flushes. The reactor
9 clean up system, which we will talk about a little bit
10 later, but I will go ahead and bring up one of these
11 now, to show you, essentially what we did with the
12 flush.

13 MR. BARTON: Who does the flushing?

14 MR. R.G. JONES: It is done by unit 1
15 operations, and the systems engineering organization
16 for unit 1. We have, and this is Mr. Moll's
17 organization that helps us with that. But we just
18 finished up doing the flushing on the reactor water
19 cleanup system, all new piping.

20 So we took off one of the strainers, right
21 there at the inlet, and we hooked up a two inch line,
22 and flushed a lot of water through there to make sure
23 everything was cleaned out before we put the pumps in
24 service, had them in service, had to stop the pumps
25 after initial start, twice, in order to clean that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 filter out.

2 We had a pretty fine mesh strainer on the
3 inlet coming into the strainer.

4 MR. BARTON: So all equipment that is
5 operated by operations with maintenance support?

6 MR. R.G. JONES: That is correct, sir.

7 MR. BARTON: During flushing?

8 MR. R.G. JONES: That is right. Unit 1 ops
9 is also a group of individuals that are currently
10 licensed. I have 14 currently licensed SROs that work
11 for me on unit 1 recovery. So 12 of them, out of the
12 14, were ex-shift managers.

13 So they understand the systems and they
14 work closely with the operations group on-shift. If
15 it is a system that affects anything in an operations
16 unit, then we get those, we go through, and work our
17 way through their organization, to make sure that they
18 fully understand it.

19 If it is totally outside of those, like
20 the reactor water cleanup system is, then we
21 coordinate it through the control room, because the
22 unit operators, in the control room, do work for the
23 shift manager, who is on shift.

24 CHAIRMAN SIEBER: When you accept a system
25 who is the final person who signs off? Some operating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 supervisor?

2 MR. R.G. JONES: The individual that signs
3 off, we have two phases that we go through, Mr.
4 Sieber. The first one is a SPOC one sign off, and all
5 that is saying is that we got the systems done and
6 ready for testing.

7 SPOC two is the final sign-off, and it has
8 a checklist on it. And that has the operations side,
9 the operations organization, and the system
10 engineering organization from unit 1 side says we have
11 everything done, and then I think Rich is the final
12 sign-off from the plant, for acceptance of the
13 systems.

14 MR. LEITCH: So as you come out of SPOC
15 phase 1, as you come out of that block, all the
16 physical work should have been done?

17 MR. R.G. JONES: Yes, sir. And that is
18 what this SPOC one does. The SPOC one is physically
19 a checklist, is what it really is. And you work up to
20 this checklist, is what you are working.

21 And what you are doing is you are saying
22 all the design work that I said I was going to do,
23 mods has completed all the design, and they either did
24 a static, or some kind of dynamic testing, to verify
25 that, therefore, that the design works like it should.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 One of them that we will talk about, that
2 we just sort of lived this, is we did, in this common
3 access logic, where we had gone in, we actually went
4 to unit 1 and dropped out all of unit 1's wires.

5 We lifted the wires from unit 1's aux
6 extension room. Well, we were still hot from unit 1,
7 and back to unit 2. So if we had gotten into
8 something in the unit 1, and shorted out some wires,
9 we could have actually done some tripping on unit 2.

10 So during unit 2's previous outage, that
11 they just went through, we went in and disabled all
12 the wires on the unit 2 side, came back, did all the
13 testing to make sure that what we did on the wire lift
14 didn't affect anything that they did.

15 So we now are separated, completely, from
16 unit 2, and it allows us, it turns us loose now to do
17 our logic, and get it lined back up. And that is one
18 of the things that we did on this past outage.

19 So we have looked at everything, unit 2's
20 outage, this past one was, could very well be the last
21 one that we will be able to do, that would require
22 them to shut down. So we looked at everything that we
23 had, as far as design space, to make sure that there
24 was nothing, no other designs that we had, that would
25 require us to have unit 2 off-line in order to be able

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to do those.

2 And we completed those in this past outage
3 at unit 2, that was just done.

4 MR. LEITCH: So when you come out of phase
5 1, SPOC phase 1, the wiring has been all wrung out?
6 I mean, we know that the wires go where they are
7 supposed to go?

8 MR. R.G. JONES: That is correct.

9 MR. LEITCH: And that type of, what I
10 would call, static testing, or checking out the
11 circuits is all done?

12 MR. R.G. JONES: If there is any
13 instrumentation that was replaced, all the instruments
14 have been checked out, they have been calibrated, and
15 we know that they function like they should.

16 All the valves have been stroked, so if we
17 changed a motor operated valve, we stroked it, timed
18 it, and made sure the timing and the stroke on it was
19 okay.

20 All the corrective actions done, all the
21 drawings are complete. So what we said we designed it
22 to, and what we go through, they are done, and all the
23 primary criticals are then in the control room, they
24 are done, so it is ready.

25 And all the procedures, for that system,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are complete. And that is operating instructions, all
2 the surveillances, all the tests that has to be run.
3 If there is any special test that we are going to run,
4 as we go towards SPOC 2, or phase 2 of this right
5 here, that is also ready at that point in time, too.

6 MR. LEITCH: So now who accepts the system
7 as you come out of phase 1, there, who? There has to
8 be some signatures there, who is that?

9 MR. R.G. JONES: The signatures are mostly
10 in the unit 1 organization. They belong to Bob Moll
11 in the engineering portion of it, system engineering,
12 I'm the final signatory, as far as phase 1 SPOC, along
13 with the running operations manager, also signs off
14 with the shift manager.

15 But all that says is we are now ready to
16 test the system. We have all the mod work done, we
17 have all the maintenance work done, and we are now
18 ready to test the system. And we have all the
19 procedures --

20 MR. LEITCH: And you have already tested
21 it, what I would call static testing?

22 MR. R.G. JONES: Some static tests, that is
23 correct.

24 MR. LEITCH: Okay.

25 CHAIRMAN SIEBER: What happens if it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flunks the operational test?

2 MR. R.G. JONES: We just go back, for
3 reactor cleanup system we will stop, see where we are,
4 see where the fault occurred, go back and replan, if
5 we have to do some additional mods. Because since we
6 missed, we haven't done this yet, we haven't run
7 across that issue.

8 CHAIRMAN SIEBER: I'm thinking about what
9 the process is, you know, some plants have a joint
10 test group that evaluates the test, decides whether it
11 is a pass or a failure.

12 MR. R.G. JONES: We call it a restart test
13 group, is what we have.

14 CHAIRMAN SIEBER: Okay.

15 MR. R.G. JONES: We do that once we get
16 through with, in other words, when we get through with
17 the testing, we will have a joint test group that
18 stops and looks at all the testing, make sure all the
19 data we have, everything meets --

20 CHAIRMAN SIEBER: Well, you have to be
21 doing this as you go along, because each subsequent
22 test relies on the ability of the system to do the
23 previous test.

24 MR. R.G. JONES: That is correct.

25 MR. MOLL: Bob Moll here. Phase 2 SPOC

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 checklist, and RG will describe it later. But there
2 is certain testing we are doing between phase 1 and
3 phase 2, it falls underneath the restart test program.

4 And one of the sign-offs is, is that once
5 that test is completed, that procedure, and the
6 results of that test, is brought back to the joint
7 test group for, who has already approved that testing
8 for that system.

9 The results for that testing have to come
10 back to the joint test group who review that and says,
11 yes, the acceptance criteria was met, and we close out
12 the restart, Bill will sign that off for that system.

13 And that is, really, how that process is
14 handled. The only other exemption to that is some of
15 the restart testing for a system can very well be a
16 power to power extension testing.

17 For instance, the high pressure coolant
18 injection system, one of the restart tests is a cold
19 quick start from standby conditions, to verify it
20 comes up to 5,000 gallons a minute.

21 That testing can only be done during power
22 extension. So that would be deferred to a later date,
23 and carried in the schedule.

24 CHAIRMAN SIEBER: Do you use your
25 regulation corrective action system to identify and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 track test failures?

2 MR. MOLL: That is correct.

3 CHAIRMAN SIEBER: And so there will be a
4 huge amount of discrepancies that show up in the
5 system, because of the large amount of testing that
6 you are doing? Huge is a relative word.

7 MR. MOLL: Well, I will tell you that we
8 will have some test efficiencies. I'm expecting those
9 to be minimal, as long as we design it, and install it
10 correctly, then when I go run these tests I should
11 have minimal issues.

12 But any problems that do come up, that is
13 what we call test efficiency, it is documented in the
14 corrective action program and that drives the solution
15 to that. And we do track those from the joint test
16 group.

17 CHAIRMAN SIEBER: And the system doesn't
18 get signed off until those are cleared?

19 MR. MOLL: That is correct.

20 CHAIRMAN SIEBER: Somebody sit down and
21 say that doesn't make any difference?

22 MR. MOLL: No, that has to be reviewed by
23 the joint test group, to agree with that, and that is
24 a sign-off in the SPOC process, also.

25 CHAIRMAN SIEBER: Okay, thanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BARTON: Could you proceed from phase
2 1 to phase 2 if the labeling wasn't complete?

3 MR. MOLL: Our goal would be to have one
4 hundred percent labeling done. That is an ops sign-
5 off. As long as ops can -- as long as the labeling is
6 adequate for us to continue on with testing, it could
7 go without labeling being one hundred percent
8 complete, that is correct.

9 MR. BARTON: But would it then have to
10 have a temporary tag, or some temporary label?

11 MR. MOLL: That is correct.

12 MR. BARTON: But permanent labeling could
13 be a deficiency carried on until some time later?

14 MR. MOLL: If we didn't have the permanent
15 labeling done, we would have a temporary label out
16 there, in place of that permanent label.

17 MR. BARTON: You would have a deficiency?

18 MR. MOLL: Right, at phase 2 SPOC sign-off
19 all permanent plant labeling would have to be one
20 hundred percent complete.

21 MR. BARTON: Got you, okay.

22 MR. R.G. JONES: The statement says,
23 labeling reviewed and dispositioned. That is what Bob
24 was saying, that is the terminology. When you go look
25 at the phase 2 SPOC sign-off, phase 2 SPOC doesn't

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 give you that option, it says it has to be done.

2 MR. BARTON: It is complete?

3 MR. R.G. JONES: Yes, sir.

4 CHAIRMAN SIEBER: So I can assume, from
5 that, that there are, every label that is required on
6 units 2 and 3 is in place?

7 MR. R.G. JONES: Time for another site
8 visit?

9 CHAIRMAN SIEBER: Yes, give me a year.

10 MR. R.G. JONES: I want to answer that with
11 an affirmative, that is correct. And we are in the
12 process, we have a process, we are looking through
13 right now, in fact, we have a pretty elaborate system
14 for it, for doing the labeling.

15 So I wouldn't be surprised --

16 CHAIRMAN SIEBER: Yes, that is usually a
17 lifetime job for a couple of people. It never ends.

18 MR. R.G. JONES: The restarts give you a
19 whole different perspective on being able to label the
20 plant than you would have if you had a plant that was
21 operating all the time, and running. When you have
22 been shut down you can pretty well go through that.

23 So we take it system by system, and it
24 goes right through the system.

25 CHAIRMAN SIEBER: Okay, thanks.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BARTON: At what point in this
2 process, and how, does quality assurance, or whatever
3 you call that function become involved?

4 MR. R.G. JONES: Quality assurance, quality
5 control is in the process, depending upon the
6 complexity of the work order, or the modification, and
7 there are certain hold points in our QC hold points,
8 based on what the requirements are for that.

9 So that is built into the system. We also
10 do quality assurance on this, and they come up, they
11 have looked at the six systems that we just completed,
12 just recently.

13 And with some findings out of this, we
14 asked them to do an assessment based on our going
15 through the first six systems, to make sure that they
16 were in agreement with the process, how the process
17 was laid out, and what we did was okay.

18 And I know that we had no findings for
19 that.

20 MR. BARTON: So they have reviewed the
21 process?

22 MR. R.G. JONES: The process, yes, they
23 did.

24 MR. BARTON: Okay.

25 CHAIRMAN SIEBER: Do you have an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 engineering assurance function in your organization?
2 Somebody that goes over calcs to make sure that there
3 is no mistakes?

4 MR. R.G. JONES: That is done in-line by
5 the final organizations.

6 CHAIRMAN SIEBER: Do you mean the
7 supervisor checks the worker?

8 MR. R.G. JONES: No.

9 CHAIRMAN SIEBER: Okay.

10 MR. R.G. JONES: The worker is checked by
11 another qualified worker that has all the proper
12 qualifications.

13 CHAIRMAN SIEBER: Another engineer?

14 MR. R.G. JONES: Another engineer. A
15 supervisor does a review for approval, but it is not
16 for a QA check.

17 CHAIRMAN SIEBER: Okay.

18 MR. R.G. JONES: There are QA surveillances
19 on calcs.

20 Also for the system pre-operability phase
21 one checklists, one of the things that we look at
22 there, like I said, it is after the completion of all
23 items that are required for system testing.

24 So we say that we got all the system
25 testing, we got all the items walked-up. So the last

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 thing that we do, we do a complete walk-down of the
2 system at phase 1.

3 And with that we are looking at the
4 physical condition of the system itself, and to make
5 sure that since we have been working on it, and since
6 it has been out in the plant, that there has not any
7 damage been done to it, where you've got instruments,
8 instrumentation lines, whatever.

9 Anything like that has been taken care of.
10 That gets looked at in this right here. Those are
11 written down, and then they get dispositions, along
12 through the processes, as we go through the process
13 for that, before the sign-off.

14 MR. BARTON: But you are doing a lot of,
15 what was I going to say here? With system mods you
16 are doing a lot of inspection on those mods, as you
17 are putting the systems in service, you are doing a
18 lot of system flushing.

19 Are you doing any pressure tests, or are
20 your pressure tests going to be at operational, while
21 the system is operating, or operational leak tests?
22 What are you doing to verify integrity of the system,
23 what kind of testing are you doing there? What are
24 you doing for pressure integrity?

25 MR. MOLL: Some of these modifications we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 do would require a hydrostatic test, fire protection
2 header is one, so that gets a hydrostatic test. The
3 large majority of our leak tests will be in-service
4 leak tests.

5 MR. BARTON: The operational leak test?

6 MR. MOLL: Right, with the system in
7 service. Either the pump running and we walk it down
8 and do a leak test, those kinds of test.

9 CHAIRMAN SIEBER: Well, you do have some
10 things that have to be hydrated.

11 MR. MOLL: That is correct.

12 CHAIRMAN SIEBER: Well, that is pretty
13 standard.

14 MR. R.G. JONES: And all the valves that we
15 are putting back in, that requires local leak rate
16 testing, we have done an unofficial local leak rate
17 test on those to verify that they do meet the
18 requirements as we go through.

19 CHAIRMAN SIEBER: And your testing will
20 test every function the system is supposed to perform?

21 MR. R.G. JONES: That is correct.

22 CHAIRMAN SIEBER: Okay.

23 MR. R.G. JONES: So once we get the
24 walkdown of the condition of the system, then we are
25 ready to start in the testing portion of it, and that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is what phase 2 SPOC does.

2 Phase 2 SPOC then takes the surveillance
3 test, it takes the restart test program, it looks at
4 each one of the different functions that we said that
5 each one of the systems is supposed to perform.

6 And we will go through, do all of the
7 tests. At this point in time there is, we get
8 configuration control of the system, for testing, not
9 the final configuration control, I'm sorry, status
10 control is what -- as far as operations is concerned.

11 We get status control of the system so we
12 know where we are going to be putting water, or air,
13 depending upon what it is, and where it is going. And
14 at this point in time then we start the testing
15 program, and we go through tests.

16 At the end of that, we will stop and we
17 get a system engineering recommendation for
18 operability, because we will see, and we in unit 1
19 will recommend to the plant, that this system is now
20 ready for operability to be declared. That is a shift
21 manager's responsibility, when he gets ready to do
22 that.

23 And we will be able to go to work control,
24 and they will be able to say that all the PMs are in
25 periodicity, that all the surveillances have now been

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 completed for that system to prove it is operable.

2 Even though we might not declare it
3 operable at this time, and we will also put those
4 surveillances in periodicity at that point.

5 MR. BARTON: Who are your test engineers?

6 MR. R.G. JONES: Our test engineers,
7 currently right now work for Bob Moll. They are all
8 contract personnel. A lot of those individuals worked
9 on unit 2 recovery, and also on unit 3 recovery.

10 MR. BARTON: But it is a contractor?

11 MR. R.G. JONES: Yes, they are.

12 MR. BARTON: Reporting to who, who do they
13 report to, in house?

14 MR. MOLL: They report to me, it is
15 Bechtel Engineering. The other thing we have done is
16 all of the system engineers, restart test engineers,
17 that work for me, have the appropriate ANSI
18 qualifications, and they have all completed the Browns
19 Ferry, Tennessee Valley Authority system engineering
20 ESP training program.

21 MR. BARTON: Thank you.

22 MR. MOLL: The ESP training is the INPO
23 accredited training program for engineering on-site,
24 basically a systems training, some simulator training,
25 and a regular classroom training that a permanent TVA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 engineer, system engineer would go through.

2 MR. BARTON: So one of your contract test
3 engineers does not have to go through that portion,
4 right?

5 MR. MOLL: No, they have been all through
6 that training, and have all those qualification cards
7 signed off, just like the permanent TVA staff.

8 MR. BARTON: Okay, thank you.

9 CHAIRMAN SIEBER: I think you said that
10 you may accept the system with temporary labels?

11 MR. MOLL: That is correct.

12 CHAIRMAN SIEBER: Would you accept a
13 system that doesn't have all the installation
14 installed? Or all the coatings applied?

15 MR. MOLL: Let me tell you, with the
16 insulation, we might not put the insulation on at the
17 current time. Some of it that requires hydrostatic
18 testing. If you put the insulation on you have to
19 wait four hours versus a very short period of time if
20 you have no insulation on them.

21 But we are --

22 CHAIRMAN SIEBER: But after the hydro
23 would you wait a year before you put it on?

24 MR. MOLL: No, sir.

25 CHAIRMAN SIEBER: Okay. I'm trying to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 figure out what acceptance really means. And how
2 complete must the system really be. There are a lot
3 of finishing touches that --

4 MR. R.G. JONES: Let me tell you what that
5 entails. I have been a plant manager twice, and I
6 know what it is to have a nice running clean plant.
7 And that is what we are going to give them back.

8 If you look at, I think we had let you see
9 the fuel coating system, which was the first system we
10 returned back to service to the plant. And one of the
11 requirements, in the checklist, is that the area is
12 painted, all equipment is painted, and it is back to
13 the original specs.

14 We didn't paint it the first time, so it
15 looks a lot better than it did. With the color coding
16 in there, of the system. The floors, and everything,
17 will be the last thing we do. We are going to wait
18 until the last to get that.

19 But all of the equipment in the area,
20 right there, will be cleaned up, painted, insulation
21 on before it is turned baCK over.

22 CHAIRMAN SIEBER: Okay. I noticed you had
23 a lot of star glaze around, which I think is on your
24 floors, which I think is a great idea in a BWR, in any
25 kind of a plant. That certainly helps radiological

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 condition situations. So that is good.

2 MR. R.G. JONES: On page 25 of the restart
3 test program, again, reiterating what Bill said, the
4 reason why, and our purpose is to verify that the
5 systems are capable of performing their safe shutdown
6 analysis and our safe shutdown requirements for each
7 one.

8 And that they do operate within what our
9 licensing basis is. So our commitment to NRC is to
10 test the safety related mode to the systems. And that
11 is what we will be doing with the restart test
12 program.

13 Our non-safety shutdown functions, we do
14 that through our post-modes testing, and also our
15 component testing that we have. And, again, it is
16 just like the restart test program we had for units 2
17 and 3.

18 We do have a lot of oversight in the
19 testing program, that we have had, and with current
20 work that we currently have in place right now.
21 Nuclear assurance does look and do assessments of our
22 systems.

23 In our return to service they look at the
24 work that we are doing. We have a restart test group
25 that will be looking at the tests, as the individual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tests start coming in. They will be reviewing the
2 tests.

3 You heard Bob talk about that already.
4 Also the plant operations review committee, which is
5 or plant organization that sets, that has the plant
6 manager as the head, will be the group that will be
7 looking at that from the plant operation review
8 committee, or the operations manager, the plant's
9 manager is the last signature.

10 And then the nuclear safety review board,
11 of which is also overlooking that. And we do have,
12 now, have set up a separate unit 1 subcommittee for
13 the nuclear safety review board to be able to also
14 look at some of our activities that we are doing
15 currently.

16 MR. BARTON: Are they going to be on-site,
17 is this a group that meets periodically, or --

18 MR. R.G. JONES: They are going to be
19 meeting periodically with us, on a quarterly basis
20 right now.

21 And we also, like we said earlier, we have
22 two NRC full time, two NRC resident inspectors on-
23 site, that are assigned to unit 1.

24 MR. LEITCH: I assume the testing proceeds
25 in accordance with a procedure, with pre-prescribed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 acceptance criteria?

2 MR. R.G. JONES: Yes, sir. All the
3 surveillances, our surveillance tests are just like
4 what you would have from tech specs, where it says
5 here is the criteria, we have acceptance criteria in
6 the test and it is either a go or no-go, when you get
7 to that point.

8 MR. LEITCH: Yes, for surveillance tests.
9 But I would assume in this restart test program you
10 are doing tests in addition to the normal surveillance
11 tests?

12 MR. CROUCH: Why don't we let Bob describe
13 the restart test matrix.

14 MR. MOLL: The restart testing, I guess if
15 you look at a sequence, the design guys define what
16 needs to be tested, and what the acceptance criteria
17 is.

18 My guys job is to take and translate that,
19 and they develop a document that identifies what the
20 testing mode is, what the acceptance criteria is, and
21 the procedure that is going to be used to go test
22 that.

23 Now, those procedures are either a
24 surveillance instruction, that I a permanent plant
25 document, that we will go do. It is either a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 surveillance requirement, again, which is a permanent
2 unit 1 plant document that implements the tech spec
3 requirements.

4 If there is testing that we can't do
5 within one of those two procedures then generally if
6 there is a post-mode test, I've already written, that
7 captures those requirements, I will use that, or we
8 are developing, we call them TIs, or technical
9 procedures, that basically it is in the same format as
10 the surveillance instruction.

11 It has the defined acceptance criteria,
12 sign-offs, completed step by step that would direct
13 that testing.

14 MR. LEITCH: Okay, thank you.

15 MR. R.G. JONES: Page 26. What we did
16 here, was we took the same three systems that we
17 talked about, that Joe Valente talked about earlier,
18 and we are going to show you what the testing is, and
19 what the requirements are in the system modes that you
20 see down there at the bottom.

21 We will go through those very quickly.
22 This is ECCS, this is the one that, remember, it had
23 the minimal amount of work done to it. The post-mod
24 testing and calibration and surveillance is included
25 in the valve stroking and timing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The local leak rate test, did all the leak
2 tests on that, the component calibrations, any
3 calibrations that had to be done for instruments,
4 whether they were put in new, or whether they were
5 there, and existing.

6 Then we will do a cold quick start. This
7 cold quick start will come as a result, and after we
8 have reached rated pressure and temperature on the
9 reactor vessel.

10 And it will also, after some point in
11 time, between 55 to 75 percent power, also do a vessel
12 injection. And this allows us to do the tuning on the
13 HPCI system.

14 So it gets, so to start off with we will
15 have an aux boiler run. So we have the ability to take
16 an auxiliary boiler, and we will have the HPCI system
17 operable, prior to startup.

18 So we will be able to test it up to 150
19 pounds. And then we are required, when we get to 150
20 pounds to test it. And then, again, at rated pressure
21 and temp, we will run it again at rated pressure and
22 temp.

23 Then once we get through with that, then
24 we will set it up, let it cool down for 24 hours, and
25 then we will run a cold quick start, which verifies

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that it meets the minimum time that it can come up to
2 speed, and that it runs.

3 So that is the testing that is done with
4 that. That tells you, down here, the system modes,
5 one of the first system modes that initiates on low
6 water level. This sets that up.

7 And the second one talks about the flow
8 rate that it gets within the time period that it is
9 supposed to get it. You want to make sure that the
10 minimum bypass valve functions as it should.

11 And then when they get an isolation signal
12 on the steam, that the steam signal is isolated, as it
13 should. So all of those functions will be tested.
14 And we can do that, we do that through surveillance
15 testing.

16 And that will complete the testing on the
17 HPCI. Any questions about that?

18 (No response.)

19 MR. R.G. JONES: Page 27, reactor water
20 cleanup system. This is the one that we complete
21 redid. The functional testing on it is the same. We
22 have pump interlocks that looks at valve interlock for
23 suction protection.

24 We will also be stroking and timing of the
25 valves. We will do local leak rate testing on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valves, because they are primary containment isolation
2 valves that we replaced, that has already been taken
3 care of.

4 We have already done the unofficial local
5 leak rate test on those, and we will also do component
6 calibrations. The system modes on this one are
7 strictly isolations, that is what it looks at, when
8 you look at it.

9 Where you get a primary containment
10 isolation, where you get an isolation of the standby
11 liquid control initiation, or where you get a high
12 area temperature that would cause the cleanup system
13 to isolate. That is the functions that that serves.

14 MR. CROUCH: One of the questions that
15 came up, from one of the members, was what tests
16 normal operational functions? Like on a system like
17 this, reactor water cleanup, if you look down there at
18 the bottom, the three functions calls out, it has
19 nothing to do with filtering water.

20 CHAIRMAN SIEBER: That is true.

21 MR. CROUCH: So that function of the
22 system is tested by the other component testing that
23 we will do, separate and apart from the restart test
24 program. From the restart test program, we are just
25 testing the safety modes, the non-safety related modes

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 are tested as part of the component testing.

2 CHAIRMAN SIEBER: It would be nice if it
3 filtered water.

4 MR. LEITCH: Is there an isolation on the
5 differential flow?

6 MR. CROUCH: No.

7 MR. LEITCH: No?

8 MR. CROUCH: Some plants use that, but we
9 do not.

10 MR. R.G. JONES: On page 28 we took the
11 feedwater system and the surveillances on the
12 feedwater system, that we will be talking about, this
13 right here, when you look at it, you would think
14 feedwater system, you think the water going into the
15 reactor vessel.

16 This also is the one that supplies all of
17 our control instrumentation to the three element
18 control, as far as water level control. And this is
19 where this is taken care of.

20 So we are talking about, we do functional
21 testing on the feedwater control system. We will
22 discuss that a little bit later, when we get over into
23 the sequence.

24 And I will show you where that occurs.
25 This is the place where we do zinc passivation on the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 system. We use the delta P across the feed pumps in
2 order to place the zinc in the system.

3 And we will also do component calibrations
4 in, again, the system leak testing. The system modes,
5 as you can see down here, is to verify that on the low
6 water level, that it sends the signal to do a lot of
7 things.

8 One is to start your emergency core
9 coolant system; one is the primary containment
10 isolation system, isolation, and it also gets the main
11 steam line closed on low water level.

12 MR. BARTON: What is the zinc passivation
13 system? I didn't think you had that.

14 MR. R.G. JONES: We do. Yes, sir. We do
15 have it on units 2 and 3 and we will be placing that,
16 in service, on unit 1 when it goes into operation.

17 MR. BARTON: I thought all you were doing
18 was hydrogen water chemistry during startup. I didn't
19 know you were doing zinc injection.

20 MR. CROUCH: We are also doing zinc
21 injection, use depleted zinc oxide.

22 MR. R.G. JONES: On page 29 --

23 MR. LEITCH: Just one thing. What are you
24 talking about here? For example, just to go back to
25 reactor water cleanup for a moment. This whole

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 section here we are discussing what you call the
2 restart test program, right?

3 MR. R.G. JONES: Right.

4 MR. LEITCH: So, now, as I understand it,
5 in reactor water cleanup, you've got totally new
6 pumps, and they are cold pumps now, rather than hot
7 pumps, totally different location in the system.

8 MR. R.G. JONES: Same as units 2 and 3 has.

9 MR. LEITCH: Yes. Where do you verify
10 that those pumps run and pump water? Is that part of
11 this reactor water, is that part of the --

12 CHAIRMAN SIEBER: It is not a safety --

13 MR. R.G. JONES: -- talking about, that is
14 part of the non-safety related functions that you will
15 test through component testing.

16 MR. LEITCH: And where does, in this flow
17 diagram that we discussed earlier, about SPOC and so
18 forth, where does that occur?

19 MR. R.G. JONES: That occurs after phase 1
20 SPOC, and prior to phase 2 SPOC sign-off. See, phase
21 1 SPOC says that we have all the maintenance
22 performed, I have all the procedures ready, and I'm
23 ready to test.

24 That is really what phase 1 SPOC says, I'm
25 ready to test. Then the testing begins, and the phase

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 2, at the end of phase 2 SPOC you will say I'm tested,
2 I have everything tested, and I'm ready to declare the
3 system operable.

4 CHAIRMAN SIEBER: From a safety
5 standpoint?

6 MR. R.G. JONES: From a safety standpoint,
7 correct.

8 CHAIRMAN SIEBER: But it doesn't need to
9 filter water.

10 MR. R.G. JONES: Well, with the filtering
11 water part comes, what we call the PMTI, it is a post-
12 maintenance test instruction.

13 CHAIRMAN SIEBER: Right.

14 MR. R.G. JONES: And we just finished up
15 with the reactor water cleanup system, verifying what
16 -- we ran with new motors, and new pumps. The first
17 thing we did we ran them uncoupled, we ran them
18 uncoupled for a while to make sure that everything was
19 okay, the vibration is all right, and everything.

20 Then we coupled them up and then we ran
21 them for a period of time coupled up, to make sure
22 that the flows and everything were okay with them.
23 And we shut them back down.

24 So we currently have them shut down.

25 MR. LEITCH: Now, that is what you call a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 functional test.

2 MR. R.G. JONES: That is correct.

3 MR. LEITCH: Now, take me back to slide 24
4 and show me where that functional test occurs. Is
5 that in this final --

6 CHAIRMAN SIEBER: It is not in any of
7 those blocks.

8 MR. CROUCH: It doesn't say functional
9 test, RG has just described it for you, where it
10 occurs.

11 MR. LEITCH: And that is between phase 1
12 and phase 2?

13 MR. R.G. JONES: Yes, sir. Phase 1 says,
14 again, I'm ready to test. At the end of phase 2,
15 phase 2, this SPOC, what we call phase 2 SPOC, we
16 don't say that we are in phase 2 SPOCing a system.

17 What we say is we are finished up with
18 phase 1 SPOC. So we can call it a completion, it is
19 a milestone, we have a date for this. So let's say it
20 was today, we will say we are done with that.

21 We are now beginning to test. And we say
22 we are going to complete, we are going to do complete
23 phase 2 at this date here, which means between this
24 and the phase 2 date, that we are doing nothing but
25 testing.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And that is going to -- where all the
2 tests are required to be tested, whether it is
3 surveillance test, or whether it is in our restart
4 test program, which is where this one would show up.

5 Then this is where we would do this. And
6 that is where we find out whether or not it is going
7 to filter water in this part of it right here.

8 CHAIRMAN SIEBER: When you give this
9 presentation, again, you will have to come up with a
10 third chart.

11 MR. LEITCH: Okay. But this says, in
12 phase 2, it says restart testing. And if we are
13 applying this diagram to reactor water cleanup system,
14 this slide 27 describes the restart test program for
15 the reactor water cleanup system, right?

16 MR. R.G. JONES: That is true.

17 MR. LEITCH: But, once again, that doesn't
18 assure me, I'm just trying to make sure I have this
19 straight. That doesn't assure me that the pump pumps,
20 that the pump turns, it just assures me that the
21 safety interlocks are satisfied?

22 MR. R.G. JONES: That is right.

23 MR. LEITCH: Okay. So we could get all
24 through that without the pump, you know, with the pump
25 bound up. I'm not saying we would like that, I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 saying, I'm just trying to understand the process.

2 MR. MOLL: RG, let me take a shot at this.
3 The restart test program, that is the I've committed
4 to the NRC to do the testing in that program, and that
5 is a very small piece of testing that has to happen at
6 Browns Ferry for recovery.

7 Now, between phase 1 and phase 2 SPOC
8 there is a big box. And any testing that has to be
9 done, on that system, is completed between phase 1 and
10 phase 2 SPOC.

11 The only exemption would be if I can't do
12 it because of plant conditions, and I need power
13 extension testing, and I have scheduled it out. So
14 within phase 1 and phase 2 SPOC, one piece of testing
15 we have to have done at phase 2 is the restart test
16 program.

17 And in all honesty that is the big, that
18 is a very small piece of testing. The testing you are
19 talking about, to make sure that those pumps pump
20 water, these pumps were brand new, put in under a
21 modification.

22 The post-mod testing, and the testing that
23 we have done to verify the pumps pump water, that has
24 already been completed, and that was a post-mod test
25 we ran.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 There is also a post-maintenance testing
2 that might be done, if it is a maintenance item, but
3 again, that is generally using a current plant
4 procedure that exists, that may be electric cycling of
5 a valve, that kind of stuff.

6 But any of that testing is completed
7 between phase 1 and phase 2 SPOC. Restart test
8 program, that we are describing in this presentation,
9 is really the testing that has been committed to the
10 NRC to do, to recover Browns Ferry unit.

11 And that is a very small piece of the
12 testing that any of these systems will undergo.

13 MR. LEITCH: Okay, I understand.

14 MR. DELONG: Also, Rich DeLong, site
15 engineering manager for the operating units. The
16 other piece is, before we sign off, as the operating
17 unit engineering organization, we already have
18 reviewed, and buy into the scope of the testing
19 program, for any given system.

20 And then, also, sign off acceptance of the
21 test results, and the condition of the system, at the
22 end of the SPOC phase 2, our signature is required
23 prior to operations and plant manager's signatures.

24 MR. LEITCH: Thank you.

25 MR. R.G. JONES: I will do a third attempt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on that.

2 (Laughter.)

3 MR. R.G. JONES: Page 29 phase 1 testing.
4 What we have done is we have got the testing of the
5 power extension program, and it starts from the open
6 vessel testing all the way up to one hundred percent
7 power.

8 And we have it in four phases. And the
9 reason why we put it in four phases was to allow us to
10 stop and have management hold points at each one of
11 the phases. And they have some rhyme and reason to
12 why we have them there.

13 And we will talk a little bit about what
14 is included in that phase 1 testing, and then they
15 will all have this bottom part down here that says
16 that there will be a management assessment of the test
17 results, and the plant operations review committee,
18 and the plant manager approval, prior to proceeding.

19 So we've got a procedure that is lined up
20 for that, some technical instructions that will work
21 through this right here, to make sure that all this
22 gets done, and it will have signature sign-offs on
23 that, and the plant manager will approve.

24 And once he approves this, then we will go
25 from phase 1 into phase 2. So the first part of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 testing is what I would call sort of open vessel
2 testing, to start with.

3 And then we start closing the vessel up,
4 because we do SRM, RM, range monitors, to make sure
5 you have your range monitoring systems available for
6 you.

7 And then we do control rod drive testing,
8 which is nothing other than just a friction test,
9 prior to setting the head, to make sure that when we
10 load fuel, and prior to setting the head, that we have
11 no bundles that are misoriented, anything is taken
12 care of, and then we haven't set something down and
13 got it to where it is in a bind.

14 So we do friction testing on all the CRDs.
15 One that is completed, and we will go ahead and button
16 up the reactor vessel. We do two things, we do a
17 reactor vessel hydrostat test, and that will be done.

18 At this time we do leak checks, and we do
19 hydrostat testing, for this time one would do a
20 hydrostat test, and take it up all the way to 1120.
21 And then we will also do a containment integrated leak
22 rate test, also at this point in time.

23 And that is the big test, that is the 50
24 pound, approximately 50 pound test that we run on the
25 containment, that we will be running, also, during

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 phase 1 testing.

2 We also run HPCI, our high pressure
3 injection, and our RCIC, which is our low volume, it
4 is still high pressure, but it is lower volume, it is
5 660 GPM versus 5,000 GPM for HPCI.

6 We will run that on the auxiliary boilers
7 to make sure we have that ready prior to startup. And
8 also the backup control panel testing. All the
9 components on the backup control panel will be tested
10 and fully functional prior to coming out of phase 1
11 testing.

12 Go through the management assessment --
13 yes, sir?

14 MR. LEITCH: How long would you expect
15 that phase 1 test to last, like a month? I mean, are
16 we talking days or weeks? I mean, just --

17 MR. R.G. JONES: Right now I think we have
18 about three weeks set aside for this portion right
19 here.

20 MR. BARTON: There are a couple of biggies
21 in there, containment integrated and reactor vessel
22 pressure --

23 MR. R.G. JONES: We have a lot of
24 experience on running these things.

25 CHAIRMAN SIEBER: You have nine days right

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there.

2 MR. R.G. JONES: We have about three weeks,
3 right now, currently set in --

4 CHAIRMAN SIEBER: So the answer to the
5 question is yes.

6 MR. R.G. JONES: Yes. Okay, phase 2
7 testing, we will go to page 30. This takes us up from
8 startup to 55 percent power. We picked 55 percent
9 power because that is the point that we will have all
10 the balance of plant equipment in service.

11 So everything will be in service at 55
12 percent power. So there is no pumps on standby, up
13 until this point in time you are waiting to get the
14 third condensate booster, and feed pump in service.

15 This puts them all in service, so
16 everything now is ready and there. So we will go
17 through our initial criticality and shutdown margin
18 testing. SRMs, I won't read all of these.

19 The ones that are of interest, down
20 through here, will be the thermal expansion walkdowns.
21 That takes place inside the dry well. What this is,
22 is around 150 pounds pressure, and as we start
23 pressurizing, and the temperatures starts coming up on
24 the reactor vessel, we will make sure that everything
25 is going like it should.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we went through this on units 2 and 3,
2 and we will have the same, as we go through it on unit
3 1.

4 CHAIRMAN SIEBER: You expect no surprises?

5 MR. R.G. JONES: We expect no surprises.
6 Based on what we have seen, based on -- we were pretty
7 good on unit 3, as far as what we had. Unit 2 we
8 learned some stuff on the way, unit 3 we had a pretty
9 good handle on it, from the -- and we expect that we
10 will take the lessons learned that we had off of unit
11 3.

12 CHAIRMAN SIEBER: How are you going to do
13 that, you are going to measure things, or --

14 MR. R.G. JONES: We measure, the biggest
15 part was the opening in the gratings, and things that
16 we had. But some of it moved a little bit in a
17 different direction than what we thought, initially.

18 CHAIRMAN SIEBER: Yes, okay. Well, the
19 important thing there is to make sure that all the
20 supports are installed in the right direction, then
21 represent an untoward constraint, you aren't breaking
22 snubber shafts, and things like that, which could
23 occur if it is not done properly.

24 MR. R.G. JONES: Our reactor feedwater
25 overspeed testing, and balancing, also takes place

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 during this part of the startup. We are not able to
2 run our feed pumps prior to startup.

3 However, we don't need our feed pumps
4 until we get to around, to ready pressure and temp.
5 We are able to use the CRD system to do that. And so
6 at that point in time.

7 So this gives us the ability, then, to go
8 ahead and do the overspeed testing, and the vibration
9 and balancing of the HPCI, I'm sorry, of our RCIC,
10 reactor feedwater pumps, as we come up in pressure, as
11 we start up.

12 We do the same thing with our high
13 pressure coolant in our RCIC testing. That is also
14 done at ready pressure and temp. And we also then do
15 the relief valves. All 13 relief valves, we will
16 cycle those through one cycle, and we will do that
17 ready pressure and temp.

18 And then the other testing down through
19 here is the EHC testing, and tuning. And we do a lot
20 of tuning, we do testing, we do control valves, and
21 stop valve testing, and then tune it.

22 And we will do that constantly as we are
23 coming up in power. Because what you are looking for
24 is the best place, sort of a sweet spot, if you want
25 to find one, that the unit tends to take the control

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valves going closed, or a stop valve going closed,
2 without doing a perturbation, very much.

3 You can have, sometimes you can go at a
4 higher power level, and it is less than what it is at
5 lower power level. So right now we do it around 85
6 percent power on units 2 and 3, and we are looking for
7 that same area, right there, to be where we will test
8 the valves on unit 1, also.

9 CHAIRMAN SIEBER: Prior to even heating up
10 the unit you will test your main steam isolation
11 valves?

12 MR. R.G. JONES: Yes, sir.

13 CHAIRMAN SIEBER: Did you change the
14 valves from the ones that were there, prior to this
15 outage?

16 MR. R.G. JONES: We will have new -- those
17 valves will be completely rebuilt.

18 CHAIRMAN SIEBER: But it is the same
19 design?

20 MR. R.G. JONES: Same design, yes, sir it
21 is.

22 MR. CROUCH: Same body, different
23 internals.

24 CHAIRMAN SIEBER: Yes, right. So this is,
25 there is nothing unique about this, from what you have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 been doing in the past?

2 MR. R.G. JONES: No.

3 CHAIRMAN SIEBER: Okay.

4 MR. R.G. JONES: And for unit 1, since we
5 are doing the EPU, which will have the 30 PSI pressure
6 increase, the valves will be set at the new pressure
7 set point.

8 CHAIRMAN SIEBER: Yes, but that is, you
9 know, three-tenths of a percent?

10 MR. R.G. JONES: That is right, very small.

11 CHAIRMAN SIEBER: Okay.

12 MR. R.G. JONES: Scram time testing will be
13 done, also, during this plateau prior to getting 55
14 percent power. And we currently have in our schedule,
15 right now, to do a reactor scram at right around 55
16 percent power.

17 Following that we will do a management
18 assessment of the test results, and our plant
19 operations review committee, again, to proceed on.
20 Once we are given the okay to proceed on, we will go
21 to phase 3 testing, that is on page 31.

22 That power level is from --

23 MR. LEITCH: I assume, though it is not
24 mentioned, but I assume that at phase 2 you would do
25 a main turbine overspeed test?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. R.G. JONES: Yes, sir. We do that when
2 we first tie it on. We will run it about 180
3 megawatts electrical for about three hours, and then
4 we will actually do an overspeed test on that.

5 MR. LEITCH: Yes.

6 MR. R.G. JONES: Yes, sir. Phase 3 testing
7 is 55 percent power, up to 83 percent power. During
8 this time what we are doing here, these tests right
9 here, since you have all the balance of equipment in
10 service, and what we are doing is tuning.

11 A lot of this right here is tuning, and we
12 are also doing some testing, feed pumps, we will do
13 water level perturbations, up to three inches, water
14 level perturbations, and we are looking for integrated
15 plant response to see how the EAC system, how the feed
16 pump, how the three water, three element control, and
17 how it takes care of that.

18 And we've also got the variable frequency
19 drive. This is the same variable frequency drives
20 that units 2 and 3 currently have. We will be having,
21 we have those currently on unit 1 also.

22 And the new HC system is the same EAC
23 system that is on units 2 and 3 that is currently in
24 operation. And all those testing, and tunings, will
25 be done during this plateau between 55 to 83 percent

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 power.

2 At this point in time, also, between 55
3 and 83 percent, we will do a HPCI injection. The
4 reason we do this, is we found out, through operating
5 experience, that the controllers don't necessarily
6 work the same whenever you are going through the test
7 line back to the condensate storage tanks.

8 And you get a little different operation
9 out of them from that. So we will actually do an
10 injection to the vessel at this point in time, with
11 both HPCI and RCIC, in order to get the tuning set up
12 and make sure that is working fine.

13 We will also do a recirc pump variable
14 frequency run back test to ensure that they will run
15 back at the different plateaus we have set up. At
16 that point in time, then, we will have another
17 management assessment.

18 And from there we go into phase 4 testing.

19 MEMBER DENNING: Now, 83 is the old full
20 power?

21 MR. R.G. JONES: That is correct.

22 MEMBER DENNING: I was wondering, here, I
23 mean we expect at this point that the reactor would
24 respond pretty much like it did, originally, or are
25 there reasons why there really are differences?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I mean, as far as looking at the plant
2 performance, and determining are things really
3 happening the way we expect, this is probably the best
4 period? I mean, this is the time when we really get
5 the feeling that yes, there is nothing unexpected?

6 MR. R.G. JONES: That is right. And we've
7 got a lot of monitoring that we are going to be doing,
8 on the way up, as we look at this. We have a lot of
9 things we look at. And we will show you, on the next
10 page, sort of what they are, when we get into the next
11 plateau.

12 MEMBER DENNING: Yes.

13 MR. R.G. JONES: But we are, also,
14 monitoring these things during our normal, as we come
15 up into power.

16 MEMBER DENNING: Other than with regards
17 to the moving from 55 percent to 83 percent, is there
18 anything that really looks at the transient
19 performance at this point?

20 Is there any value in dropping down in
21 power and seeing whether it performs the way you would
22 expect as you did a power setback, or is there nothing
23 like that in value?

24 MR. BARTON: -- on loss of feed, or
25 something like that, is that what you are getting at?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER DENNING: Yes, that is what I'm
2 getting at.

3 MR. R.G. JONES: We will base it upon what
4 we get out of our testing that we do on the feed pump.
5 We are not planning on tripping a feed pump, right
6 now, to make sure the others -- but what we do is we
7 set, we have three set up.

8 Two will be in automatic, and one will be
9 in manual, and we will run it, and we will ramp it
10 back to see how the other two respond to it to make
11 sure that they do.

12 So the tuning is not just looking at them
13 and making sure that they are sort of doing that, so
14 you ramp one back and the other two, and we will do
15 that through all three of them, we will go through all
16 three of them to make sure that they respond in a way
17 that they should.

18 MEMBER DENNING: You have --

19 CHAIRMAN SIEBER: But that is not large
20 transient testing?

21 MR. R.G. JONES: That is correct, that is
22 not large transient --

23 MR. BARTON: Turbine trip in power,
24 anything like that here?

25 MR. R.G. JONES: It is 55 percent.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. BARTON: Turbine trip at 55?

2 MR. R.G. JONES: The one at 55 percent
3 power, the reactor, the reactor SCRAM will give us a
4 turbine trip.

5 MR. BARTON: Yes, okay.

6 MEMBER DENNING: Do you have a
7 thermohydraulic model that has been tested against the
8 plant performance and it can reliably predict behavior
9 in this regime, then?

10 Is that what you are -- when you say you
11 will check it and see if it behaves the way you
12 expect, does that mean that you do prior projections
13 of how you think it will behave with a thermohydraulic
14 model?

15 Or how do you judge whether it is behaving
16 the way you expect it to behave?

17 MR. MOLL: Let me answer this. In this
18 testing, this phase 3 testing, and the tuning that RG
19 is talking about, we will collect lots of plant data.
20 The goal of this is to make sure the control system is
21 stable and then basically with damping less than one,
22 as part of the data we collect in that test.

23 We monitor other parameters, other than
24 just the tuning, but water level power, so on and so
25 forth. The model that we would use to know what we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 expect on this testing is going to be the simulator
2 that has been set up to model the plant, which right
3 now is a units 2 and 3 simulator, but the one that is
4 set up for EPU conditions is what -- one of the things
5 we do is we use it, and the operators put it through
6 all its testing as part of their training.

7 And a large part of what we do with the
8 simulator at Browns Ferry is to make sure the
9 simulator, that really is our best model for how the
10 plant would respond. And it would, basically, what we
11 would be using now in a simulator is making sure it
12 responds.

13 Based upon the transients we've seen on
14 unit 2 and 3 we feed that information back into the
15 simulator to make sure it accurately responds, as well
16 as there are criteria out there, by the NRC, for how
17 accurate it has to be to the simulator.

18 MEMBER DENNING: And then how long would
19 you expect to be in this phase 3 period of testing?

20 MR. R.G. JONES: We have a month, right
21 now, set up for this period of time right here. Our
22 total time, from startup, right now from startup until
23 we get through, it is approximately 70 days, total,
24 period of time when you look at the total time we
25 currently have right now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: Maybe just to clarify
2 something. All the testing that you've described, so
3 far, including the tuning testing, is basically steady
4 state testing. You aren't doing big transients,
5 reactor trips, and turbine trips, and things like
6 that.

7 And so the kind of thermohydraulic
8 modeling that you would do, you could do by hand. I
9 mean, it doesn't take some fancy code to do a steady
10 state calculation as to what things would be.

11 And even in the neutronics area, those
12 codes are pretty well developed, and so you can look
13 at what your flux distribution is, compared to the
14 power output, and say, yes, this is pretty good.

15 But as far as the response to a turbine
16 trip, or reactor trip, you know --

17 MEMBER DENNING: You are saying other than
18 the one at 55 percent?

19 CHAIRMAN SIEBER: Yes, it is just not in
20 this test program.

21 MEMBER DENNING: Well, it was at 55
22 percent.

23 CHAIRMAN SIEBER: Yes, but that really
24 doesn't tell me too much. For example, if you are at
25 full power, and you obey your tech specs, so that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 means that you are at no more than 102 percent power,
2 and you have a plant trip, a lot of things happen in
3 the plant.

4 Almost everything changes position, and if
5 you have been in the plant when it tripped, the whole
6 plant moves. The piping moves, the hangers and
7 supports moves --

8 MEMBER DENNING: The lights go out in the
9 plant manager's office, some times.

10 CHAIRMAN SIEBER: But, in any event, that
11 is when you find supports that were inadequate,
12 snubbers that are bent. And if you don't test at one
13 hundred percent power, you will never get that.

14 Now, most plants that go into EPU
15 conditions, the argument is always, it is tough on the
16 plant to have a transient like that, we don't want to
17 do it, we aren't going to learn anything.

18 And what you may learn is that you have a
19 hanger installed backwards, or something like that.

20 MR. LAMB: We are just going to spend a
21 lot of time on slide 33, when we get there.

22 CHAIRMAN SIEBER: Well, I'm already there.

23 (Laughter.)

24 CHAIRMAN SIEBER: But, in any event, that
25 is where the situation that you are in. Now, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 question always becomes a judgement call as to whether
2 you think you built the plant and designed all the
3 piping and supports, and everything, strong enough to
4 be able to take the jolt of a trip from full power.

5 And I'm not sure I know the answer to
6 that. I have also seen hilties pulled out of the wall
7 and snubbers bent, too, and other little things that
8 seem to happen.

9 So go ahead, why don't you move right to
10 slide 33, since we -- 32, all right.

11 MR. R.G. JONES: Thirty-two, real quick
12 then I will let Bill finish up. I could go to, what
13 I would love to do is take you to 34 and let Bill come
14 back and finish up with 33, when we get through that,
15 then I could be out of here.

16 So phase 4 testing is our final, it is
17 from 83 percent power to one hundred percent power,
18 which is 3952 megawatts thermal. And our intention
19 right now is to do at 100 megawatt thermal increments.

20 That will get you somewhere between 2 to
21 2 and a half to 3 percent power increase at a time.
22 Stop every time, and do a management assessment at
23 each plateau.

24 So we will go through, what we are looking
25 at are those things that we have under the last

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 bullet, when you look at those. That is those areas
2 right there we are looking for, and we will be
3 monitoring.

4 This is the same thing we did, whenever we
5 took the plant on units 2 and 3 up from one hundred
6 percent up to 105 percent power. This is the things
7 that we looked at, right here, to make sure that we
8 are okay, and that everything was going.

9 So we are pretty comfortable with where
10 this stands, and how this works. It has worked for us
11 before, and we look and see if there is anything we
12 need to add to this, right here, that we would be
13 missing when we look at it.

14 It is pretty comprehensive on what it
15 looks at. And it says, here is where we are, here is
16 -- and are we where we thought we should be? And if
17 we are not then we stop, back down to the point that
18 we were before, that we were okay at, and then figure
19 out why it changed.

20 MEMBER DENNING: Do you have predefined
21 error bars on this, that if I'm within such an amount
22 then I think I'm okay, or is it more intuitive than
23 that?

24 MR. R.G. JONES: We don't happen to define
25 bars on that, currently.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER DENNING: You don't?

2 MR. R.G. JONES: No.

3 MEMBER DENNING: Is there any reason why
4 you wouldn't put some predefined bars on these things,
5 before you go there? I mean, it would give me more
6 comfort if you did, that it wasn't a more seat-of-the-
7 -pants kind of assessment of, yes, things look about
8 okay.

9 MR. MOLL: Some of the areas we are
10 looking at I agree, we can -- we haven't defined what
11 those bars are, and I think we can define what those
12 bars are.

13 Some of the other testing we will be
14 doing, parameters we are looking at, I'm not sure if
15 we can set a predefined bar. But our intention is,
16 for instance, if we are looking at vibration of large
17 piping we expect to have acceptance criteria at which
18 that vibration has to be below, for us to continue on.

19 Off-site release rates, yes, we can set
20 numbers on those, RAD levels, chemistry samples, yes,
21 we have limits on those. Some of the other areas, just
22 about all of them, dry well atmosphere cooling we know
23 what our limit is on that, it is driven by tech specs.
24 Yes, we can place bars on that.

25 Some of these parameters we may not be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 able to do that. But where we can, and know what they
2 should be, yes we can, and we will.

3 CHAIRMAN SIEBER: How much vibration
4 monitoring do you plan to do during a power ascension?

5 MR. MOLL: Right now we have installed
6 designs out to install large, or vibration monitoring
7 on a large bore piping, primarily main steam recirc
8 inside a dry well and feedwater outside.

9 There is other components, and other
10 points we will be monitoring via vibration, either by
11 an installed detector, some of it may be visual
12 observation.

13 We are still in the process of defining
14 those. Most of those points are going to be driven by
15 the, what I will call, the Owners Group Document, that
16 came out on EPU and extended condition, based upon
17 their recommendations, and also GE did a review for
18 the Browns Ferry units 1, 2, and 3.

19 And identified specific components and
20 other items we need to be monitoring. And they will
21 all basically be in that package, also.

22 CHAIRMAN SIEBER: Okay. It has been my
23 experience that plants sometimes run better at one
24 hundred percent power than they do at 80 or 90,
25 because of vibration, and the fact that they have some

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 valves that are throttled, and so forth.

2 And maybe that is subjective, but it is a
3 good thing for an operator to know where his plant
4 runs the best, so that you can avoid situations where
5 you have turbine resonance, or a valve flutter, or
6 something like that.

7 MR. R.G. JONES: And that is exactly what
8 we look at on our control valve testing, because you
9 have that knee, or curve.

10 CHAIRMAN SIEBER: That is right.

11 MR. R.G. JONES: And if you don't watch out
12 you will get the valve testing done right at that
13 point.

14 CHAIRMAN SIEBER: And it is going like
15 this.

16 MR. R.G. JONES: That is right. And that
17 is what we are looking at. So every time we do a two
18 percent, we are going to do valve testing, and we are
19 going to check the control valves, look at them and
20 see how they do.

21 So we will do at least one valve to see
22 how it does, see how the rest of the system reacts
23 while we are going up in that power.

24 CHAIRMAN SIEBER: I guess my gesture
25 doesn't show up on the transcript very well. But it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was a shaking gesture. We want to do 33.

2 (Laughter.)

3 MR. CROUCH: When we started this morning
4 someone mentioned that they were concerned that we
5 weren't doing any transient testing. As we describe
6 here, as RG goes through the testing, RG and Bob, we
7 will be doing transient testing, we will be putting in
8 step changes to controllers, and stuff like that.

9 So there is some small transients like
10 that put in. The large scale transient testing is
11 discussed here, is what is referred to in the GE's
12 extended licensing topical report, as a large scale
13 transient testing being an MSIV closure at full power,
14 or turbine control valve for a stop valve closure --

15 CHAIRMAN SIEBER: MSIV is even more large
16 than a turbine trip.

17 MR. CROUCH: So I wanted to make sure what
18 we were talking about when we said large scale
19 transient testing. The reason we do not feel that
20 large scale transient testing would be of significant
21 benefit to Browns Ferry is that as we talked about,
22 through the morning, with both Joe's presentation, and
23 RG's, is that all the system functions and actuations
24 will have been designed the same as what they were on
25 units 2 and 3.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And then we will go through and test all
2 the system functions and actuations through the test
3 program. So that if you have a system such as HPCI,
4 that is supposed to operate based upon a low reactor
5 pressure vessel water level, or on a high pressure
6 signal, we will have put in those types of signals,
7 and demonstrated that those systems operate, when the
8 signals are present.

9 So all the system interactions that occur,
10 resulting from these large scale transient testings,
11 the fact that the system gets the proper signal, and
12 does its proper actuation, would have already been
13 tested as part of the preliminary testing that we have
14 already described.

15 We've already got through, for units 2 and
16 3, and installed all these various modifications, like
17 Joe talked about, for visual feedwater controls,
18 digital EHC controls, etcetera, etcetera.

19 And as part of putting those in, they were
20 tested as part of their modification, and then through
21 the course of the last few years, we have had large
22 part transients occur.

23 We have closed turbine stop valves, we
24 have had plant trips. We have demonstrated that the
25 response of the systems to these large transients. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 doing so, in all cases, the system controllers
2 responded as expected, all the proper actuations
3 happened, as expected.

4 When we go over to unit 1, we will have
5 installed the same modifications, done the same, used
6 the same control settings, control programs, those
7 kinds of things. So the operating experience for units
8 2 and 3 will apply over to unit 1.

9 CHAIRMAN SIEBER: I agree with you that
10 all of these functional tests determine whether set
11 points are actuated or not actuated in the large
12 transient test that moves the plant around it is not
13 necessary to shut the pressure switches, and flow
14 switches, and pump start and stop.

15 To me you can demonstrate that in other
16 ways. You have never, at Browns Ferry, run a large
17 transient test, accidentally, or on purpose, above 83
18 percent of the power that you expect to go to here.

19 And if you do a large transient test, like
20 a main steam isolation valve closure, or turbine trip,
21 or something like that, the question is, is the plant
22 physically strong enough to withstand that, without
23 damaging -- some damage to the equipment, or surprises
24 to the operator, or something like that.

25 So sooner or later you are going to do

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 one. If you run at that power level it is going to
2 happen.

3 MR. BARTON: It is better to do it early
4 so everybody knows what is going to happen. The
5 operators will feel better about it, too. And by the
6 time you get through with this test program you are
7 going to have a bunch of deficiencies, anyhow.

8 You may even have to shut down and go fix
9 them, so why not SCRAM for one hundred percent, or
10 turbine trip, go fix them, restart, go online, and
11 everybody is happy.

12 CHAIRMAN SIEBER: So that is sort of the
13 argument to have large transient tests. But it is not
14 to show that this pump starts, or that pump doesn't
15 start, or these valves change position. You can do
16 that one hundred different ways.

17 MR. LEITCH: One of the things that I
18 think is interesting is the closure of the MSIVs.
19 There is a prescribed number in the tech specs that
20 says the closing time for the MSIVs, it can't be too
21 fast, it can't be too slow.

22 MR. CROUCH: That is right, 3 and 5
23 seconds.

24 MR. LEITCH: So how do we know that at the
25 new one hundred percent power, that these MSIVs are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to close within that prescribed time?

2 MR. CROUCH: They do stroke testing on
3 those.

4 CHAIRMAN SIEBER: Yes, they are
5 constrained.

6 MR. LEITCH: But, I mean, with this new
7 higher flow going through them I expect that will
8 impact the stroke time in any way?

9 MR. MOLL: I don't know, to the best of my
10 recollection the higher flow is not going to affect
11 the stroke time, and the timing and set up we will do
12 on these valves is typical of what we do now for the
13 units.

14 We don't stroke those valves at one
15 hundred percent power now, and we have guidance, in
16 the procedure, on how to set them up and time them to
17 ensure that 3 to 5 seconds is met, at hot standby, and
18 it would still be met at the full flow conditions.

19 MR. CROUCH: These valves have enough
20 adjustability on them you could adjust them to be less
21 than three seconds, you could adjust them to be more
22 than five.

23 CHAIRMAN SIEBER: Right.

24 MR. CROUCH: Three to five is well within
25 their capability of control.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: Right.

2 MR. LEITCH: I'm just not sure that we
3 know that for sure with the higher flow rate going
4 through the valves.

5 CHAIRMAN SIEBER: I think Graham is right.
6 The flow rate will determine, to some extent, how fast
7 the valve closes.

8 MR. CROUCH: And realize on this that when
9 Browns Ferry goes to EPU conditions, our steam flow
10 rate, not in terms of mass flow rate, but in terms of
11 velocity, will still be significantly below what other
12 plants are running.

13 Our steam lines are so large that we won't
14 have the velocities as high as what other plants have.
15 So we are still well within the industry-wide
16 experience on what these valves are capable of doing.

17 CHAIRMAN SIEBER: Yes, but it is the mass
18 flow rate that makes the difference, right? I have to
19 think about that a little bit, then after I think
20 about it then --

21 MEMBER BONACA: The issue will come up
22 when we review the power uprate.

23 CHAIRMAN SIEBER: Yes, maybe we shouldn't
24 be worried about it right now. Okay, why don't we
25 move to slide 34?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. R.G. JONES: Just before we leave that
2 point --

3 CHAIRMAN SIEBER: No, we decided it is an
4 EPU issue, it is not a restart -- well, right now we
5 are doing license renewal.

6 MR. LEITCH: I thought we were doing a mix
7 of the two today.

8 MR. CROUCH: The only reason this slide
9 was in here because we recognized that you guys were
10 interested in talking about it. It is really like
11 what you are saying. This is really an EPU question.

12 MR. LEITCH: I agree. But as far as EPU
13 I guess I would like to know how we can justify saying
14 that the MSIVs close within the tech spec prescribed
15 time, three to five seconds, without dynamically
16 testing those valves.

17 CHAIRMAN SIEBER: Well, part of that
18 depends on the valve.

19 MR. LEITCH: Maybe it can't be justified,
20 maybe there is experience that says that that is okay.
21 I just don't know, frankly.

22 MR. CROUCH: We will take that as an issue
23 and get back with you. Shall we move on to page 34,
24 then?

25 CHAIRMAN SIEBER: Yes, I think so. In

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fact we covered this in August, to some extent. So
2 you can be very brief.

3 MR. R.G. JONES: Very brief? I can do
4 that. Three unit staffing, one of the numbers that we
5 are going to increase the plant staffing, currently
6 right now, is 126 people, total.

7 Out of the 126 people, 51 of them are in
8 the operations organization. And that handles the
9 SROs, the reactor operators, and the assistant unit
10 operators. There will be additional individuals that
11 have to be assigned to unit 1.

12 CHAIRMAN SIEBER: Okay.

13 MR. R.G. JONES: We will add five each in
14 training, chemistry, and outages, and three system
15 engineers to the organization. That will increase,
16 out of the 51, that we currently have, there would be
17 21 senior reactor operator licenses, and 10 reactor
18 operator licenses.

19 This is the same license. The way our
20 current rotation, now, we currently have a licensed
21 individual on unit 1. Our current rotation, now, for
22 licensing is that we will work an individual on, they
23 work a six group, they work a six week rotation,
24 before they go through a training cycle, and back on.

25 So they will work through six weeks, work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the same unit. And when they go to training, if
2 there is any changes in the core mix, in the training,
3 then they do the changes then, so the guys will work
4 together, a little bit, in training.

5 Then when they come back they rotate to
6 the next unit, and they will stay on the next unit for
7 six weeks. So when unit 1 falls in, they will do the
8 same thing on unit 1, they will work six weeks on unit
9 1, six weeks on unit 2, six weeks on unit 3, and they
10 will go right down the line in that organization.

11 MR. BARTON: Is it 8 hour shifts, or are
12 you on 12s, or --

13 MR. R.G. JONES: It is 12 hour shifts. The
14 only thing that we will change, any way at all, in
15 that organization in that mix, is whenever we get
16 within about the last six months of testing, we have
17 a lot of testing going on, on unit 1, we will freeze,
18 at least one of the operators, not all of them, but
19 one of them, in that group, and rotate the other guys
20 through, so you will have some consistency in what the
21 guys do.

22 We do that with the SROs also. And we have
23 done it before, and that worked very well for us, in
24 going through that. The simulator, I think we showed
25 you the two simulators.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The new one, it will look like unit 3, and
2 it will match the units 2 and 3 configuration, and we
3 will take the old one, prior to unit 1 startup, and we
4 will be able to take the individuals and go through
5 it, and we will uprate it, so it will look like the
6 uprated plant, and they will be able to look at those,
7 also.

8 CHAIRMAN SIEBER: Okay.

9 MR. R.G. JONES: I think another question
10 you had was on the EPGs. Our emergency procedures
11 are, when we startup unit 1, we will be under REV 2.
12 And we use an EPG SAG REV-2, is what we will be under
13 on that.

14 Each one of those are plant specific, or
15 unit specific, when you look at our EPGs right now.
16 So unit 2's is a little different than what unit 3's
17 is, and it is really based upon, again we talked
18 earlier about the RHR, and the unit 2's ability to
19 cross-tie, back and forth.

20 That makes some of the set points a little
21 different, because you have a little bit more
22 flexibility in those that you wouldn't have if you are
23 on unit 1 or unit 3, on the outside unit. So unit 3
24 is going to look a lot like what unit 1 does.

25 But as far as the format, and everything,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it will be the same. So when an operator is looking
2 at it, and he has the EOIs laid out in front of him,
3 going down through them, the only thing that will
4 trigger him to do a response, is where the set point
5 is, and it could be different on unit 1 than it is on
6 unit 2, and unit 3, based on where we are.

7 But they don't go to that, they go through
8 the procedure part of it, so they follow that right
9 down through it.

10 MEMBER BONACA: You were saying something
11 before, you are going to mix the crews? I mean, that
12 is what I thought.

13 CHAIRMAN SIEBER: Rotate them.

14 MR. R.G. JONES: And let me tell you one
15 thing, we have a large training class, we have large
16 training classes currently in progress, right now, in
17 order to meet the numbers that we are going to need to
18 go to this right here.

19 We've got the SRO candidates in process
20 now. We have a lot of assistant unit operators. And
21 we are bringing them back, we do not put all the new
22 guys together on one crew. They are separated
23 throughout the crew.

24 So that you have experienced people with
25 the new guys at the same time. And we make sure, when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that goes through, that that happens, also.

2 CHAIRMAN SIEBER: Is that it?

3 MR. R.G. JONES: That is it.

4 CHAIRMAN SIEBER: Okay.

5 MR. CROUCH: So RG has gone through and
6 talked to us about the thought process, how he is
7 going to make sure everything gets done, before we
8 turn it over to the plant.

9 As we go through the testing, these
10 functional tests, like he talked about, and make sure
11 that the systems really will pump water around, that
12 they will do every filtering, processing, whatever
13 they are supposed to do.

14 Then we have the restart test program, to
15 make sure that the safety related functions will
16 function as designed, and as required by our licensing
17 basis.

18 We will be testing all the way from open
19 vessel, zero percent, all the way up to one hundred
20 percent power. And we are prepared to operate three
21 units, as he talked about. We are adding staffing as
22 required, we are adding simulators as required, we are
23 doing the training as required.

24 So we, as a site, will be ready to operate
25 all three units concurrently.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: So not only is it
2 required to filter water, but it is supposed to get
3 hot too, right?

4 MR. CROUCH: Why don't we take a break for
5 a few moments?

6 CHAIRMAN SIEBER: Okay, I think that will
7 be good.

8 MR. BARTON: Those guys run a meeting
9 pretty good.

10 CHAIRMAN SIEBER: Yes, they do. See what
11 happens when you -- Why don't we come back at 3
12 o'clock?

13 (Whereupon, the above-entitled matter
14 went off the record at 2:45 p.m. and
15 went back on the record at 3:00 p.m.)

16 CHAIRMAN SIEBER: It is about time for us
17 to resume.

18 MR. CROUCH: The next section we are going
19 to talk about is the actual license renewal
20 application. We are going to have Rich DeLong, who is
21 our Browns Ferry site engineering manager, talk about
22 that to us.

23 During this he is going to talk about the
24 actual license renewal application that was made at
25 the current licensed thermal power, as we've talked

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about, it is a progression type series.

2 So what he is going to talk about is at
3 the current licensed thermal power. He is going to
4 talk about the application, the aging management
5 programs that go along with it. Due to the fact that
6 unit 1 is being restarted, and brought up to the same
7 licensing basis as units 2 and 3, there are some unit
8 1 specifics that he is going to talk about there, in
9 terms of the effect of monitoring that we are doing,
10 among other things, to bring the units together.

11 And then, finally, the issue that exists
12 of why is it appropriate to apply for a license
13 renewal for a unit that only operated for ten years.
14 So with that I will turn it over to Rich.

15 MR. DELONG: Good afternoon. The license
16 renewal application for units 1, 2, and 3, was
17 submitted in December 31st, 2003.

18 The license renewal application for Browns
19 Ferry is done, assuming current licensed thermal
20 power. It is consistent with the generic aging
21 lessons learned, or what is known as GALL.

22 And, also, our license renewal application
23 results in the existence of 39 aging management
24 programs.

25 MR. CROUCH: Let me interject one thing,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and correct one thing that I got told earlier. You
2 asked, earlier, were we using GALL REV-0, REV-1, or
3 whatever. And I told you REV-1.

4 CHAIRMAN SIEBER: Right.

5 MR. CROUCH: We have now confirmed that it
6 is REV-0, and Ken will speak to this.

7 MR. BRUNE: Yes, it is REV-0, what was
8 issued around 2001. We misspoke earlier.

9 MEMBER BONACA: Although you have
10 addressed the ISGs?

11 MR. BRUNE: Yes, we have addressed the
12 ISGs, that should be in the SER, also.

13 MEMBER BONACA: In the application, yes.

14 MR. BRUNE: In the application.

15 MR. LEITCH: Just one question I had,
16 Rich, about this 1, 2, and 3. I thought I heard,
17 earlier, that 2 and 3 were first considered, and then
18 1 was added later. But that was all done prior to the
19 submittal, is that correct?

20 MR. BRUNE: Let me speak to that a little
21 bit.

22 MR. LEITCH: Sure.

23 MR. BRUNE: Yes, units, we initially
24 started the license renewal applications for units 2
25 and 3 only, and then unit 1 was, as we decided to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 restart the plant, it was added on to the license
2 renewal application, and then in development of the
3 application we looked at it, at all times, with
4 respect to a three unit application, after, you know,
5 once they put unit 1 in.

6 We tried to get all the material and
7 environments, and everything, as unit 1 would be at
8 its final configuration.

9 MR. LEITCH: But my question, basically,
10 is was it submitted to the NRC as just units 2 and 3?

11 MR. BRUNE: No, it was submitted as a
12 three unit application.

13 MR. LEITCH: Okay. So the earlier
14 thinking was all prior to the submittal?

15 MR. BRUNE: Yes, it was.

16 MR. LEITCH: Okay, thank you.

17 MR. DELONG: Going on to slide 36, again
18 the application was submitted in December of 2003. We
19 received a total of 230 requests for additional
20 information, of which 30 were unit 1 specific.

21 The draft SER, with open items, was issued
22 on August 9th of this year. And the two open items
23 are related to, firstly, the dry well shell corrosion.
24 And we are in the process of evaluating what will be
25 required to do additional inspections on the dry well

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 shell.

2 The second is stress relaxation of core
3 plate hold-down bolting. We submitted a response to
4 that open item, and there are some additional
5 questions that the Staff has, and we are preparing our
6 responses to those additional questions.

7 Slide 37

8 MR. BARTON: Dry well corrosion question,
9 the light bulb portion or what? Because you inspected
10 above the floor, at the floor interface level? What
11 is going on in the sand bed area?

12 MR. DELONG: It is also, I guess, in our
13 case we do not have an issue with, for instance, felt
14 liners, or felt overlays, or those kinds of things
15 that some utilities have had difficulty with.

16 But we do have the, I guess, a similar
17 design in terms of sand bed. As I mentioned before,
18 on slide 37, we have 39 aging management programs, a
19 total of 38 are common to all three units, and one of
20 which is a unit 1 specific program, we have alluded to
21 it and mentioned it a few times today, we will talk
22 more about it here in a few slides.

23 Twelve of our existing aging management
24 programs require no enhancements, since in their
25 existing state they were consistent with GALL. Ten of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 our existing aging management programs required
2 enhancement for all units in order to make them comply
3 with GALL.

4 Eleven of our existing aging management
5 programs were revised to include unit 1. They were
6 already consistent with the generic aging lessons
7 learned, but because of when those requirements came
8 about, in the course of time, unit 1 was shut down
9 during that period, and had not been included in those
10 programs, and needed to be added.

11 And there are six new aging management
12 programs. On slide 38 is a listing of those programs
13 that require no enhancement. Slide 39 is a listing of
14 programs that required enhancement to comply with
15 GALL.

16 MR. BRUNE: Rich, let me -- just going
17 over this list again, I think we may have one
18 correction on it. The vessel internals program --

19 MR. BARTON: Which page are you on?

20 MR. BRUNE: On page 39. You might want to
21 look at the vessel internals program. The only
22 enhancements that we put on that was for unit 1. So
23 I think we may need to move to the next slide.

24 MR. DELONG: On the GALL compliance list?
25 I see what you are saying.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: This is the enhancement to
2 bring it in line with the --

3 MR. DELONG: We already complied. What he
4 is saying is that that one actually belongs on the
5 next slide, which is adding unit 1 to our existing
6 vessel internals program, which is fully compliant.

7 CHAIRMAN SIEBER: What did you do to the
8 masonry wall program? You know, that has been an
9 issue that has been around for a long time.

10 MR. BRUNE: Let me address that. The
11 biggest part is we made sure we updated our procedures
12 to include everything. Give me a second and I will
13 tell you.

14 CHAIRMAN SIEBER: Okay.

15 (Pause.)

16 MR. BRUNE: The enhancement is -- we are
17 going to be enhancing procedures for the maintenance
18 rule to identify all structures and components that
19 are in scope for license renewal. It is not that we
20 are really -- we are just going to make sure all the
21 procedures cover everything properly.

22 CHAIRMAN SIEBER: That doesn't sound like
23 it is related to masonry walls.

24 MR. BRUNE: I'm sorry, let me read again.
25 Essentially procedures will be revised so that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 structures with masonry walls, within a scope of
2 license renewal, are clearly identified in the
3 qualification requirements for personnel who perform
4 masonry wall walkdowns, within the scope of license
5 renewal, is clarified.

6 So it is personnel requirements, and to
7 make sure that all of the procedures are in place.

8 MR. CROUCH: So it doesn't sound like
9 there are any real technical changes. What we were
10 doing to masonry wall was simply a matter of making
11 sure that all the masonry walls were included, and
12 that all the requirements for people performing those
13 inspections are clearly delineated.

14 CHAIRMAN SIEBER: And to me that
15 represents no change, because you are already supposed
16 to do that. That goes way back to the 1980s.

17 MR. BRUNE: This goes back to, probably,
18 we may have been better off not having it as an
19 enhancement, but that is the way the application was
20 submitted.

21 CHAIRMAN SIEBER: Okay, thanks.

22 MR. DELONG: On slide 40, these are the
23 existing aging management programs that require
24 revision to incorporate unit 1 in their scope, where
25 it was not previously recorded, or required.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: Okay.

2 MR. DELONG: On slide 41, these are the
3 new aging management programs created for all three
4 units. And the bottom there, of the unit 1 only
5 program will have a follow-on slide, to talk more
6 specifically about the periodic inspection program for
7 unit 1.

8 MEMBER BONACA: Just one comment we made
9 this morning. We got into the one time inspection
10 program, at least in the SER, but also I believe in
11 the application there is a mention of a one time
12 inspection prior to startup.

13 And to the degree to which we
14 differentiate it is good to maintain of one inspection
15 only associated with license renewal. Because it
16 confuses.

17 MR. DELONG: Yes, there is the one time
18 inspections that are, that is the program that all
19 applicants for license renewal are dealing with.

20 MEMBER BONACA: That is the one in GALL,
21 that is right.

22 MR. DELONG: Then there is the unit 1
23 periodic inspection program that includes a baseline
24 inspection prior to startup. You are saying there are
25 some issues where --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: No, there are some
2 locations, specially in the SER, where the actual
3 inspections prior to startup are called one time
4 inspections. And that is confusing.

5 Because if it is interrelated to license
6 renewal, it should be separated. It simply is good to
7 keep them separate, otherwise there is the confusion
8 of what the purpose of the inspection is.

9 For example, you may have an inspection
10 that you do on a piece of piping to determine that
11 your lay-up was acceptable. And, you know, if you do
12 it just for the purpose, and not for license renewal,
13 you should not call it a one time inspection, because
14 this is just a question of nomenclature for the
15 purpose of clarity in the SER.

16 MR. KUO: Dr. Bonaca, I think we
17 understand your comment, we are going to go back to
18 the SER to look for --

19 MEMBER BONACA: Yes, I made it generally
20 now, because I know that you understood that, and I
21 want to make sure -- I think the application also had
22 some use of words like that.

23 MR. KUO: We will clarify it.

24 MEMBER BONACA: Okay.

25 MR. DELONG: That was something that we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 recognized, that we confused the terms occasionally.
2 We used one, should we use the other one?

3 MEMBER BONACA: Yes, and what happened is
4 that when I read one time inspection for startup
5 verification, I'm thinking, wait a minute, are they
6 doing the license renewal inspection now, so what are
7 they doing later? So that was the confusion.

8 MR. DELONG: With respect to the unit 1
9 periodic inspection program, which is the program we
10 said that is unique, and for unit 1 only, this program
11 is directed at making sure, as we proceed, or approach
12 the renewal period, and then proceed into the renewal
13 period, that we have a way of understanding, or in
14 fact refuting, whether there is any effect on that
15 unit regarding our 20 year ideal period, which would
16 otherwise be understood and detected through the other
17 aging management programs.

18 MEMBER BONACA: So you are looking at
19 aging degradation rate, you want to measure that?

20 MR. DELONG: That is right.

21 MEMBER BONACA: I mean, you want to know
22 if there is a rate of degradation that is beyond what
23 you expected?

24 MR. DELONG: That is, somehow, related to
25 this extended idle period for the systems that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER BONACA: Now, the bullet there says
2 that will be performed prior to plant would be
3 started, prior to the period.

4 MR. DELONG: Yes, there are really a
5 couple of phases here. One is, of course, a set of
6 baseline inspections which is occurring as we go
7 through this recovery period for the unit.

8 Those will be followed by a first
9 inspection. The first inspection is done prior to
10 startup, or really, prior to the renewal period.
11 Prior to the period of extended operation.

12 MEMBER BONACA: Okay, so --

13 MR. DELONG: Not necessarily prior to
14 startup, but prior to the period of extended
15 operation. And then that sets the stage for
16 determining what the frequency of those inspections
17 ought to be, as we proceed into the renewal period.

18 MEMBER BONACA: So I would expect to see
19 at least one verification during the renewal period?
20 If you do the base lining, say two years before you
21 get into renewal, okay, then you would want to verify
22 the rate of degradation, if there is any, and so you,
23 say, we will do another inspection in ten years, or
24 five years, whatever you decide to propose.

25 After that then you make a determination.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 If there is no degradation taking place, you have two
2 points. You can make a case for not performing
3 additional inspection, but you have done one during
4 the period of extended operation.

5 If you have degradation occurring then you
6 would make it more, I mean, that is the way I view a
7 periodic inspection.

8 MR. DELONG: I think that is correct.
9 Enough data must be compiled, depending on what type
10 of inspection program, to make a judgement about,
11 number one, is degradation occurring, how fast is it
12 occurring, and on what frequency do I need to make
13 follow-on inspections.

14 It is conceivable that we may have cases
15 where we don't see any degradation, and make choices
16 to suspend inspections in some areas.

17 MEMBER BONACA: That is the periodic
18 inspection only?

19 MR. DELONG: No, you can't create a line
20 with one dot.

21 MEMBER BONACA: Well, the point I'm trying
22 to make, however, we have discussed this for other
23 applications, the importance of having the baseline
24 happening close enough to operation, two years before,
25 three years before, not immediately at startup.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Because otherwise you are not measuring
2 the effect of operation at full power, you are
3 measuring the effectiveness of the lay-up.

4 MR. BRUNE: Let me address it a little
5 bit. The inspections we are going to do at startup,
6 I guess we are now referring as restart inspections.
7 And those will be, I guess, you will call them
8 baselines. But where we will start from our initial
9 set of data.

10 And then we will do one more set, as you
11 pointed out. Rich said prior to the period of
12 extended operation we will do another set of
13 inspections. And then I guess, you know, we are
14 looking at doing another set after we get into the
15 extended period of operation to determine what
16 frequency, to asses where we are at.

17 MEMBER BONACA: Well, that is fine, in
18 fact.

19 MR. BRUNE: And that is going to be, some
20 of the details we will be working out with the Staff
21 on better defining what one time inspections are, what
22 restart inspections are, and what periodic inspection
23 is.

24 MEMBER BONACA: That was a good
25 clarification. Because, I mean, when I read the SER

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there is a good discussion there, that I understand
2 that you have been reviewing with the Staff, where the
3 distinction is made between an inspection that you do
4 at startup that, really, asses impact of the lay-up,
5 if you have any concerns with that, versus the ones
6 you make to monitor the rate of degradation, due to
7 aging at full power.

8 So you want to have, at least, a couple
9 four years between restart and the time you make that
10 inspection, there, to give it time to see what the
11 effects of operation at full power will be.

12 I think we have an understanding of --

13 CHAIRMAN SIEBER: Okay.

14 MR. DELONG: On slide 42, which is really
15 a lot of what we just talked about, and --

16 MEMBER BONACA: -- would be initiated
17 prior to operation?

18 MR. DELONG: Right. I'm sorry, I missed
19 the question.

20 MEMBER BONACA: On the third bullet it
21 says, the periodic inspections will be performed prior
22 to the period of extended operation.

23 MR. DELONG: You are talking about the
24 first set.

25 MEMBER BONACA: Will be started.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: Initiated.

2 MR. DELONG: Initiated, yes. It would
3 have been a better thing to say the first set, or
4 would be initiated, yes.

5 Slide 43, Appendix F, in the application,
6 is related to the unit 1 differences. This is back to
7 the issue related to the fact that at the time of
8 application the licensing basis for unit 1 was
9 physically different than the licensing basis for
10 units 2 and 3.

11 This appendix, it delineates what those
12 differences are in licensing basis. Again, our intent
13 to start these units up, and run these units
14 operationally identical. That doesn't mean they are
15 physically identical, but they are operationally
16 identical.

17 To meet this principle unit 1 current
18 licensing basis at restart has to be the same as it is
19 for the current licensing basis for units 2 and 3.
20 And these differences that we have currently, and that
21 we had at the time of application, will be eliminated
22 prior to unit 1 restart, through some of the tech spec
23 changes we have already, and licensing actions that we
24 have already discussed, and modifications must
25 accompany those, that are modification related.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. CROUCH: And recognize, too, that when
2 we say that the unit 1 licensing basis will be same as
3 for units 2 and 3, like we talked about earlier, unit
4 2 is moving towards EPU at virtually the same time as
5 unit 1.

6 The unit 2 EPU outage will occur just
7 shortly after unit 1 restart. So at unit 1 restart we
8 will be slightly ahead by a period of just weeks, or
9 so. But at the end of that short period we will have
10 the same licensing basis as unit 2, and then unit 3
11 for the next outage, when it occurs.

12 We are considering that to be the same,
13 since we are all moving at the same spot, as we talked
14 about, with the outage modification sequence.

15 MR. KUO: Excuse me, if I may ask a
16 question? The current licensing basis that you are
17 talking about, right now, is that at the power level
18 one hundred percent, or one hundred and twenty
19 percent?

20 Are we mixing the uprate with license
21 renewal now?

22 MR. CROUCH: The license renewal
23 application addresses the current license power for
24 unit 1, which is the 3291 megawatts. Obviously when
25 we restart we will be at the 3952 megawatts.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And when we get to restart we will
2 actually be at the same 3952 megawatts that unit 2
3 will be at, just weeks later.

4 MR. DELONG: However, appendix F is
5 intended to show the differences at the time of
6 application and not related to differences that will
7 occur later in time, when we are working through
8 extended power uprate implementation.

9 MR. CROUCH: Said another way, if we had
10 restarted unit 1 at the very same power level as what
11 units 2 and 3 are at right now, the items that are in
12 appendix F would have had to have been resolved to
13 make the licensing basis the same.

14 These do not have anything to do with the
15 changes due to EPU.

16 MR. DELONG: Slide 44, I think that is
17 what we are on, shows what those differences are, that
18 are reflected in appendix F of the application.

19 MR. CROUCH: Primarily these are for
20 modifications. There are a couple of program type
21 things in there, like we have to implement maintenance
22 rule for unit 1, but the rest of the stuff up there is
23 BWRVIP.

24 But the rest of this is, primarily, just
25 modifications that have to be made to make the plants

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 operationally the same. They are all within our
2 scope, they were within our scope even before license
3 renewal was started.

4 And with that I will turn it over to Joe
5 McCarthy, to talk a little bit about operating
6 expense.

7 MR. MCCARTHY: You've asked us to address
8 the Statements of Consideration and the license
9 renewal rule and operating experience.

10 In the Rule it says that an Applicant
11 can't submit a request for license renewal until
12 earlier than 20 years before the expiration of the
13 current operating license.

14 Unit 1's operating license expires in 2013
15 and, therefore, we met the specific requirements of
16 the Rule. From the Statement of Consideration, the
17 basis for the 20 years, was to ensure a substantial
18 amount of operating experience had been accumulated
19 before the application was submitted, such that
20 specific concerns regarding aging would be disclosed.

21 However, we need to note that operating
22 experience is not limited to what the license renewal
23 applicant has, it is based on the industry experience.
24 And that was also discussed in the Statement of
25 Consideration.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 From the 1991 to the 1995, and to today,
2 there has been a significant amount of regulatory
3 history that demonstrates that 20 years of plant
4 specific operating experience has not been required by
5 the NRC.

6 Page 46 --

7 MEMBER BONACA: Wait, wait a minute. I
8 know that it is getting late, but first of all,
9 clearly the 20 years is something we do not have any
10 particular hangup on. I mean, we have already a
11 couple of cases where there were 19 years of operation
12 and we have accepted it, that is not the issue.

13 Your definition of operating experience,
14 however, has been only generic experience. I don't
15 think that is the way that we have interpreted that.
16 I mean, clearly the Statement of Consideration speaks
17 of 20 years experience, or thereabouts, because at
18 times units operate differently, historically, in part
19 because of different environmental conditions, from
20 unit 1, 2, or 3.

21 Or because of different materials in
22 certain systems, between the three units. Or because
23 maybe lay-up conditions, or whatever. Putting aside
24 those other things, the outcome would be different.

25 In fact we have had with you a lot of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 discussion on the issue of lay-up, and how you
2 compensate for that, and the replacement pipes, and
3 all those kinds of things have to do with compensating
4 for the fact that you do not have operating experience
5 specific to unit 1.

6 You don't have the same argumentation
7 about lay-up conditions for unit 3. Why? Because you
8 have enough operating experience to say that is behind
9 us, we don't have to think about lay-up.

10 So it seems to me that, you know, that is
11 not as clear-cut as you presented it.

12 MR. DELONG: I wasn't trying to present it
13 as clear-cut. What I was trying to do is define what
14 has happened in the Statement of Consideration, the
15 five exemptions that the NRC has requested, and
16 approved, and then go from there and try and discuss
17 Browns Ferry, specifically, on the next slide.

18 MEMBER BONACA: Okay.

19 MR. DELONG: There has been five scheduled
20 exemptions allowed by the NRC to date. Specifically
21 Catawba, St. Lucy, Beaver Valley, Nine Mile, and
22 Millstone III.

23 For Nine Mile 1 and 2, for example, the
24 exemption was allowed based on common operation and
25 maintenance, use of industry operating experience, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the environment, even though they are two different
2 BWR designs, a BWR2 and a BWR4 at Nine Mile.

3 During the public comment period the NRC
4 specifically asked for comment on 20 years. DOE noted
5 that in general aging effects are apparent after only
6 a few years of operation and they further said that
7 they didn't foresee any environmental or safety
8 effects that would be allowed by renewing a license
9 less than 20 years.

10 MEMBER BONACA: But in fact in a few had
11 come with a license renewal application say, three or
12 four years after restart. I don't think we would
13 raise this issue.

14 MR. DELONG: Three or four years after
15 restart we would be outside the window to apply. The
16 statements require --

17 MEMBER BONACA: No, but I'm only saying --

18 MR. DELONG: -- less than 20, or less than
19 5.

20 MEMBER BONACA: I understand. I'm only
21 saying on an issue of performance, okay? I don't
22 think you need 20 years. I agree with DOE's
23 perspective, that you do not need that long,
24 particularly because you have the other units, too,
25 that give you information.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So it would have been a different story.
2 Right now this plant is not even complete yet, that is
3 why the issue came up. But, anyway --

4 MR. DELONG: Well, I think also two
5 considerations need to be aired here. I think the
6 first one is related to the existing systems that are
7 not replaced, and the ability for us to use unit 2,
8 particularly unit 2 experience in aging, since it has
9 run longest, to understand how the systems in unit 1,
10 that have not yet been, or are not replaced, and will
11 not be replaced, will perform.

12 And I think there is a strong correlation
13 between our experience in unit 2 and, certainly, in
14 unit 3 for those systems that experienced a ten year
15 lay-up.

16 The combination of that experience gives
17 us reasonable assurance that we will understand how
18 unit 1 will age for those systems, and how well they
19 will do over time as we proceed through the renewal
20 period.

21 Now, let's talk, for a minute, about the
22 replaced systems, for a moment. These are new piping
23 systems, new components, etcetera. I see those
24 aligned, those align very well with our ability to run
25 an originally licensed plant, if you will, a newly

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed plant.

2 And we will have experience with those
3 systems operationally that we will deal with. You
4 know, we talked about that. At Browns Ferry there
5 will be times, there will be things that we experience
6 with new components.

7 But from a piping system point of view, of
8 materials point of view, those kinds of things, I see
9 it no differently than, if you will, licensing a new
10 plant, in those cases.

11 MR. CROUCH: When we did those
12 replacements we used the same materials as what was in
13 units 2 and 3. So that the experience that we have
14 had in units 2 and 3 will, should be directly
15 applicable, material-wise, over into unit 1.

16 MEMBER BONACA: Well, I have no problems
17 with the new systems. You know, you have -- I raised
18 this issue this morning because in the application, in
19 the SER, there is nowhere that is being addressed this
20 issue, okay?

21 MR. DELONG: I understand.

22 MEMBER BONACA: And yet through all the
23 SER there are many considerations of all these issues
24 here. For example, we are going to do this, we are
25 going to inspect the systems, which really are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 complimenting what we don't know about this plant from
2 operating experience.

3 For example, the periodic testing is done,
4 exactly, because we don't know exactly what is going
5 to happen because of the lay-up. So we have periodic
6 inspection that would allow to gather information and
7 complement, or supplement what you get from operating
8 experience.

9 So the point I made is somewhere there has
10 to be an explanation of why the position taken is
11 acceptable. And I think it is a question of
12 documentation, probably, it is a question of pulling
13 it together.

14 You have a number of arguments here, we
15 discussed this morning. And I think it is important,
16 from a perspective of public acceptance, you know,
17 there has to be a document that is scrutable.

18 MR. DELONG: I appreciate that.

19 MR. CROUCH: And we will work with the
20 Staff to get that information into the SER.

21 MEMBER BONACA: And a number of these
22 issues, absolutely, I recognized them this morning as
23 being important and useful.

24 MR. DELONG: I think the final slide
25 summarizes some of your issues. The unit 3 was shut

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 down for ten years. We had extensive lay-up
2 experience which we believe is directly applicable to
3 unit 1.

4 We have no, when we started up unit 3 in
5 1995, and to date we have no post lay-up aging effects
6 from that ten year period. We also used some of the
7 lay-up experience, directly, to determine replacements
8 that we should do on unit 1 that made prudent sense.

9 And we found, indeed, the degradation was
10 there, and that was like the RHR service water pumps,
11 RHR service water piping in the reactor building, that
12 we mentioned, and some additional small bore piping.

13 And then there is the consideration that
14 our unit 1 design, or configuration, or operating
15 procedures, the technical specifications, and the one
16 FSAR are all applicable to all units.

17 Appendix F ensures that the licensing
18 basis will be the same for all units at restart. And
19 we also have the periodic inspection program that we
20 discussed at some length, where we get our baseline as
21 a subset of restart, and prior to the period of
22 extended operation we would do our first series of
23 inspections, and determine when the next one should be
24 done.

25 Do you have any questions on this section?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 (No response.)

2 MR. DELONG: So here we talk about the
3 fact that our license renewal application was
4 prepared, submitted, consistent with the GALL, the
5 aging management programs, and has been prepared
6 consistent with the GALL, with the exemptions as we
7 noted, there are a few places where we are actually
8 using later documents than what the GALL suggests.

9 Those aging management programs have been
10 prepared, they are all existing documents now. As a
11 matter of fact, during this week, the region 2 is at
12 our site doing an oversight inspection of those aging
13 management programs.

14 The unit 1 uniqueness aspects have been
15 addressed through both the fact that we have this
16 license renewal application, that calls it out
17 specifically. We have our unit 1 inspections that
18 will be going on, that will be specific because of the
19 fact that unit 1 has been shut down.

20 And we are addressing the differences
21 between units as part of our recovery process. We
22 talked about we think the operating experience we have
23 from units 2 and 3, both true operations, as well as
24 shutdown followed by operation, is directly applicable
25 to unit 1.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we will work with the Staff to make
2 sure that that is properly documented in the SER. So
3 overall, with the program documented the way it is,
4 and with all the work that we are doing on unit 1, the
5 condition of unit 1, and the condition of units 2 and
6 3, the license renewal program meets the requirements
7 of 54.17.

8 So we think it is a sound program. Any
9 further questions on the license renewal application,
10 per se?

11 MEMBER BONACA: As I said, I think that
12 some of these elements can be pooled together, as it
13 is done in this slide, that we haven't seen before.

14 CHAIRMAN SIEBER: Okay, move on to the --

15 MR. CROUCH: The last part of our
16 presentation, today, as we've talked about the meeting
17 here, the reason we are meeting here is to actually
18 talk about license renewal.

19 But when this subject comes up, the issue
20 of extended power uprate has a way of figuring into
21 this because, obviously, EPU does have some effect on
22 the ability of the systems, the aging of the systems.

23 And so what we want to do today is to talk
24 about what that impact is on license renewal, but
25 recognize the fact that when we discuss license

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 renewal, and ACRS hopefully puts together their
2 recommendation, or their approval for license renewal,
3 you are really only approving license renewal at that
4 time.

5 The official approval of EPU, and its
6 direct effects on license renewal, actually occurs as
7 part of the EPU application, which will be early next
8 year.

9 So we want to make sure, we touched it
10 now, since you were comfortable with it, and you
11 understood how we see the impact of EPU on license
12 renewal.

13 CHAIRMAN SIEBER: Let me address that. I
14 think you can rest assured that we will address
15 license renewal and we will hold in abeyance EPU
16 questions until it is time to address those.

17 MR. COUCH: Right.

18 CHAIRMAN SIEBER: Okay.

19 MR. COUCH: That is my understanding.

20 MEMBER BONACA: I think that the
21 importance of looking at EPU, in the context of
22 license renewal, has to do with operating experience.
23 You can't ask the ACRS, you know, we have a task, and
24 a mission, which is a little different than the one on
25 the NRC.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We are an independent committee, and we
2 follow the rules, but we raise questions. And the day
3 in which you will march into license renewal for this
4 plant, this plant will be operating at 20 percent
5 power higher than what is the evaluation done here.

6 So we are looking at all these aspects.
7 Somewhere they have to be addressed. Now, again, we
8 discussed the report that you are supposed to do prior
9 to entering license renewal, the EPU, and that may be
10 sufficient.

11 But from a perspective of thinking about
12 operating experience, you have to think about this
13 plant, that operated for ten years, sat down for 22 in
14 lay-up, restarted, went up, and then it goes up 20
15 percent above the power level, it runs for four years,
16 or five, before you get into the license renewal
17 period.

18 That is the operating history that this
19 plant will have by the time it marches into license
20 renewal. So we are thinking about it that way. Now
21 then you can ask us to box it in different licensing
22 actions.

23 But I think we want to think about the
24 issue and the safety issues associated with this
25 operating history. So -- and that is the way that I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 think most of the ACRS will think.

2 MR. COUCH: I understand.

3 CHAIRMAN SIEBER: Okay.

4 MR. COUCH: So our EPU submittal was made
5 consistent with GE's licensing topical reports, the
6 ELTR1 and ELTR2 that gives the overall process for how
7 to do a license uprate, anywhere from your original
8 one hundred percent power, up to as much as one
9 hundred and twenty percent.

10 We utilized this for both unit 1 and units
11 2 and 3. We also submitted the information requested
12 in the review standard for power uprates, dated
13 December 2003. And that is, basically, a comparison of
14 the various criteria related to EPUs, and show how you
15 meet those criteria.

16 We've also included, as I mentioned this
17 morning, the fact that when we did our EPU
18 application, we went out and found the RAIs from all
19 the other plants that have already made EPU
20 applications, whether approved or not approved,
21 included that information on the RAIs into our
22 submittal.

23 One difference between the two plants is
24 that unit 1 will be started up with GE-14 fuel. Units
25 2 and 3 is in the process of transitioning to the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Framatone A-10 fuel.

2 Page 49. This is a side by side type of
3 comparison of unit 1 versus units 2 and 3, starting
4 out the original thermal power, you can see was the
5 very same for all three units.

6 The current thermal power for unit 1 is
7 still the same as it was, because we have not done any
8 power uprates. But we have uprated units 2 and 3 by
9 five percent. We are going to request a thermal power
10 of 3952, which represents a 20 percent increase over
11 the original licensed thermal power, which will be
12 approximately 15 percent increase for units 2 and 3
13 right now.

14 When we did the power uprate for units 2
15 and 3, the first five percent, we increased the
16 reactor pressure 30 PSI. Even though GE has now
17 decided that you do not have to raise the pressure in
18 order to be able to get to EPU conditions, we are
19 going to go ahead on unit 1 and raise the pressure up,
20 so that we have the same operating condition on unit
21 1, as what we have on units 2 and 3.

22 Once again going back to the operationally
23 similar, make sure that the operators see the same
24 thing day in and day out, from one unit to the next.

25 Page 50. And this is basically the same

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 slide as what we showed you when you were at our site.
2 There has been several modifications made to the plant
3 in order to achieve the extended power uprate
4 application.

5 I'm going to start with the reactor over
6 on the red. The reactor itself did not require any
7 modifications, except the recirc pump was required to
8 be rerated. While you are not really pumping much
9 additionally flow around, it requires some additional
10 horse power due to the added pressure drop through the
11 core.

12 So we had to uprate the motor on the
13 recirc pump. The steam drier modifications that are
14 coming out of the issues that --

15 MR. BARTON: Was that any change to those
16 motors, or was that just penciled -- how did you
17 rewrite them?

18 MR. DELONG: It was just a calculational
19 rewrite.

20 MEMBER BONACA: Calculational rewrite?

21 MR. DELONG: That is correct.

22 CHAIRMAN SIEBER: The motor will run a
23 little hotter now.

24 MR. COUCH: The steam drier modifications
25 coming out of the issues, we're actively pursuing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that. And participating in various activities with
2 GE, those modifications have not been completely
3 finalized yet, but we will respond to the overall
4 issue of the steam drier degradation, as it has been
5 occurring.

6 Moving on down the steam lines, the main
7 steam relief valves, that aren't shown here, they will
8 be reset, and the set point increased 30 PSI, to
9 accommodate the increased pressure.

10 High pressure turbine, we are replacing
11 the high pressure turbine rotors to get the extra
12 steam flow through the high pressure turbine. Next
13 down the line is a moisture separators.

14 We are going in and upgrading the moisture
15 separator internals to go into the new double-hooked
16 veins, internals. The original moisture separators
17 had about an 80 to 85 percent efficiency. When we go
18 to the new more separator internals, it will go up to
19 around 95 percent efficiency, that will help
20 eliminate a lot of the moisture going down the steam
21 lines and, hence, going to the turbine.

22 As a result of doing that not only will we
23 get increased power because we are doing a power
24 uprate, we will also pick up about seven megawatts
25 because of just getting the extra moisture out of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 low pressure turbines.

2 The low pressure turbines, we will be
3 replacing the rotors in them. That is not being done
4 due to EPU, but it is just a big mod that is going on,
5 that is compatible with the EPU.

6 The main generator has been rewound. We
7 have replaced the fans on the ISO-phased buss duct
8 cooling. Originally there is, or currently there is
9 a single fan. We will be aging to dual fans.

10 We have upped the flow rate enough so that
11 we make sure that there is adequate flow rate through
12 the ducts. We have replaced the main bank and spare
13 transformers out in the yard.

14 And there is also a substantial amount of
15 substation upgrades off the site. Following the
16 condensate path coming out of the condenser, the
17 condensate pump itself, we are replacing the pump
18 impeller, and the pump motor.

19 When you guys were there we took you down
20 there and showed you the pumps. These are the pumps
21 that are down imbedded in the concrete, and it was not
22 feasible to replace those pump bowls. But we are
23 replacing the impellers and the motors on them.

24 The next thing down the line will be the
25 condensate demineralizers. In order to pass adequate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flow, and maintain adequate filtering of the water
2 going back to the reactor, we are adding a tenth
3 demin, in all the associated pumps and controls, and
4 everything that is required to run those.

5 The condensate booster pump, in this case,
6 we are replacing the entire pump, motor, everything.
7 The next thing that we are doing major work on is the
8 reactor feed pump turbine. And the pump in the
9 turbine itself, we are replacing the pump and the
10 turbine.

11 Now, when we replace the feed pump, and
12 the condensate booster pump, we increased the size on
13 them, enough, that we will be able to run with less
14 pumps, if we have to, than what we currently do.

15 Right now you essentially have to run with
16 three condensate pumps, three booster pumps, and three
17 feed pumps. If you lose any one of the three, you've
18 got to take the power down in order to keep up with
19 the power.

20 With these new higher flow rate pumps, we
21 will be able to run in a configuration with two feed
22 pumps, two booster pumps, and three condensate pumps.
23 So it provided extra margin to the plant, extra
24 flexibility to accommodate plant transients.

25 Then on down to the feedwater heaters.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The number three feedwater heaters we're making
2 substantial modifications to them. They are having
3 steam impingement plates put in.

4 The steam duct going into the heaters is
5 being moved, physically, down from the top to the
6 middle, to make it a better thermal location for the
7 heaters.

8 So lots of things going on in the plant
9 that are all geared towards accommodating the steam
10 flow, but also adding margin in, to get the power,
11 accommodating the steam flow to get the power out, and
12 adding margin to get the plant to run better.

13 And as we talked about earlier all these
14 mods, as well as a lot of other mods that I haven't
15 talked about, are included on the last four pages of
16 your handout, for the list of modifications.

17 Turning over to page 51, if you start
18 thinking about what does power uprate really do to
19 your plant, what I try to show here was that when I go
20 to the power uprate, where I'm going to raise the flow
21 rates of the plant, and I'm going to raise the
22 pressure, I tried to demonstrate what the impact on
23 each system is.

24 The main steam system, obviously, you will
25 see a slightly higher steam flow, about 15 percent for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 units 2 and 3, or 20 percent for unit 1. There is a
2 slight increase in the moisture content, also.

3 You go on down the system, the extraction
4 steam has a steam flow increased moisture content.
5 And you can read the list down through here. The
6 reason for putting together this slide is the fact
7 that when you look at all of these effects, these
8 effects primarily occur in the area of flow
9 accelerated corrosion.

10 The higher steam flows, the higher
11 moisture contents would tend to increase the rate of
12 flow accelerated corrosion. That is well within the
13 guidelines, or the purview of our FAC program.

14 So the impact of going to the increased
15 pressures, temperatures, flows, etcetera, are
16 monitored by existing plant programs. So that if we
17 are seeing any degradation due to the extended power
18 uprate, on plant life, you would see it as part of
19 this FAC program.

20 CHAIRMAN SIEBER: It is not clear, to me,
21 though that the rate of the occurrence of FAC is
22 linear with these increases in flow and moisture.
23 Now, you may, up to a certain flow rate, you may get
24 very limited amount of FAC, and then as you increase
25 flow of moisture, beyond a certain point, it may

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 accelerate more than the linear projection might be.

2 So you are going to have to pay attention
3 to the measurements that you get, and recognize that
4 it may not be linear.

5 MR. COUCH: Right. We, when we go out for
6 each outage, we go out and do the grading and the UT
7 effective measurements. We take the information back,
8 run it through our FAC program, which includes the FAC
9 manager, and checkboards, and all those things.

10 And we trend all this so we can see what
11 the trends are for the degradations. It is all a part
12 of our standard program.

13 CHAIRMAN SIEBER: The two points don't
14 describe a curve.

15 MR. COUCH: That is right. But as long as
16 the two points, if you extrapolate them, and it is
17 nowhere near failure, then you would continue to
18 operate. And once you get the third point you can
19 see, is it a parabler, or is it a straight line.

20 CHAIRMAN SIEBER: Right, okay.

21 MR. COUCH: Now, as we go through our FAC
22 program, we project out each cycle, is there enough
23 margin in the plants to operate not one cycle, but two
24 cycles.

25 And so if we have a situation where it

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looks like that the rate is rather high, then we would
2 have to stop and address that before we went on with
3 that particular physical location.

4 CHAIRMAN SIEBER: Okay.

5 MR. COUCH: So kind of in summary, on page
6 52, the impact of the EPU on the aging of the plant is
7 controlled, and monitored, by the existing aging
8 management programs, such as the FAC program.

9 The EPU submittal has been accepted by the
10 NRC Staff, and we target an approval date of spring
11 2007. So even though you have to consider the effects
12 of EPU, as you are thinking about license renewal,
13 that is our official forum for where we would address
14 the impact of EPU, as part of that EPU submittal.

15 And the ACRS review of the EPU has got to
16 consider the review, the license renewal, you have to
17 consider the impact of EPU, and that is what we are
18 doing here today.

19 So that is the whole reason for presenting
20 this.

21 CHAIRMAN SIEBER: That will require some
22 discipline on our part, to consider the effects, and
23 not consider the whole EPU. So we will endeavor to do
24 that.

25 MEMBER BONACA: I mean, the -- for Dresner

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and Quad Cities, we had the EPU before the license
2 renewal.

3 CHAIRMAN SIEBER: Right.

4 MEMBER BONACA: So the GALL report
5 documents a requirement for the licensee before he
6 walks into license renewal to perform an evaluation of
7 what impact, if any, there is on the EPU.

8 I don't think that that is relevant to
9 which one comes first.

10 CHAIRMAN SIEBER: I don't either.

11 MEMBER BONACA: The important thing is
12 that before walking into the license renewal period
13 one looks at, potentially, what happened from the EPU.
14 And if there are effects, that that could be addressed
15 in license renewal, then they would be addressed.

16 I mean, I would consider license renewal
17 a living program, anyway, because you are learning as
18 you go, and you are factoring operating experience in
19 it.

20 CHAIRMAN SIEBER: Right, I agree. In fact
21 I think that the methods that you propose are the
22 reasonable way to do things for all of us to keep all
23 these issues separated, so we address the right issues
24 for the right reasons.

25 So, for example, if we have a question

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about a large transient testing, we will deal with
2 that question at the time of EPU.

3 MR. COUCH: And when we get ready to talk
4 about EPU, most of the same guys here will be back to
5 talk to you.

6 CHAIRMAN SIEBER: Let's hope so.

7 MEMBER BONACA: That is an interesting
8 point. One of the reasons why I think we made faces
9 about not having those tests done, clearly, has to do
10 with the fact that this is a unique case.

11 I mean, there is a lot of replacement of
12 piping that took place, and so on and so forth.
13 Because we have accepted not having measured transient
14 tests, for all the EPUs we have reviewed to date.

15 So what is the difference with this? I
16 think the reason why we cringed a little bit, as we
17 are thinking about it, is because so much replacement
18 has been done, so much restoring, refurbishing, and so
19 on and so forth, that it is somewhat different from
20 the others we have looked at.

21 I don't know we should talk about this.

22 CHAIRMAN SIEBER: Well, when we get there
23 we will deal with it.

24 MEMBER BONACA: Yes.

25 MR. BARTON: I struggle why it is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 separate. You do a test program, you have to restart
2 this unit, as part of the test program you are going
3 to go to a power level that this plant has never seen.

4 CHAIRMAN SIEBER: That is true.

5 MR. BARTON: I have trouble separating
6 that question from EPU.

7 MEMBER DENNING: No, I don't think we are
8 separating an EPU.

9 CHAIRMAN SIEBER: You have to have EPU as
10 a license condition, before you go all the way through
11 their startup test program. Otherwise you stop at 83
12 percent.

13 MEMBER DENNING: Exactly.

14 CHAIRMAN SIEBER: And so, to me, that is
15 okay.

16 MEMBER BONACA: We will try to be as, you
17 know, as structured as we can.

18 CHAIRMAN SIEBER: Yes.

19 MEMBER BONACA: On the other hand, I mean,
20 again I think as statutory responsibility of the ACRS
21 is that we are, we have a different kind of -- we
22 can't be boxed by just simply the rules that says we
23 have to look at a situation and address it.

24 CHAIRMAN SIEBER: Absolutely. And, in
25 fact, that is why this committee is structured the way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it is. Okay, go ahead.

2 MR. COUCH: To do a little short summary
3 here.

4 CHAIRMAN SIEBER: Okay.

5 MR. COUCH: Of where we have been today.
6 We talked about the fact that there are these three
7 major issues that have been approved by the NRC.
8 There is the license renewal that we submitted, the
9 current license, there is the EPU and unit 1 restart.

10 And while you, since we are all human, you
11 can't totally divorce one from the other in your mind,
12 you've got to consider the effects, back and forth
13 between the two.

14 But, as we emphasized here, once we get to
15 the point that we are going to write the SER, and
16 approve the SER, at that point we do have to separate
17 them because, from a legal standpoint, we cannot, as
18 we have been instructed, we cannot approve license
19 renewal based upon EPU conditions, because it is an
20 implicit approval of EPU.

21 So we will go through these, we will be
22 back to talk to you about EPU. And, obviously, if we
23 need to address the ACRS as part of unit 1 restart, we
24 will do that. But as we've talked, we do not think
25 that the ACRS approval of unit 1 restart is required.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But we are, obviously, available to come
2 talk to you if needed.

3 CHAIRMAN SIEBER: I guess that is a legal
4 question, and since I'm not an attorney I can't give
5 a legal opinion. On the other hand, that is my
6 understanding, also.

7 MEMBER DENNING: But if they want to go
8 above 83 percent power, obviously, there is going to
9 be some approval for that.

10 CHAIRMAN SIEBER: Well, that is a
11 different issue altogether. These are pretty bold
12 steps, and the ACRS has a right and an obligation to
13 review what it deems is important from the safety
14 perspective, whether it is in the statutes, or the
15 rules, or not.

16 And on that basis I think there is a lot
17 of things that will happen during the restart. You
18 have made a lot of changes to the plant for I'm sure
19 many good reasons.

20 On the other hand I have asked for the
21 restart panel's report to be sent to us for our
22 review, and should we have any comments on it, we will
23 provide it.

24 On the other hand this is not a legalistic
25 roadblock that neither the Staff, or TVA can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 anticipate being there. But if there are interesting
2 things, where we have questions, we will certainly
3 address it.

4 MR. COUCH: So the final point here, we
5 are not lawyers, and we do have one lawyer in the
6 room, but we are not lawyers. But it is our
7 understanding that when we get to the point we are
8 ready for restart, it will be a decision made by, an
9 approval made by NRR and the regions, to give us
10 approval to restart.

11 And then, obviously, this issue of going
12 above 83 percent power --

13 CHAIRMAN SIEBER: That is a different
14 issue.

15 MR. COUCH: -- is a different issue, it is
16 post restart. So we will expect to have the approval
17 prior to restart.

18 CHAIRMAN SIEBER: Right.

19 MR. COUCH: But you can't go above 83
20 percent power until after restart.

21 CHAIRMAN SIEBER: I'm going to write that
22 one down.

23 MEMBER BONACA: This committee will be
24 involved in reviewing the EPU very shortly, I mean, I
25 imagine.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. COUCH: Yes. The EPU application is
2 in. Eva, back here, has been working with us, getting
3 the Staff's requests for additional information to us.
4 We've got the first set of RAI's in draft form.

5 She is about to give me, I think she said,
6 54 more questions here shortly. And so we are in the
7 process of writing the response to those, and so --

8 MEMBER BONACA: We will try to -- we will
9 have to build three hats. We will change,
10 interchangeably. But we will be reviewing all this in
11 the same period of time. So it is --

12 CHAIRMAN SIEBER: Do we have three hats?
13 You need three hats, right?

14 MEMBER BONACA: Yes. Just one note for
15 the upcoming subcommittee on license renewal. Clearly
16 we expect to see the scope typical of license renewal.
17 I mean, typically addressed in the SER, etcetera.

18 Some points of interest, from today's
19 presentation, for that meeting will be again, this
20 issue of operating experience, and you have some
21 interesting slide here that you can use for that.

22 The issues of lay-up, and what you have
23 presented to us regarding, you know, what you are
24 proposing. I mean, lay-up conditions, you have a
25 program as well. That information for unit 1 is very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 important because I think the committee is going to be
2 asking questions about that.

3 So that gives you a sense, I mean, what I
4 would expect to see in addition to a normal license
5 renewal agenda, these issues for unit 1.

6 MR. COUCH: We understand when we come
7 back we will be addressing license renewal for all
8 three units, not just unit 1.

9 MEMBER BONACA: That is right.

10 CHAIRMAN SIEBER: Right.

11 MEMBER BONACA: And you will have
12 something specific for unit 1 regarding the lay-up,
13 and the replacement, you don't have to go through this
14 kind of detail.

15 MR. COUCH: We were not planning on giving
16 you all the level of detail on what we are doing for
17 unit 1 restart.

18 MEMBER BONACA: Of course.

19 MR. SUBBARATNAM: What Dr. Bonaca has
20 said, that was kind of in force, but we don't have any
21 docketed information on the operating experience
22 slide. You probably have to have transmittal from you
23 to us, formally, that we will put with the SER.

24 MEMBER BONACA: You don't have to change
25 the documents now. The important thing is to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 communicate this information, like you communicated to
2 us today.

3 The reason why I raise this is that I
4 know, and I know other members of the committee are
5 interested in those things. They couldn't make
6 today's meeting, but they are going to ask questions.
7 So be prepared for those.

8 CHAIRMAN SIEBER: Well, what I would like
9 to do now, I presume that you have concluded your
10 presentation?

11 MR. COUCH: We are complete.

12 CHAIRMAN SIEBER: What I would like to do
13 now is ask the members, particularly those who have
14 early flights, as to their comments to the meeting.
15 But before I do that I would point out that I
16 certainly appreciate the work that TVA and its staff
17 put into this presentation.

18 I thought that it was quite clear, and it
19 contains a level of detail that I felt I needed to
20 see, in order to understand fully what it is that you
21 folks are doing. And I promise that that effort that
22 you put into this was worthwhile as far as expediting
23 our review, and the Staff's review.

24 So I give you my thanks, and that of my
25 colleagues here for a good presentation, and for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 putting forth the effort to make it work out. I
2 thought it was well done.

3 MR. COUCH: Thank you.

4 CHAIRMAN SIEBER: What I would like to do
5 is go around the table to other members, and our
6 consultants, to ask for any opinions that they want to
7 share with us, on the record, and I will start with
8 you, Graham.

9 MR. LEITCH: I think it was very helpful
10 presentation today, particularly was helped by
11 straightening out a misconception I had regarding the
12 list of modifications.

13 I guess I was confused that those
14 modifications still needed to be done on units 2 and
15 3. Whereas the vast majority of those have already
16 been done on units 2 and 3, except for those
17 associated specifically with EPU.

18 It has really helped clarify for me.
19 Because, as we say, there is three issues going around
20 here, the restart, the license renewal, and the EPU.
21 And it is just hard to get all these in clear focus.
22 And that helped me.

23 I guess my one residual concern is the
24 testing program. And admittedly this is an EPU issue.
25 And my concern is the large scale transient tests. I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 particularly am concerned about closure of the MSIVs,
2 at the higher power level, and whether we are really
3 sure that demonstration at essentially zero power
4 level, or some lower power level, that they will close
5 in 3 to 5 seconds.

6 Whether that translates into the fact that
7 they will close in the prescribed time at the new one
8 hundred percent power level, that may or may not be
9 the case. I just don't know whether that has been
10 demonstrated or not.

11 But I think it may be valuable to conduct
12 such a test to demonstrate not only that they close,
13 but to demonstrate the effect of such a transient on
14 the rest of the plant equipment, pipe movement, and so
15 forth.

16 But, as I say, that is an issue that will
17 come up at the discussion of the extended power, and
18 I just wanted to signal, in advance, that I do have
19 some concern in that area. That is basically all I
20 have.

21 CHAIRMAN SIEBER: That is it? Mr. Barton?

22 MR. BARTON: Well, I think the meeting
23 helped me in really understanding what specifically is
24 being changed in the plant prior to restart, how they
25 are organized, what their restart program is all

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about, which really was not that clear before today.

2 So I think they did a really good job of
3 that. The questions that I had regarding what they
4 were doing with inspections, and requalification of
5 personnel, etcetera, were all answered.

6 And I think the only thing I have is the
7 same question I related earlier, and the one that
8 Graham just brought up, which is an EPU issue, so I
9 will talk about it at EPU time.

10 CHAIRMAN SIEBER: Right. And I guess that
11 is a concern of mine, also.

12 MR. BARTON: I am not familiar with any
13 program that never really did a full power type of
14 transient.

15 MEMBER BONACA: An issue with the LRA you
16 had some comment before in writing?

17 MR. BARTON: I didn't have it on --

18 MEMBER BONACA: So you feel less concerned
19 now?

20 MR. BARTON: What is that?

21 MEMBER BONACA: You feel less concerned
22 about some of the issues that you raised?

23 MR. BARTON: Yes.

24 CHAIRMAN SIEBER: Okay. Is that it?

25 MR. BARTON: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN SIEBER: Okay, Dr. Denning?

2 MEMBER DENNING: Well, today's meeting was
3 really quite helpful for me, because I came in quite
4 concerned about the separation of the EPU and license
5 renewal, and I think that the position that Mario has
6 taken is really quite honest, how we deal with that
7 separability.

8 I think that operating experience is the
9 key, and that we do need some additional assurance in
10 the periodic inspection program and that is probably
11 the key by which you get that.

12 So I think that as far as unit 1 is
13 concerned, that I am no longer struggling with a logic
14 of life extension before one is really addressed
15 extended power, when in reality its life will be
16 extended beyond that.

17 I do think that, from that logic, there is
18 a potential that one could approve license renewal,
19 but that it will never be approved at the power for
20 which the plant is being redesigned.

21 I mean, it could, the Staff could not
22 approve the full upgrade. I don't think that that is
23 going to happen, but I think that is a possibility.

24 With regards to the EPU and startup
25 separability, in one respect they are not separable.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And that is that in the power uprates, before we have
2 addressed this question of just how do they get to
3 power, and even the question of do they have to do a
4 major trip.

5 And I think that -- but the conditions
6 under which, I mean, these are different conditions
7 from what we have seen before. It is premature to
8 discuss that in detail.

9 But, Graham, I can assure you that this is
10 an issue that is going to be high on our plate when
11 extended power uprates are considered.

12 CHAIRMAN SIEBER: Okay, thank you.

13 MEMBER DENNING: Before you get to Tom, let
14 me clarify something to Mario. He asked me whether I
15 had strong issue with the LRA. I have an issue with
16 the timing of the application, the operating
17 experience piece. I still have a concern with that,
18 20 years operating. That is still open in my mind,
19 also.

20 MEMBER BONACA: For the timing?

21 MEMBER DENNING: The timing, yes.

22 CHAIRMAN SIEBER: Okay. Dr. Kress?

23 MEMBER KRESS: Well, I will make it
24 unanimous, in the meeting being very helpful in
25 understanding the changes, and the differences between

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 restart, license renewal, and extended power uprate.
2 So I add my thanks for a good presentation.

3 I guess I differ, a little bit, on the
4 transient testing. I personally would have thought
5 that it should be a condition for restart, even at the
6 83 percent level, because this thing has sat there a
7 long time, and they have made substantial improvements
8 and changes.

9 And I think it is almost equivalent to the
10 initial startup. So I think the restart transient
11 testing is going to be an issue, and I think it ought
12 to be an issue with restart. But certainly an issue
13 with extended power uprate.

14 At this point I don't really see any
15 problems with their restart program. I think they
16 have handled it very well, and they have the
17 experience with units 2 and 3, and I think that is a
18 very nice looking program.

19 The one thing that did bother me, and it
20 is the same problem I have had with any power uprate,
21 and any license extension, that is the PRA seems to be
22 limited to the level 1s, and modified level 2.

23 And I know that is all the rules seem to
24 require. But I would think, if I were going to add
25 another plant to this site, I know it is already

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 licensed for three, and I'm going to uprate power at
2 all three of them by 20 percent, I would do, if I were
3 the operator, I would want to see a level 3, and see
4 what effect it has.

5 Now, this may be part of the environmental
6 impact statements, but once again, the SER doesn't
7 seem to know the environmental impact statement
8 exists, and vice versa.

9 I think the ACRS would like to know what
10 impact it has on risk, and I'm not thinking just the
11 individual risk, I'm thinking the whole environmental
12 impact.

13 So that is one thing that bothers me, and
14 I don't know what to do about it. But other than that
15 I think that things look pretty good for the whole
16 thing, the license renewal and the restart, and the
17 power uprate.

18 CHAIRMAN SIEBER: I guess I will make a
19 comment about the PRA. PRAs, to my knowledge, don't
20 model aging, per se. It can't tell how thick the pipe
21 is, and how close it is to failure.

22 And it doesn't model margin, because it
23 uses a go, no-go success criteria for a lot of
24 functions. So when you say I'm going to have an EPU,
25 or some other change to the plant, and you don't model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the change, but you produce two different PRAs and say
2 this is the delta, to me, I'm sort of unimpressed.

3 And I would like to see the whole art and
4 science. And I think there is a little bit of both of
5 that in PRAs. I would like to see that improved
6 before we make decisions totally founded on PRA
7 results.

8 On the other hand PRAs have really helped
9 us a lot, and helped the industry improve the safety
10 of the plant. And it puts things in perspective.

11 So I'm not here to say that it is no good,
12 I'm just here to tell you that it needs continued
13 development, in a lot of ways, in order to be useful
14 in every application.

15 And so I will make that statement. And
16 probably someone will tell me, but you are all wrong
17 on that, right? I see --

18 MEMBER DENNING: You are only 60 percent
19 wrong.

20 MEMBER KRESS: Maybe 70.

21 CHAIRMAN SIEBER: We will discuss this at
22 a more appropriate time. But, in any event, what I
23 would like to do now is ask Dr. Bonaca if he has any
24 final comments.

25 MEMBER BONACA: I think I share pretty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 much the views of the committee. I already raised my
2 issues today. One is, again, the need for documenting
3 the applicability of unit 3 and 2, but I think that is
4 -- because it is not as simple as that.

5 There is much more that has been offered
6 on the plate to make the license renewal acceptable.
7 And what is offered on the plate is including, for
8 example, the periodic inspection program. That is a
9 critical item.

10 It seems to me that in license renewal all
11 you are asking for, if you don't have enough
12 information, is that you inspect. And you have a
13 licensed program. And the licensee is offering that.

14 So, therefore, I think the substance of
15 the issue, ultimately, is there. However, from a
16 perspective of clarity, communication to the public,
17 and so on and so forth, is important and this should
18 be documented in the SER, so that we understand how it
19 is being done.

20 So it is a question of documentation, more
21 than anything else, in my judgement. Other members of
22 the committee will have to accept that, too. But I
23 think we have that strength of belief right now.

24 I think that that issue of committing to
25 this periodic inspection is very good. I think, for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 me, it addresses many of the substantive issues that
2 I have with license renewal.

3 I think we have a clear understanding of
4 what it means. We discussed the periodic inspection,
5 and what it will mean, although it is not written
6 right now.

7 Regarding the EPU and the testing, I tend
8 to think like Tom, in a way. I mean, it is a
9 significant change in this plant. I think that it is
10 almost like rebuilding the plant.

11 And so I was thinking about, and I was
12 support of operations, and I would think that it may
13 be problem. I will think about that when it comes to
14 the EPU. And then, again, I want to thank TVA for the
15 presentation, for having come here.

16 Clearly we got a level of detail that we
17 never got when we were in Browns Ferry. I mean, we
18 simply didn't have the time. So this helps a lot.

19 CHAIRMAN SIEBER: Okay, thank you. And I
20 guess I will just add a couple of last comments. I
21 particularly endorse Dr. Bonaca's comments, and I
22 again say that you folks have done a good job in
23 things that were a couple of weeks ago, sort of
24 mystifying, are now quite clear to me, and very
25 helpful.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So I truly appreciate the effort. I also
2 was concerned that the Staff and the licensee, and us,
3 would end up with three different events going on, two
4 applications, and the restart, that those issues would
5 become mixed.

6 And I think that in order for us to do the
7 right job on each application we have to only consider
8 the parts of the application that apply to that
9 licensing action.

10 And, to me, that clarifies things quite a
11 bit, and it allows us to pay attention to the right
12 issues, at the right time. So I think that TVA has
13 really helped itself by putting things together the
14 way that it has.

15 And I would also like to appreciate the
16 Staff for getting out the SER for our review, and
17 hopefully things will go well, as we progress through
18 this final licensing action.

19 Do you have any comments that you would
20 like to make about this meeting?

21 MR. COUCH: We appreciate the opportunity
22 to come and talk to you, we are glad we have cleared
23 up some things. And we recognized, when you all were
24 there in August, that it was a tremendous amount of
25 information to try to absorb.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We have been absorbing this now for four
2 years. So this is second nature to us. And for you
3 guys to step in there, basically, cold and understand
4 the scope of all these three issues, and everything,
5 we were not surprised that there were some
6 misunderstandings and confusions, and things.

7 So we just appreciate the opportunity to
8 come back now and hopefully to clear up a lot of this
9 stuff.

10 CHAIRMAN SIEBER: Well, the issues in
11 August were when we would ask a question, well what is
12 it specifically that you are going to do, what are you
13 going to change out. And the answer was almost
14 everything, or it would be everything but, you know?

15 Maybe we won't do this and do that, and
16 then you go out in the plant and see things, and
17 obviously you weren't going to do everything. And all
18 we think you ought to do are the right things, okay?

19 And so this additional detail that you
20 provided us now has been very helpful, and at least to
21 me, and I'm sure my other colleagues, in knowing
22 exactly what it is that you intend to do, what you
23 have already done, what the condition of the plant is,
24 and what the issues are that we need to concern
25 ourselves with as we go along.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And I think that we have accomplished
2 that.

3 MR. LEITCH: And just to carry that
4 thought one step further, October 5th we are talking
5 about license renewal.

6 CHAIRMAN SIEBER: Right.

7 MR. LEITCH: And I think we can focus on
8 license renewal for the October 5th. Now, in this
9 section here, you touched briefly on license renewal,
10 because that wasn't the purpose of today's meeting,
11 and you talked mainly about aging management programs.

12 We will, obviously, have a lot of
13 questions about scoping issues, and about TLAAs, and
14 the various TLAAs that you went through, in addition
15 to the aging management programs. But that will be
16 focused on license renewal.

17 And I just wanted you to know that
18 oftentimes a great number of our questions focus
19 particularly on TLAAs.

20 CHAIRMAN SIEBER: In fact I might ask Dr.
21 Bonaca, since he will be Chairman for the October 5th
22 meeting, if there are any particular things that you
23 want to see, or hear about during that meeting.

24 MEMBER BONACA: Well, I thought the
25 application was pretty straightforward insofar as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 units 2 and 3. I mean, the big difference is from
2 normal applications on unit 1.

3 So I will go through the normal
4 presentation that we have regarding your application.
5 It may be different from what you have right now in
6 the application itself, because things have matured
7 and changed since you came in.

8 But most of the time is spent by the Staff
9 reviewing the SER. So one last comment I wanted to
10 make, by the way, in regards to today's meeting, is
11 the point that John Barton raised on the timing of
12 your application, the concern he has.

13 And why it is so difficult to separate all
14 these issues. I know other members also have the same
15 concern. If the application had been submitted with
16 a closure, say, to come on the year 2010, which means
17 folding in experience after restart and power uprate,
18 we would be asking questions about the results of the
19 power uprate.

20 So it is hard for us to simply box
21 ourselves in at the time when we are going to review
22 all these things, one to the other. There are way to
23 address this issue. I mean, we already have provided
24 a way for Dresden and Quad Cities, which is endorsed
25 now by the GALL report, which is, you know, before

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 walking into licensing you do your degradation and
2 document it.

3 But that is one way I can see how you can
4 address this issue. But it is hard for us not to
5 think in terms of everything that is going to take
6 place, because it is going to be taking place
7 simultaneously.

8 I mean, it is going to go up, and go to
9 EPU before it goes to the license renewal. So,
10 anyway, I'm saying this because I know the concern
11 with timing is in the mind of some members, and the
12 full committee will have that question.

13 CHAIRMAN SIEBER: Any other comments by
14 anyone?

15 (No response.)

16 CHAIRMAN SIEBER: I think we have met the
17 requirements of the agenda and our schedule. So, with
18 that, I would like to adjourn the meeting, and thank
19 everyone who participated very much. The meeting is
20 adjourned.

21 (Whereupon, at 4:20 p.m., the above-
22 entitled meeting was adjourned.)

23

24

25