

Official Transcript of Proceedings
NUCLEAR REGULATORY
COMMISSION

Title: Advisory Committee on Reactor Safeguards
Thermal-Hydraulic Phenomena
Subcommittee
OPEN SESSION

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Thursday, January 19, 2006

Work Order No.: NRC-796 Pages 1-80/184-236/389-
457

Closed Session: Pages 81-183/237-388

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS

SUBCOMMITTEE ON THERMAL-HYDRAULIC PHENOMENA

+ + + + +

OPEN SESSION

+ + + + +

THURSDAY, JANUARY 19, 2006

+ + + + +

The meeting came to order at 8:30 a.m. in
room T2B3 of Building Two, White Flint North,
Rockville, MD.

PRESENT:

- GRAHAM WALLIS CHAIR
- VICTOR RANSOM ACTING CHAIR
- RICHARD DENNING
- THOMAS KRESS
- RALPH CARUSO DESIGNATED FEDERAL OFFICIAL
- SANJOY BANERJEE CONSULTANT

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A-G-E-N-D-A

INTRODUCTION 3

OPENING REMARKS, Amy Cuggage, NRR5 5

GE PRESENTATION ON ESBWR

 BACKGROUND 8

 David Hinds, GE

 Bharat Shiralkar

 David Hinds

 Jim Han

 MODEL BASIS AND UNCERTAINTIES 83

 Bharat Shiralkar

 Wayne Marquino

NRC STAFF PRESENTATION ON ESBWR 206

 Ralph Landry

 Veronica Klein

 Peter Yarsky

 Jose March-Leuba

 Jay Spore

REGULATORY GUIDE 1.82 404

 Mike Tschiltz

 Marty Stutzke

 Richard Lobel

 Bob Dennig

 Lou Quintana, GE

P-R-O-C-E-E-D-I-N-G-S

8:34 a.m.

ACTING CHAIR RANSOM: The meeting will now come to order.

This is a meeting of the Advisory Committee on Reactor Safeguard Subcommittee on Thermal-Hydraulic Phenomena.

I'm Victor Ransom, Acting for Chairman Wallis, who is Chairman of this Committee.

Subcommittee members in attendance are Tom Kress, Richard Denning, Dr. Graham Wallis. He's been delayed by bad weather but apparently he'll join us later. And the consultant in attendance is Professor Sanjoy Banerjee.

The purpose of this meeting today is twofold. First we will review the analytical methods to be used to evaluate stability scenarios for the economic and simplified boiling water reactor, ESBWR. Then we'll hear from the NRC staff about their plans to revise Regulatory Guide 1.82 Revision 3 to reflect some comments that the Committee provided in the fall of 2005 concerning the proposed revision 4 to the Regulatory Guide.

The Subcommittee will hear presentations by and hold discussions with representatives of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

(202) 234-4433

(202) 234-4433

1 NRC Staff, General Electric Nuclear Energy and other
2 interested persons regarding this matter.

3 The Subcommittee will gather information,
4 analyze relevant issues and facts and formulate
5 proposed positions and actions as appropriate for
6 deliberation by the full Committee.

7 Ralph Caruso is the Designated Federal
8 Official for this meeting.

9 The rules for participation in today's
10 meeting have been announced as part of the notice of
11 this meeting previously published in the *Federal*
12 *Register* on December 23, 2005.

13 Portions of this meeting will be closed
14 for the discussion of proprietary information.

15 A transcript of the meeting is being kept
16 and will be made available as stated in the *Federal*
17 *Register* notice.

18 It is requested that speakers first
19 identify themselves and speak with sufficient clarity
20 and volume so that they can be readily heard by the
21 hearing impaired as well as the normal people.

22 We have received one request from GE to
23 make a presentation related to the revised Regulatory
24 Guide, and that presentation will be heard after the
25 Staff discussion this afternoon.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I'm looking forward to some of the
2 discussion. I'm sorry that Chairman Wallis is not
3 present. I think he has a lot of things that he would
4 go into. He's provided some comments to us in writing.
5 And we'll try to reflect those as much as we can.

6 We'll now proceed with the meeting. And I
7 call upon Ms. Amy Cabbage of the Office of Nuclear
8 Regulations to begin.

9 MS. CUBBAGE: Thank you.

10 I'm just going to provide a few opening
11 remarks this morning. The senior project manager in
12 charge of the ESBWR review for NRR.

13 This is just a background on the design
14 certification status before we get into the topic for
15 today.

16 After a roughly three year preapplication
17 review, GE submitted an application for final design
18 approval and standard design certification for ESBWR
19 in August, 2005. That application was accepted for
20 docketing on December 1, 2005. We're currently in the
21 process of issuing RAIs and we'll be issuing RAIs
22 through October '06. We're scheduled to issue an SER
23 with open items in October '07. And then we're
24 assuming it'll take us about 15 months to close the
25 open items identified in that safety evaluation and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue a final design approval. And then an additional
2 12 months is required for the rulemaking process. So
3 we have a total nominal duration of 42 to 60 months
4 for design certification review.

5 Just listed some of the previous occasions
6 that the Committee has heard about ESBWR. In 2003 and
7 2004 there were meetings on TRACG LOCA application.
8 And then this fall GE provided an overview of the
9 ESBWR design to the full Committee.

10 And on December 2004 GE submitted a
11 typical report TRACG application for ESBWR stability
12 analysis. So that was submitted during the
13 preapplication phase. We have now completed our review
14 of that typical report and have provided you with a
15 draft safety evaluation report. So this morning GE
16 will be presenting the content of that typical report.
17 And then this afternoon the Staff will present their
18 review efforts and evaluation of that report.

19 So I'd like to introduce David Hinds from
20 General Electric.

21 Would you have any questions?

22 MEMBER KRESS: When is the full Committee
23 supposed to review this? Do you recall that?

24 MS. CUBBAGE: We had some discussion about
25 that this morning as the Staff was under the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assumption that we had been bumped to March. But Ralph
2 has indicated to me this morning that we may be on in
3 February.

4 DESIGNATED OFFICIAL CARUSO: You're
5 currently scheduled to look at it in February,
6 February 9th, in three weeks. And we'll be talking to
7 the Staff about this.

8 MEMBER KRESS: And we'll write a letter
9 then on this application?

10 DESIGNATED OFFICIAL CARUSO: That's the
11 intention. That's what the Staff and GE hope that we
12 will do is write a letter.

13 MS. CUBBAGE: Right. And this review is
14 limited to the applicability of this code.

15 MEMBER KRESS: Just you have to build your
16 stability?

17 MS. CUBBAGE: Right. And we're not making
18 any judgments at this time on the design or the
19 stability of the design, just rather the applicability
20 of the method.

21 MEMBER KRESS: And it doesn't included
22 ATWS.

23 MS. CUBBAGE: It does not include ATWS. GE
24 submitted a typical report on ATWS just this week and
25 we met with them yesterday as a kickoff. We have not

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 started the review of the TRACG ATWS.

2 MEMBER KRESS: Will that be a separate
3 review and letter?

4 MS. CUBBAGE: It's a separate typical
5 report certainly from this effort. It's going to be
6 rolled into the design certification review process.

7 David?

8 MR. HINDS: Hello. Good morning. I am
9 David Hinds. I'm with General Electric, the ESBWR
10 Engineering Manager.

11 Glad to be here today to meet with the
12 ACRS to discuss stability, our methods related to
13 evaluating stability.

14 Just like to briefly introduce our team.
15 We have Bharat Shiralkar, who will be leading the
16 discussion today for at least the General Electric
17 portion and supported by Jim Shame, Wayne Marquino.
18 We also have Allen Beard and Louie Quintana from our
19 licensing department.

20 Again, Bharat will have the lead on the
21 presentation and, of course, the rest of the team's
22 here to answer as many questions as we can during the
23 presentation.

24 Again, thanks for having us here. And I
25 can turn it over to Bharat.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHIRALKAR: Good morning. Glad to be
2 back here again. The last time I think I met this
3 Committee was in January of 2004, years ago when we
4 talking low containment.

5 Today's topic is stability, ESBWR
6 stability and the methodology we're using. We try at
7 GE to analyze ESBWR stability.

8 MS. CUBBAGE: I'm going to get a lapel
9 mike. Is it there?

10 MR. SHIRALKAR: Should I sit down next to
11 the mike?

12 MS. CUBBAGE: Yes, and I'll get a mike for
13 you.

14 MEMBER KRESS: What does the E stand for?

15 MR. SHIRALKAR: Economic. But we go
16 prefer to go just by ESBWR.

17 This is the outline for my presentation.
18 I'll try to give us a little bit of background to
19 start with. And this is just to establish some common
20 terminology. At GE we trend to use certain
21 terminology that may not be universal, so I'd like to
22 kind of tell you a little bit about our terminology.
23 And also talk to you a little bit about starting up as
24 to why the ESBWR stability is so much more stable than
25 an operating plant in natural circulation. Just as a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 kind of a lead in because I think that question has
2 come up in the past and I'd like to sort of give you
3 a little background early of that before I get into
4 the main body of the report and start stepping through
5 the report. Okay.

6 After that I'll get through the LTR
7 licensing topical report purpose and scope, the
8 licensing requirements, the application methodology
9 which we'll try to be compliment with the CSAU
10 approach, phenomena identification and ranking, model
11 applicability. And at this point I have a few topics
12 that are proprietary. I would prefer to keep the flow
13 to make this part proprietary and then move back again
14 to a non-proprietary session if that's okay with you.

15 ACTING CHAIR RANSOM: It's okay.

16 MR. SHIRALKAR: Is that right? Okay.

17 ACTING CHAIR RANSOM: One comment I have
18 is that I think that there are quite a few questions
19 about how the Chan component and the TRACG vessel
20 nodalization is applicable or representative of the
21 ESBWR geometry. And maybe if somebody would go into
22 a little bit of that at the appropriate time, that
23 would be helpful.

24 MR. SHIRALKAR: Sure. You mean how we
25 represent the vessel and the channels and how they're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 coupled together and so on?

2 ACTING CHAIR RANSOM: Right, and
3 particularly the module dimensional aspects of the
4 thermal-hydraulics as related to the neutronic
5 feedback.

6 MR. SHIRALKAR: Okay.

7 ACTING CHAIR RANSOM: And also cross flow
8 between the bypass regions.

9 MR. SHIRALKAR: All right.

10 ACTING CHAIR RANSOM: And the chimney.

11 MR. SHIRALKAR: I'll try to do that. And
12 we have Jim Shome who is more of an expert on the
13 details of TRACG so we can get him here to talk to you
14 about it in more detail if you need to.

15 So the proprietary session then I would
16 like to cover model biases and uncertainties, plant
17 parameters, initial conditions and how we combine the
18 uncertainties using a Monte Carlo process.

19 And then I have a final nonproprietary
20 session on plant startup. So if it's okay, I'll do
21 the proprietary section session in the middle and then
22 come back and nonproprietary session on the end.

23 Just to remind you again, the general
24 layout of the vessel. The flow comes down through a
25 downcomer and goes up through a fairly short core. The

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core is shorter than the normal BWR core. It's three
2 meters high instead of 3.5 meters. And then a tall
3 chimney region, which is about 9 meters high including
4 the upper plenum here at the top and goes through the
5 separators. The steam exists through the dryers and
6 the flow returns from the separator spillover back
7 down to the downcomer.

8 So in concept it's not very different from
9 a regular BWR. The main difference is that we have
10 natural circulation driving the flow and we have this
11 large chimney region which doesn't exist in the BWR.

12 We'd want to make the point that the
13 chimney region itself is each chimney cell encompasses
14 16 bundle, a 4x4 array. So it gets the flow from 16
15 bundles and the bypass interstitial region in
16 between those bundles. So that's all flowing into like
17 one chimney cell.

18 And then the chimney cells look like this.
19 They're partitioned and they're about 9 meters high.
20 Okay.

21 ACTING CHAIR RANSOM: What provision
22 exists at the bottom of the chimney for cross flow?

23 MR. SHIRALKAR: The chimney essentially
24 rests on the top guide.

25 ACTING CHAIR RANSOM: Is that sealed or is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 it --

2 MR. SHIRALKAR: No, it is not sealed. It
3 sits on it. But we expect very little cross flow
4 leakage between those regions as compared to the
5 resistance -- I mean, it's an open region. If you
6 look at the--

7 ACTING CHAIR RANSOM: What are the
8 dimensions of the open region?

9 MR. SHIRALKAR: The gap you mean?

10 ACTING CHAIR RANSOM: Right.

11 MR. SHIRALKAR: It just sits on top of it
12 so I don't know what the gap would be. I mean, it
13 would be like millimeter. Whatever the unevenness of
14 that surface is, I guess.

15 ACTING CHAIR RANSOM: Well otherwise it
16 basically is sealed but it's just sitting on top then?

17 MR. SHIRALKAR: Yes, it's sitting there on
18 top of it.

19 ACTING CHAIR RANSOM: So each 16 unit
20 definitely feeds that chimney section then?

21 MR. SHIRALKAR: Yes. Yes.

22 I mean if you look at the resistance in
23 cross flow over here versus the opening over here, I
24 mean it's orders of magnitude different. I mean, so
25 the flow is going to go straight up here. There's very

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little gap at the top of this guide.

2 DR. BANERJEE: Have you done any
3 experiments with multiple chimney cells to see what
4 this --

5 MR. SHIRALKAR: No, we have not. No. So
6 this is just based on relative resistances in the
7 lateral and the vertical directions.

8 DR. BANERJEE: So you have done
9 experiments with single chimneys?

10 MR. SHIRALKAR: We have not exactly with
11 single chimney, but we have done experiments with
12 circular pipe with about the same hydraulic diameter
13 of the chimney cell to look at void fraction in that
14 region.

15 DR. BANERJEE: And how was this pipe fed,
16 by sort of a bunch of channels?

17 MR. SHIRALKAR: No, it was fed by --
18 actually it was fed by a single pipe. It was done in
19 Ontario, Ontario Hydro. That's a facility for testing
20 pumps. And they used one of the risers in that leg
21 and fed that with the flashing mixture and then they
22 measured the void fraction in that length.

23 DR. BANERJEE: What diameter was the pipe?

24 MR. SHIRALKAR: Fifty-one centimeters.

25 DR. BANERJEE: And what's the diameter of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the chimney?

2 MR. SHIRALKAR: This is about 60
3 centimeters in terms of the divot.

4 Okay. In terms of background, really
5 briefly the terminology and the types of instability
6 analyzed. I'd like to tell you a little bit about the
7 natural circulation performance of ESBWR and why you
8 get a much larger flow in natural circulation compared
9 to operating reactors. And then some comparisons with
10 operating plants. Now there are a lot of similarities
11 and there are some differences. And I'll touch upon
12 those.

13 We basically look at three types of
14 instability mechanisms. One is the simple channel
15 hydrodynamic oscillations in which you keep the power.
16 The power is constant. No power oscillations on the
17 channel. The pressure drop in the channel is
18 constant. So this is, if you will, a single channel
19 that is being driven by a CF channel, it's maintaining
20 constant pressure drop and power. And you're looking
21 at the possible hydrodynamic instability in this
22 channel.

23 This is not going to happen in a reactor,
24 instability of this kind, because the channels are
25 tightly coupled. But it's a very useful way for us to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get a measure of the channel stability and in the
2 design process when you're designing a fuel in terms
3 of what the channel stability is.

4 Core-wide oscillations depend on the
5 neutronics fundamental mode and the flows and flux
6 oscillate in-phase. So if you really have flows all
7 across the core going up and down at the same time,
8 which means that the power is also going up and down
9 in-phase across the core and the Δp is oscillating
10 across the core because the flow is oscillating, total
11 flow is oscillating. And this is exciting, what we
12 call the fundamental mode of the kinetics, the
13 neutronics. You have basically the normal power shape
14 of the reactor, then you have a critical reactor.

15 The regional oscillations, we call them
16 regional oscillations. They're also referred to as
17 out-of-phase oscillations. And these depend on the
18 channel hydrodynamics exciting higher modes of
19 neutronics. And this was first proposed by Jose March-
20 Leuba in about 1981. And we have very good validation
21 that that in fact is what is happening for all these
22 regional oscillations.

23 And fluxes and flows in regions you
24 oscillate out-of-phase.

25 ACTING CHAIR RANSOM: Since each one of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these chimney regions and the corresponding core parts
2 are essentially coupled as a unit, you can also have
3 channel-to-channel oscillations, right?

4 MR. SHIRALKAR: That's right.

5 ACTING CHAIR RANSOM: Is that what you're
6 saying?

7 MR. SHIRALKAR: I mean that's what I call
8 the first that I referred to as individual channel
9 oscillations.

10 And you're absolutely right. We've also
11 looked at a possible mode where you have a group of 16
12 channels together with the chimney cell above it
13 whether that would oscillate. Okay.

14 So in a regional oscillation different
15 parts of the core oscillate out-of-phase. And the
16 total core in flow will be almost constant, which is
17 why we're more concerned about this kind of
18 oscillation because you get cancellation effects. You
19 could get local power peaks but which wouldn't be seen
20 on an average powering monitor because they'll be
21 canceling out in different regions. And this excites
22 higher or neutronic modes. And to give you an
23 example, higher modes of the --

24 ACTING CHAIR RANSOM: One question that
25 bothered me a little bit in a looking at this is the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 core is divided into six regions, somewhat uniformly.

2 And --

3 MR. SHIRALKAR: Six regions? You mean
4 nodalization. You mean TRACG nodalization?

5 ACTING CHAIR RANSOM: In terms of the
6 thermal-hydraulics you have an azimuthal nodalization
7 of the six angular sectors.

8 MR. SHIRALKAR: We'll talk about that
9 later, but yes go ahead and ask your question.

10 ACTING CHAIR RANSOM: All right. Well, I
11 guess my concern would be that's a rather course from
12 the standpoint of channel-to-channel oscillation?

13 MR. SHIRALKAR: Oh, yes. I mean,
14 normally--

15 ACTING CHAIR RANSOM: Compared to, say,
16 the neutronics.

17 MR. SHIRALKAR: The sectors are not really
18 there for the core at all. The sectors are actually
19 there for the chimney. I'll talk about that later.

20 ACTING CHAIR RANSOM: All right.

21 MR. SHIRALKAR: I mean we can model
22 individual channels thermal-hydraulically. The vessel
23 is modeling basically the bypass region.

24 ACTING CHAIR RANSOM: Right.

25 MR. SHIRALKAR: So that just determines

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how the channels provide energy to that bypass. But
2 the channels can be located anyway you want as long as
3 they're coupled.

4 ACTING CHAIR RANSOM: Well, the only
5 problem with that is the boundary conditions for the
6 channel are the same within that sector, I believe.

7 MR. SHIRALKAR: That's true. Yes.

8 This is what a call a first harmonic,
9 azimuthal harmonic power distribution. What I've
10 shown is this is upper from a PANACEA code which looks
11 at every single channel in the core. Every box here
12 represents the axial shape of a given channel. Okay.
13 And so from the top to the bottom.

14 And you can see that this is a -- the
15 first harmonic is actually perturbation on top of the
16 fundamental. So you see here that some -- this region
17 is negative, this region is positive, this
18 perturbation. The negative and positive. The one I
19 have darkened are the maximum amplitude channels. So
20 you can see that these two guys are out-of-phase and
21 have about the same amplitude. So this is symmetrical
22 about this diagonal.

23 DR. BANERJEE: Is that the perturbations
24 you're showing?

25 MR. SHIRALKAR: Yes. The harmonic is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 basically perturbations that aren't fundamental.

2 And this mode is not critical so you won't
3 get it in steady state operation. Okay. But it has
4 subcriticality, in this case about .0058 in
5 Eigenvalue. But this mode can be excited by the
6 thermal-hydraulics during an oscillation, which means
7 that you have overcome the subcriticality of that
8 harmonic. The subcriticality then is like a damping
9 of the system. So that has to be overcome. The
10 neutronic damping has to be overcome by the thermal-
11 hydraulic to produce the oscillation.

12 ACTING CHAIR RANSOM: What does diagonal
13 correspond to?

14 MR. SHIRALKAR: It's one of the line
15 symmetry in the core. The core is typically loaded
16 symmetrically like octan symmetry. This is what we
17 calculate to be the line of symmetry for that
18 particular mode. There are a number of octagonal
19 modes to show you --

20 ACTING CHAIR RANSOM: I mean, can it be
21 anywhere?

22 MR. SHIRALKAR: It's what's calculated.
23 Yes. It could be -- generally it turns out to be for
24 a typical BWR turns out to be like this and that way,
25 octagonal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIR RANSOM: What does that
2 correspond to, the line of symmetry of the core
3 loading pattern or --

4 MR. SHIRALKAR: No. It's the symmetry of
5 the harmonic, the harmonic mode that you calculate
6 from the neutronics.

7 ACTING CHAIR RANSOM: So does it
8 correspond to one of the sector lines in the vessel
9 nodalization?

10 MR. SHIRALKAR: It doesn't have to, but
11 we've chosen it to be the line of symmetry. I'll show
12 you that later on as we go along as to how that
13 corresponds with the nodalization.

14 ACTING CHAIR RANSOM: How does the real
15 reactor know where this line is?

16 MR. SHIRALKAR: The real reactor knows
17 because that's how the solution of the neutronic
18 fueling equation tells it what the line of symmetry
19 is.

20 MEMBER DENNING: But as far as your
21 loading pattern is concerned, that is a line of
22 symmetry, isn't it?

23 MR. SHIRALKAR: Yes. Yes.

24 MEMBER DENNING: Yes. I mean --

25 MR. SHIRALKAR: It's one of the line of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 symmetry in the loading pattern.

2 MEMBER DENNING: It is a line of symmetry.
3 I think you said that it wasn't. But I think that it
4 is a line of symmetry.

5 ACTING CHAIR RANSOM: But if you look at
6 the core pattern, it looks like it's almost anti-
7 symmetric.

8 MR. SHIRALKAR: No, the core pattern
9 wouldn't be symmetric. It's likely mostly octan
10 symmetric. And this is one of the lines of symmetry.

11 So if I show you what the other harmonics
12 look like, now these are octagonal harmonics. So you
13 see the first two harmonics are azimuthal harmonics
14 and they're about the same subcriticality. Okay. So
15 this one is octagonal to that one. They're all
16 octagonal.

17 And then you get to -- you have an axial
18 harmonics where you get plus or minus in axial
19 direction. You can get a higher order as you move to
20 harmonic. You can get radial harmonic. But as you see
21 as you go down this progression, the subcriticality
22 gets larger and larger. It gets more and more hard,
23 excited harmonics. So you always excite these
24 harmonics first. So all the data we have in operating
25 reactors, which are out of -- fall in this category.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 In fact, you can have -- so the question is whether it
2 go about this one or about that one. And it's equally
3 likely. And you can have a combination of the two
4 actually happening.

5 And I remember being in a control room in
6 a European plant where we were doing a stability test,
7 and grant, it first went unstable around this
8 diagonal. And then as we watched, it precessed, the
9 line symmetry precessed until it become symmetrical
10 about this diagonal, and then it went back.

11 So either of those diagonals was a
12 possible mode for the oscillation.

13 But the point here is that you're not
14 going to get any local harmonics or any much higher
15 order harmonics happening because they have much
16 higher subcriticality. So what you're going to see is
17 basically these harmonics.

18 DR. BANERJEE: So when you say often
19 symmetry, let's say with the higher order mode, those
20 two lines then correspond to -- that's divided into
21 four now.

22 MR. SHIRALKAR: Yes.

23 DR. BANERJEE: So you'd have to divide
24 that into eight?

25 MR. SHIRALKAR: Well, but these are the--

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: They're the most unstable,
2 right?

3 MR. SHIRALKAR: Yes. No. Yes.

4 DR. BANERJEE: So but if you had octan
5 symmetry, let's take the other one and draw two lines
6 between the pluses and minuses, so why does it select
7 these two diagonal lines rather than the vertical and
8 the horizontal line?

9 MR. SHIRALKAR: That's the solution that
10 you'd get from the kinetics. Now, I don't have a good
11 physical explanation to give you. Maybe Jim or Jose
12 can speculate on that. But it's a physically solid
13 fusion equation for the reactor, we extract the
14 harmonic solutions. Then we find that they are
15 typically these kinds of symmetry.

16 MR. JAN: And that's strictly either a
17 loading pattern or -- Jim Jan.

18 The choice of that line of symmetry would
19 be a function of the loading patterns so that, you
20 know, the bundle peaking, the composition will impact
21 that choice as well as any control rods that are in
22 the core at the time of the evaluation will dictate
23 where that line of symmetry or the lowest
24 subcriticality line of symmetry will exist.

25 DR. BANERJEE: But in fact he says that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 there is often symmetry in the loading pattern, right?
2 So that means that the vertical and the horizontal
3 lines could also be selected. It just depends on how
4 your control rods are at that time or --

5 MR. JAN: That would be the primary
6 difference.

7 DR. BANERJEE: So there will be some
8 detail that drives you to one?

9 MR. JAN: Yes. And again, if you use
10 octan symmetric, then it really doesn't matter. I
11 mean, it's just a calculational variation and the
12 impact on the calculation is the same.

13 DR. BANERJEE: So in other words it
14 selects a line so that in fact everything as symmetric
15 as possible about it, right?

16 MR. JAN: Yes. It's going to set up that
17 line of symmetry such that the Eigenvalue is the
18 lowest.

19 DR. BANERJEE: Right. Could we go back to
20 the other slide just to fix this. Yes. So those two
21 hottest channels are symmetric in some way, that's
22 what I say.

23 MR. JAN: Yes. That the distribution has
24 the lowest possible Eigenvalue.

25 DR. BANERJEE: That depends on your

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 control rod pattern?

2 MR. SHIRALKAR: Yes. In fact, we also
3 find that the oscillation is driven, the fundamental
4 mode oscillation is driven typically by the highest
5 power channels or actually the square of the power in
6 the channels is what's the driving. For the harmonic
7 mode it's the product of the fundamental times the
8 harmonic. Okay. So in some way that product has to
9 be uniform or has to be symmetrical as well. So that
10 may be another consideration that comes into why --
11 symmetric about a particular line.

12 ACTING CHAIR RANSOM: These harmonics are
13 defined without feedback from the thermal-hydraulic--

14 MR. SHIRALKAR: This is calculated purely
15 from a steady state 3-D code, neutronics code.

16 ACTING CHAIR RANSOM: So it would be
17 uniform thermal-hydraulic conditions, right?

18 MR. SHIRALKAR: No, no, no. It has
19 thermal-hydraulic conditions in it, but it's not a
20 transient computer code. It's just a steady state--

21 ACTING CHAIR RANSOM: Right. Not changing
22 with time?

23 MR. SHIRALKAR: Right.

24 ACTING CHAIR RANSOM: You may have core
25 wide variation like this?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHIRALKAR: It does. Yes.

2 And this is -- I like this slide because
3 to me this is a validation of the hypothesis, if you
4 will, that Jose proposed many years ago and that is
5 that the harmonics in fact drive the out-of-phase, the
6 regional oscillations. And you can see that what we
7 have here is a flux contour from a plant in Europe
8 which actually was having out-of-phase oscillations.
9 Okay. This is a three dimensional power plant, given
10 a snapshot in time. So half a cycle later it will be
11 reversed. So this probably high and that probably
12 low. So it is a snapshot in time. It shows the
13 contour.

14 And it shows this contour is calculated
15 now with our 3-D computer code. Okay. On top of that
16 are actual test data from the local powering monitor
17 oscillation. So you can see that they follow the
18 contour very well. And you can see clearly in this
19 one, which is a cross sectional cut across the
20 diagonal, which shows the normalized flux contour of
21 the oscillation versus distance.

22 DR. BANERJEE: So please orient us with
23 the coordinates. Where are these -- I mean, where is
24 the center of the core, let's say?

25 MR. SHIRALKAR: In here. So it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 oscillating around some line like this. And so this
2 part is now on one side of the line of symmetry and
3 this part is on the other -- on the opposite part.

4 DR. BANERJEE: Why doesn't that side go to
5 fall off like you do on the other side?

6 MR. SHIRALKAR: Well, it's reasonably
7 symmetric. I mean, it's hard to see. This side is
8 falling off and coming up here on this side. You can
9 probably see better here where it's a cut through, cut
10 through here up to the center line.

11 MEMBER DENNING: On that one there that
12 you're showing right now, we're not seeing the reduced
13 side, are we? We're just seeing --

14 MR. SHIRALKAR: No. You're just seeing
15 half of it.

16 MEMBER DENNING: We're just seeing half of
17 it.

18 MR. SHIRALKAR: Half of it. From the
19 center. So this is a distance from the center line,
20 okay? And you can see the flux contour calculated by
21 a steady state three dimensional code, this PANACEA
22 code, and these are now the test points which show the
23 fall of the contour. And this is a validation that the
24 harmonic shape in fact is what's driving the
25 oscillations.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: But there was some thermal-
2 hydraulic perturbation that occurred to this, or was
3 this very small?

4 MR. SHIRALKAR: There's no perturbation in
5 this case. This is just a calculation of the harmonic
6 shape.

7 DR. BANERJEE: I'm saying the real
8 situation.

9 MR. SHIRALKAR: The real situation, yes.
10 The real situation half a cycle later it would be
11 reversed. That shape would be reversed.

12 DR. BANERJEE: Right. But now if you look
13 at this real curve there.

14 MR. SHIRALKAR: Yes.

15 DR. BANERJEE: Associated with that there
16 are some thermal-hydraulic perturbations, right, about
17 some steady state?

18 MR. SHIRALKAR: Yes. Yes.

19 DR. BANERJEE: That's not taken into
20 account in PANACEA.

21 MR. SHIRALKAR: No.

22 DR. BANERJEE: So how does PANACEA do so
23 well?

24 MR. SHIRALKAR: Because it's driven
25 completely by -- the shape is driven by the loading

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and the shape of the harmonic. This is just a
2 normalized shape.

3 DR. BANERJEE: Okay. This is not an
4 actual--

5 MR. SHIRALKAR: It's a normalized shape,
6 okay?

7 DR. BANERJEE: Now, but there are effects
8 which are due to feedback of thermal-hydraulics?
9 Let's say where the power goes up, your void fraction
10 goes up, right?

11 MR. SHIRALKAR: Yes. Yes.

12 DR. BANERJEE: If the void fraction goes
13 up, presumably that would tend to make the power go
14 down some. Without accounting for that, how does
15 PANACEA get this?

16 MR. SHIRALKAR: The PANACEA accounts for
17 wide feedbacks.

18 DR. BANERJEE: Oh, it does?

19 MR. SHIRALKAR: Yes, of course. But it
20 doesn't calculate transient. I mean, it's calculating
21 the effect in terms of -- it's a coupled thermal-
22 hydraulic kinetic code, but the steady state
23 calculation of the harmonic.

24 DR. BANERJEE: You mean it is very slow,
25 the transient so that --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHIRALKAR: Yes. This is a snapshot
2 in time.

3 DR. BANERJEE: Does it do a succession of
4 thermal-hydraulic steady states?

5 MR. SHIRALKAR: No.

6 DR. BANERJEE: So assuming the steady
7 state that was there before the perturbation started?

8 MR. SHIRALKAR: Yes.

9 MEMBER DENNING: How rapid does this flip
10 back and forth?

11 MR. SHIRALKAR: The typical period would
12 be of the order of like two seconds.

13 MEMBER DENNING: A couple of seconds.

14 DR. BANERJEE: So it's quite rapid.

15 MEMBER DENNING: Yes.

16 DR. BANERJEE: Maybe you can explain what
17 is in PANACEA?

18 MR. SHIRALKAR: PANACEA is basically a
19 diffusion theory code that calculates coupling between
20 thermal-hydraulics and neutronics to give you what the
21 shape is, you know the power shape in steady
22 operation. It also calculates the shape for harmonic
23 shape.

24 DR. BANERJEE: But does it have a module
25 within it that corrects the thermal-hydraulics based

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on the increased power? Not in a transient sense.

2 MR. SHIRALKAR: In the steady state, yes.

3 DR. BANERJEE: It does have?

4 MR. SHIRALKAR: Yes.

5 DR. BANERJEE: Some sort of a module which
6 corrects the void?

7 MR. SHIRALKAR: Yes. I mean, it can
8 register a solution, a steady state solution based on
9 the neutronics and thermal-hydraulics.

10 Now, Jim, you wanted to say something to
11 clarify?

12 MR. JAN: Well, the only point I was going
13 to make was that what PANACEA is calculating are the
14 possible harmonic states for that particular reactor
15 condition. And it tells you that, like say this
16 particular shape is possible and what the
17 subcriticality is for that particular mode. So
18 PANACEA will say, you know, here's the fundamental
19 shape. Its Eigenvalue is one. Here's this harmonic.
20 Its Eigenvalue is, you know, 1005.

21 Now as far as PANACEA is concerned the
22 harmonic is subcritical so it will not show up in the
23 steady state solution. Now what happens when you
24 couple it to a thermal-hydraulics is that the feedback
25 that you were questioning, the hydraulic feedback,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 supplies enough reactivity so that that particular
2 harmonic mode is now a critical mode. So it overcomes
3 that subcriticality and is actually present in the
4 calculation. But that's something separate from
5 PANACEA. PANACEA just identifies what modes are
6 possible in the neutronic.

7 DR. BANERJEE: I understand that. I'm
8 just trying to understand how we've arrived at those
9 points which are data and that solid line. Because
10 that presumably now is a critical mode, right?

11 MR. HAN: No. In terms of a solid line,
12 that's a subcritical mode predicted by PANACEA that
13 has a particular level of subcriticality.

14 DR. BANERJEE: But the data are --

15 MR. HAN: Data is actual based on the LPRM
16 readings across the board.

17 DR. BANERJEE: Right. So there's actually
18 something happening there?

19 MR. HAN: And it's happening because the
20 hydraulic feedback that existed at the time of the
21 test was enough to overcome the subcriticality of that
22 particular mode.

23 DR. BANERJEE: So what I still don't
24 understand is really how that shape can be similar to
25 what is excited when there is some of hydraulic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 feedback. Because the feedback changes the
2 neutronics, doesn't it? I mean --

3 MR. HAN: Well, I think --

4 DR. BANERJEE: Or am I getting mixed up
5 somewhere? I can't understand --

6 MR. HAN: Well I don't think you're
7 getting mixed up. But I guess my way of thinking
8 about it is that that particular harmonic becomes
9 critical and observable in the plant when the
10 conditions of the hydraulics are consistent with that
11 particular mode. In other words, it's only when the
12 conditions are right that the hydraulic response is
13 providing the appropriate feedback to overcome the
14 subcriticality that you observe the oscillation. In
15 other words, the things must occur in tandem. You
16 know, the harmonic is present in the nuclear
17 evaluation or nuclear condition and the channels are,
18 and state -- hydraulic state are such that they can
19 provide this reactivity effect to overcome that
20 subcriticality. So it's two things they have to line
21 up together. Otherwise that mode is still subcritical
22 and you won't observe it.

23 MEMBER DENNING: I don't understand that.
24 You're not implying this wouldn't have a decay rate,
25 would you? I mean, I can see how one can stimulate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 within a transient manner, you can stimulate these and
2 then they die out. Is that correct? I mean, it sounds
3 like you're implying --

4 MR. SHIRALKAR: In this case, it's steady
5 limit cycle oscillation.

6 MEMBER DENNING: What's that?

7 MR. SHIRALKAR: In this case it's a steady
8 limit cycle oscillation.

9 MEMBER DENNING: This is a steady limit
10 cycle oscillation.

11 ACTING CHAIR RANSOM: But isn't it true
12 that what you're describing with PANACEA is actually
13 a linear small perturbation type analysis so it only
14 indicates whether or not it could exist? In other
15 words, the tendency is there for these different
16 modes. But if it moves beyond a small change,
17 nonlinear effects are going to come into play like
18 thermal-hydraulic feedback, which will actually
19 change?

20 MR. SHIRALKAR: It's not linear. It's not
21 perturbation. It's a steady state calculation --

22 ACTING CHAIR RANSOM: In fact, one thing
23 I'd like to --

24 MR. SHIRALKAR: -- of a possible condition
25 that can exist. And you're not saying that PANACEA

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 will calculate the amplitude of the transient
2 behavior. But it's saying it's calculating the shape
3 that is consistent --

4 ACTING CHAIR RANSOM: Right.

5 MR. SHIRALKAR: -- with the shape that
6 it's seeing for the oscillation.

7 ACTING CHAIR RANSOM: In fact, isn't it
8 correct to say that what PANACEA calculates is a
9 tendency to oscillate, nothing about instability?
10 When you talk about instability --

11 MR. SHIRALKAR: No, PANACEA doesn't
12 calculate tendency to oscillate.

13 ACTING CHAIR RANSOM: -- it means growing?

14 MR. SHIRALKAR: No. PANACEA does not
15 calculate a tendency to oscillate. It tells you
16 nothing about whether it's going to oscillate or not.

17 ACTING CHAIR RANSOM: Right. Right. So all
18 the --

19 MR. SHIRALKAR: It just tells you one of
20 the possible modes of the harmonics.

21 ACTING CHAIR RANSOM: Right.

22 MR. SHIRALKAR: And in this case what data
23 is saying is that the oscillation corresponds to this
24 mode.

25 MEMBER DENNING: And you've normalized

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this?

2 MR. SHIRALKAR: It's a normalized
3 function.

4 MEMBER DENNING: This is normalized?

5 MR. SHIRALKAR: Yes.

6 MEMBER DENNING: I mean somehow you've
7 adjusted --

8 MR. SHIRALKAR: PANACEA won't give you the
9 amplitude, but it is normalized function, should
10 function.

11 MEMBER KRESS: To make this calculation
12 did you first fix the -- I'm here. Did you first fix
13 the void fraction distribution through the core and
14 then make the neutronic calculation test? That's how
15 you did it?

16 MR. SHIRALKAR: Yes.

17 MEMBER KRESS: So you can speculate on
18 what the void fraction might have been?

19 MR. HAN: Well, the void fraction
20 distribution is calculated as the steady state
21 distribution for the fundamental.

22 MEMBER KRESS: You have to assume a sort
23 of power distribution for that fundamental to get
24 that?

25 MR. HAN: Well, you calculate --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: It's an iterative thing it
2 seems to me like.

3 MR. HAN: Yes. The way the code will work
4 is first it does a fundamental calculation and gets a
5 very exact solution of the fundamental equation.

6 MEMBER KRESS: That depends on the core
7 loading and the rod positions --

8 MR. HAN: Yes. Yes, it does.

9 MEMBER KRESS: -- and the flows up?

10 MR. HAN: And then it disturbs that
11 distribution and begins the power iteration and the
12 calculation on the steady state where at the end of
13 each iteration it removes that highly converged steady
14 state.

15 MEMBER KRESS: Yes.

16 MR. HAN: And so as a result what it's
17 converging to is the next mode with the lowest
18 Eigenvalue. And so you can successively do that to
19 find the first harmonic, second harmonic and so forth.

20 MEMBER KRESS: Okay.

21 DR. BANERJEE: But does it perturb the
22 void distribution when it does that or does it
23 maintain the steady state void distribution?

24 MR. HAN: Steady state void distribution.

25 DR. BANERJEE: Okay. So that's what my

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 issue really is here, that of course you assign this
2 your void distribution is going to be perturbed. So
3 why is it so accurate that all this suspecting would
4 look that good?

5 MR. HAN: Well, again, you know the value
6 of this is that is so good in indicating that the
7 mode, that the oscillation and the contours are
8 exciting the harmonic solutions to the steady state
9 power distribution.

10 DR. BANERJEE: So putting it another way,
11 maybe we should do this offline. But what you're
12 really saying is the perturbation and the void
13 distributions associated with this power profile or
14 whatever that is does not have much of an effect?

15 MR. HAN: The good agreement with the
16 plant data would indicate that that effect is quite
17 small.

18 DR. BANERJEE: Yes. Either that or the
19 code is wrong? This is just luck, is it?

20 MR. SHIRALKAR: No, it's not luck.

21 DR. BANERJEE: Well, okay. I mean that
22 sort of makes you suspect that the void effect is so
23 small --

24 MR. SHIRALKAR: Because these are now
25 perturbations that are in the fundamental. Okay.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: But what you're really
2 saying is that the feedback from the void was
3 negligible, otherwise you shouldn't --

4 MR. SHIRALKAR: For this perturbation and
5 for the harmonic perturbation.

6 MR. HAN: And again, these are
7 perturbations that start off at very small variations
8 from that steady state and then for the appropriate
9 conditions grow from that point. And so the
10 conditions that exist when the oscillation first
11 starts are very close to that steady state
12 distribution.

13 MR. SHIRALKAR: We can talk about it maybe
14 separately later on. But --

15 MEMBER KRESS: The reason the power is
16 high on one end and low on the other is because of the
17 void difference, right, mostly?

18 MR. HAN: I mean, it's low on one end --

19 MEMBER KRESS: You're voided in the low
20 end and not voided as much in the high end.

21 MR. HAN: No. I think we --

22 MR. SHIRALKAR: No. What I'm showing is
23 not actual, it's radial power distribution. This is
24 one side --

25 MEMBER KRESS: Sure. Yes. That's what I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 meant.

2 ACTING CHAIR RANSOM: The thing that would
3 be helpful, you've normalized the power and in terms
4 of percent of power what kind of variations are you
5 talking about there? Are these a fraction of a
6 percent?

7 MR. SHIRALKAR: Yes. This is normalized
8 of the percentage of the oscillation magnitude.

9 ACTING CHAIR RANSOM: Right. So how big
10 is the --

11 MR. SHIRALKAR: So the maximum oscillation
12 magnitude is one here and then the fraction.

13 ACTING CHAIR RANSOM: Right. And how big
14 is that?

15 MR. SHIRALKAR: In this particular case,
16 do you remember?

17 MR. HAN: It's 10 to 15 percent peak over
18 average.

19 MR. SHIRALKAR: That's a maximum
20 oscillation. Locally.

21 DR. BANERJEE: So it is having quite an
22 effect on the void --

23 MR. SHIRALKAR: But the total power, the
24 total area's power change is like one percent of this
25 due to cancellation effects. But where we're going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 use this mostly is we're going to -- the TRACG
2 calculations that we do for visual oscillations are
3 going to use this information in the way we group our
4 channels. In other words, we're taking advantage of
5 the harmonic shape to do our calculation.
6 Effectively, that calculation -- if you will, for the
7 fundamental for the first harmonic and for second
8 harmonic and so on.

9 DR. BANERJEE: So then, Bharat, it's
10 correct that you can see that this is the mode that's
11 being oscillated, this is the line of symmetry and
12 certainly if you're only using it for that, it's one
13 thing. But I'm still concerned about the fact that you
14 get such good agreement without what appears to be a
15 void feedback.

16 MR. SHIRALKAR: That's what we get. Now,
17 we're not going to -- we're not going to use PANACEA
18 to calculate oscillations.

19 DR. BANERJEE: Oh, okay.

20 MR. SHIRALKAR: Okay. We're using PANACEA
21 to guide us on where the line of symmetry is and so
22 that we can look what channel is appropriate.

23 MEMBER KRESS: There is a void difference
24 between those, and the difference is across the radial
25 thing. That's --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: But it still doesn't make
2 it counterfeit and yet that's such a good agreement --

3 MEMBER KRESS: Well, I think it has to
4 take account of it to get that distribution. In the
5 steady state. It's a steady state void difference.

6 DR. BANERJEE: They're not changing the
7 void distribution. In spite of the fact that the bar
8 is changing by 15 percent. As I understand it.

9 MEMBER DENNING: No. Wait a second. I
10 think that they must be --

11 DR. BANERJEE: That's what I was saying.

12 MEMBER DENNING: If you look at the
13 positive, how far it goes up positive versus how far
14 it down goes negative. If there were no changers you
15 would expect that to be purely symmetric, the up and
16 the down, right?

17 If you look here, you see it only goes
18 down to a -- it's hard to see on that figure, but the
19 minimum that it goes to on this side of the core is
20 like minus .5.

21 MR. SHIRALKAR: Yes. Around that.

22 MEMBER DENNING: Whereas the maximum on
23 the positive side is one, twice as high, right? That
24 difference has to be --

25 MR. SHIRALKAR: Yes, there is a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 difference. Yes. The perturbation that we're looking
2 at is not necessarily 15 percent. Okay. I mean we're
3 looking basically, the harmonic shape is basically a
4 fairly small perturbation. We're talking about
5 normalized shape functions here, that's all. This is
6 not -- it corresponds to the oscillation shape and I
7 think we probably ought to leave it at that for the
8 time being and tell you that the thing that we're
9 going to use from here is primarily the fact that we
10 believe the harmonics do drive regional oscillations
11 and we're going to use that information in how we use
12 TRACG to calculate regional oscillations.

13 DR. BANERJEE: Is this the only evidence
14 or do you have more evidence to support that harmonics
15 drive regional oscillations?

16 MR. SHIRALKAR: Well, we have made
17 calculations of I think at least two plants I know
18 that we get good agreement with TRACG in terms of
19 predicting the onset of instability with the regional
20 mode and finding the axis of symmetry and so on.

21 DR. BANERJEE: So it's crucial in grouping
22 the channels?

23 MR. SHIRALKAR: Yes, that's where we use
24 it. It's crucial in the sense if you want to use the
25 core intelligently. I mean, you could do a group force

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and have every channel represented, like 500 channels,
2 600 channels. But to do it intelligently we can group
3 them so that they're grouped -- with a group based on,
4 say, the product of the fundamental and the harmonic
5 power distributions and groups across the line of
6 symmetry.

7 DR. BANERJEE: So you select, say, six
8 groups or something?

9 MR. SHIRALKAR: Well, probably about 32
10 groups.

11 DR. BANERJEE: Thirty-two groups. Okay.
12 And so these are 16 on each side or something like
13 that?

14 MR. SHIRALKAR: Right.

15 DR. BANERJEE: What happens if you make
16 those eight or 32 on each side? You get the same
17 answer?

18 MR. SHIRALKAR: No, eight or 32 it doesn't
19 really matter too much. I mean, we've done those kind
20 of sensitivity studies. The more interesting question
21 might be let's say, you know, you're grouping it for
22 a particular mode and let's say that the reactor is
23 actually unstable in, say, the fundamental mode and if
24 you disturb it in that way, it would attempt to go
25 back to fundamental mode oscillation. And I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we've done some studies like that, that we've done
2 some joint, you know, kind of grouping to see what
3 would happen.

4 DR. BANERJEE: So this is not crucial,
5 actually?

6 MR. SHIRALKAR: It helps us, yes. It
7 should find a solution, but it helps us in terms of
8 reducing the number of groups we use and give a more
9 constance in how we do the calculation.

10 I think I'm done with my background. Oh,
11 no, I'm not.

12 I wanted to share this with you. This is
13 ESBWR natural circulation. The question always comes
14 up how well do you know the natural circulation flow
15 in this plant. And first of all, it's not really that
16 different from an operating BWR. Okay. I mean, it's
17 the same principle. We have the downcomer density
18 that's driving the flow through the core which is at
19 a high void fraction. What we've got now is a chimney
20 to augment that flow. Okay.

21 And so if you calculate the flow through
22 here, it's dependent on the difference in the static
23 heads inside and outside the shroud and then the loop
24 losses that are controlling the flow rate.

25 The downcomer in the ESBWR is fairly open,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 so there is no jet pumps, there are no internal pumps.
2 It's a fairly open downcomer and so we have hardly any
3 resistance in that area. We can calculate a single
4 phase pressure drop reasonably well.

5 The dominant pressure drops are in the
6 core region, the site empty orifice and the two phased
7 flow in the core and for that we have very good data.

8 DR. BANERJEE: What's the velocity in the
9 downcomer?

10 MR. SHIRALKAR: Velocity in the downcomer?

11 DR. BANERJEE: Typically?

12 MR. SHIRALKAR: Yes.

13 DR. BANERJEE: Well, velocity versus
14 bubble rise time.

15 MR. SHIRALKAR: Oh, okay. It's much
16 higher than that.

17 DR. BANERJEE: Much higher than that?

18 MR. SHIRALKAR: Yes. Yes, and you're not
19 going to get bubbles carried under from there,
20 especially you have feedwater coming in over here.

21 DR. BANERJEE: So bubble rise time or
22 velocity is much higher than the downward velocity?

23 MR. SHIRALKAR: Is much lower.

24 MEMBER KRESS: Lower.

25 DR. BANERJEE: So then why wouldn't you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get carry under if you get --

2 MR. SHIRALKAR: Well, because you get
3 condensation right here when the feedwater control
4 comes in.

5 DR. BANERJEE: Oh, okay. The feedwater is
6 coming in at the top.

7 MR. SHIRALKAR: Yes.

8 DR. BANERJEE: Okay.

9 MR. SHIRALKAR: I don't know, it's 10,000
10 kilograms per second divided by the area. I'm not
11 sure.

12 DR. BANERJEE: And the feedwater is coming
13 through spogs?

14 MR. SHIRALKAR: Yes.

15 DR. BANERJEE: On each side?

16 MR. SHIRALKAR: Right.

17 DR. BANERJEE: Thousands of little holes.

18 MR. SHIRALKAR: That's right.

19 So the dominate losses are inside in the
20 orifice in two phase, pressure up in the core for
21 which you have a lot of data, okay? Good data in
22 terms of those losses.

23 The chimney has hardly any frictional
24 losses being very open.

25 The separator has two phase pressure drop

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we have again full scale for typical data for.

2 So generally, you know, these losses are
3 well known and well calibrated. There's not much
4 uncertainty in these frictional losses.

5 The drawing here is proportional to the
6 core and chimney height and the void fraction in those
7 regions. So it turns out that the dominate factor in
8 controlling this is actually the void fraction in the
9 chimney, for which we estimate the uncertainty to be
10 about 5 percent based on our comparisons with data --

11 DR. BANERJEE: Five percent in what?

12 MR. SHIRALKAR: In void fraction.

13 DR. BANERJEE: Five percent in absolute
14 void fraction?

15 MR. SHIRALKAR: Yes.

16 DR. BANERJEE: What's the average void
17 fraction then?

18 MR. SHIRALKAR: It's about 60 to 70
19 percent.

20 DR. BANERJEE: And the quality is roughly?

21 MR. SHIRALKAR: The quality leaving the
22 core is about 20 percent, 25 percent. And when it
23 mixes with the flow from the bypass and it reduces to,
24 say, about 15 percent or thereabouts.

25 DR. BANERJEE: And the flow regime is

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what, roughly?

2 MR. SHIRALKAR: In the -- no the chimney
3 is -- turbulent.

4 DR. BANERJEE: -- turbulent. So why do
5 you think data from a pipe would work in a square
6 duct?

7 MR. SHIRALKAR: I don't see -- yes, it's--

8 DR. BANERJEE: There are edges here.

9 MR. SHIRALKAR: There are edges, but they
10 are similar diameter. And this would be reasonably
11 good.

12 DR. BANERJEE: But wouldn't water
13 accumulate at the edges, I mean the corners? You
14 don't think so?

15 MR. SHIRALKAR: We don't think so. Not at
16 the velocities that we have in the pipe. So you'd
17 probably get a distribution that would be slightly
18 different than circular pipe. On the average I think
19 is dominated by the central region. I mean, it's a
20 fairly large -- very large region.

21 DR. BANERJEE: So you say there is an
22 uncertainty in the void fraction. So if it was 60
23 percent, it might be 55 percent or something like
24 that?

25 MR. SHIRALKAR: Right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Five percent in void
2 fraction.

3 MR. SHIRALKAR: Yes. And so based on that
4 we calculate the core for uncertainty of about 3 to 4
5 percent, one sigma. This is by doing a Monte Carlo
6 analysis where we really always -- randomly, which is
7 not too bad.

8 DR. BANERJEE: But you don't have any test
9 with a chimney and a channel, 16 channels?

10 MR. SHIRALKAR: No, not at full scale.
11 No, we don't.

12 There is some question asked about
13 developing lengths and so on inside that chimney. I
14 think Graham asked about it last time. And there is
15 some data in which you have -- there is a pipe
16 geometry in which the flow is injected toward to what
17 they call the bubbler, which is 37 tubes injecting
18 steam inside that, which is not unlike what we have
19 here. And they found that they reached fully
20 developed flow within about one to 200 times.

21 DR. BANERJEE: Where was this?

22 MR. SHIRALKAR: Russian data.

23 DR. BANERJEE: And what diameter was the
24 pipe?

25 MR. SHIRALKAR: One was .6 meters and one

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was .75 meters.

2 DR. BANERJEE: Can you source that for me?

3 MR. SHIRALKAR: Yes, sure.

4 DR. BANERJEE: Thank you.

5 MR. SHIRALKAR: So if you look at the
6 natural circulation characteristics of this plant,
7 this is a plant at an average power per bundle, which
8 is an average flow per bundle. And this -- I don't
9 know why it's doing that.

10 DR. BANERJEE: Oscillation.

11 MR. SHIRALKAR: Yes. Anyway, this is the
12 characteristic for the ABSBWR. This is the
13 characteristic for BWR 6. And here is the flow
14 characteristic and natural circulation for an ESBWR.
15 And you can see how much larger the flow is compared
16 to the operating plants. And, of course, this is by
17 design.

18 We have a tall chimney that's driving the
19 buoyancy head. We have an open downcomer, which is a
20 big factor of just moving the jet pumps and the
21 internal pumps from this region. And we also have a
22 shorter core and it'll reduce two phrase pressure
23 drop. And all of them combine to give you this large
24 flow.

25 DR. BANERJEE: Why does it move back like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that?

2 MR. SHIRALKAR: That's the point where,
3 you know, this competition between friction and
4 buoyancy. So what happens at that point is that the
5 friction starts to dominate when you get to high
6 qualities. And then the character changes. So what
7 you get is actually a reduction in flow as the power
8 goes up. Because buoyancy reduction is not
9 compensating enough for the friction increase.

10 DR. BANERJEE: Are these mainly the
11 returning losses or is it actual frictional drop
12 through the --

13 MR. SHIRALKAR: This is friction, yes.

14 DR. BANERJEE: It's friction?

15 MR. SHIRALKAR: It's friction to the core.

16 DR. BANERJEE: It's not the turning and
17 the--

18 MR. SHIRALKAR: No, no. It's dominated by
19 the core, friction.

20 ACTING CHAIR RANSOM: Well, some of it
21 must be acceleration. I mean, as you're changing the
22 void and while you're accelerating the flow --

23 MR. SHIRALKAR: Sure. Yes. I mean, it's
24 a total pressure drop in the core that's dominating
25 it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So just to make a point that this -- and
2 we've had stability, we looked at stability in BWRs
3 for many years. So stability, per se, is not a new
4 thing in terms of BWR analysis. And we've been doing
5 this for many umpteen years. And the important factor
6 of stability are fairly well understood. So the power
7 flow ratio or the Zuber number, if you will, the fuel
8 thermal time consistent, neutronic parameters, actual
9 and aerial peaking, ratio of single phase/two phase
10 pressure drop and for regional oscillation the
11 subcriticality of the higher order harmonic mode.

12 So if compare those with operating
13 reactors, I hope you can see these things. But if you
14 look at wide coefficient we're in the range of
15 operating plants. If you look at the core average
16 exist quality, we are around -- we're at natural
17 circulation conditions in operating plants versus
18 ESBWR. Our exit qualities are a little bit lower than
19 the operated plants that we have operating.

20 The bundle average, the bundle exit
21 quality also is a little bit lower than natural
22 circulations in operating plants.

23 DR. BANERJEE: Why do you call that
24 favorable?

25 MR. SHIRALKAR: It's favorable because the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 larger the power to flow ratio, the more adverse --

2 DR. BANERJEE: So --

3 MR. SHIRALKAR: Favorable with respect to
4 an operating BWR natural circulation.

5 DR. BANERJEE: Right. Now having a lower
6 quality means you get a lower flow, right, because
7 your buoyancy head is going to be lower?

8 MR. SHIRALKAR: No. This is -- I'm
9 comparing for a given bundle what is the exit, what is
10 the average condition in that bundle in terms of power
11 and flow. And the higher you make that ratio, the
12 worse it gets in terms of -- the higher two phase
13 pressure drops, you know, and so on.

14 DR. BANERJEE: Okay.

15 MR. SHIRALKAR: Okay. And the ratio and
16 the fuel time constant to the flow transit time, and
17 this governs the attenuation of the power coming back
18 as heat flux. Okay. So the larger the fuel time
19 constant, the more attenuation in terms of the heat
20 flux. And that ratio is for an operating plant it
21 ranges from 3.5 to 6. And for the ESBWR it's larger,
22 mainly because the transit time is faster. So that is
23 favorable for the ESBWR.

24 The harmonics of criticality is
25 unfavorable because the larger the core size, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 smaller the subcriticality. And so that is one factor
2 that is unfavorable for the ESBWR because of the core
3 size. But the dominant one is the ratio of single
4 phase/two phase pressure drop, and that is
5 substantially favorable for the ESBWR because the
6 shorter core length and also the smaller -- we have --
7 rods in these bundles to improve the two phased
8 pressure drop characteristics in the top part of the
9 bundle. And we have a larger relative length above
10 the -- rods in the shorter fuel bundle. And so that
11 gives you a more favorable two phase to single phase
12 pressure drop ratio.

13 DR. BANERJEE: Do you take into account
14 the exit loss here from the top of the bundle?

15 MR. SHIRALKAR: Yes. Yes. The dominant
16 losses are the friction and the local losses; the
17 spacers and the upper -- plate and so on.

18 MEMBER DENNING: What's the significance
19 of the fact that in the second line you relate it to
20 in natural circulation? The others relate to under
21 pumped conditions? Is that right? See, that one.

22 MR. SHIRALKAR: This one?

23 MEMBER DENNING: You qualify it.

24 MR. SHIRALKAR: I qualified it because
25 it's a --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER DENNING: Had natural circulation.

2 MR. SHIRALKAR: Yes.

3 MEMBER DENNING: Yes.

4 MR. SHIRALKAR: Because the -- well, we
5 got a big -- so that's not a factor. But this one,
6 yes, if you look at the rated conditions in operating
7 plant, the qualities are going to be quite a bit
8 lower. And the rated conditions, you know, at
9 operating plants the -- are quite low. So I'm
10 comparing with the natural circulation.

11 MEMBER DENNING: So it would have been
12 unfavorable?

13 MR. SHIRALKAR: Compared to rated
14 conditions it might be unfavorable.

15 MEMBER DENNING: Yes.

16 MR. SHIRALKAR: Yes.

17 MEMBER DENNING: Whereas these others are
18 favorable --

19 MR. SHIRALKAR: Are favorable or in the
20 same range.

21 MEMBER DENNING: Okay.

22 DR. BANERJEE: And you take into account
23 the chimney pressure loss as well?

24 MR. SHIRALKAR: Yes. The chimney does not
25 -- pressure loss, frictional pressure loss. Then of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 course the static head. But the chimney does not
2 contribute a whole lot to the stability transfer
3 function. It gives you a larger flow, but it doesn't
4 have a big effect on the whole transfer function.

5 DR. BANERJEE: But doesn't it have -- I
6 mean, if you could avoid perturbation in the chimney,
7 it will effect the head so it will feed back, won't
8 it?

9 MR. SHIRALKAR: Well, it turns out that
10 the wide perturbations are mostly around subcooled --
11 bounding the core. And by the time you get to the
12 edges of the bundle -- exit of the core, the changes
13 of perturbation, wide perturbation is very small.

14 DR. BANERJEE: But in some turbulent flow
15 you get these sort of void waves traveling, quite
16 significant ones.

17 MR. SHIRALKAR: Yes. You're talking about
18 something that's independent of -- well, you're
19 talking density of the perturbation.

20 DR. BANERJEE: Right. It's not density
21 waves.

22 MR. SHIRALKAR: It depends on the
23 frequency of those things versus what we're talking
24 about here.

25 DR. BANERJEE: What's your frequency?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHIRALKAR: Particularly they are one
2 second. One hertz, thereabouts. And as long as those
3 perturbations are occurring within the chimney, I mean
4 they don't effect the outer wall --

5 DR. BANERJEE: These Ontario Hydro
6 experiments, did you just measure average void or did
7 you also measure the fluctuating void?

8 MR. SHIRALKAR: We measured --

9 DR. BANERJEE: Measured with
10 densitometers?

11 MR. SHIRALKAR: Yes. We measured the
12 average void as well as core void fractions.

13 DR. BANERJEE: And how many densitometers
14 did they use?

15 MR. SHIRALKAR: I think they had like
16 about six beams across, but I'll have to look it up.
17 It's been like ten years ago.

18 Okay. So that finishes my background.

19 Okay.

20 I'd like to step through the LTR now and
21 kind of give you a preview of what's in the LTR.
22 Basically we're using TRACG04 is our code that we use
23 evaluating stability. And we use it for both normal
24 operation and -- I need to correct my terminology
25 here. We actually evaluated not during transients,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 but we evaluate conditions that might result as a the
2 effect of a transient. In other words, if you, say,
3 had a loss of feedwater heating event, your power
4 would go up to some value and you would get to a point
5 which is worse than your normal operating condition.
6 So we would evaluate the stability at the worse
7 condition that we can get as the effect of this
8 transient.

9 We're also using it to analyze plant
10 startup trajectories to show that there is no issue
11 with respect to internal margins in startup. And we
12 requested NRC approval of TRACG for ESBWR stability
13 application.

14 The general licensing requirements, there
15 are two. The more important one is particular
16 disabilities, GDC 12, which requires that power
17 oscillations could either be not possible or they
18 should be suppressed. It turns out that in our case
19 for the ESBWR the most limiting case is at the rated
20 condition That's the highest power to flow point. So
21 it's imperative that we maintain a very large
22 stability margin at rated conditions. So our
23 approach is to basically make sure that oscillations
24 are not possible by maintaining a very large margin on
25 the decade ratio. And if you do that then we would

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 automatically satisfy this criterion through normal
2 analysis and anticipated transients.

3 So licensing basis says to establish a
4 high degree of confidence that oscillations will not
5 occur by imposing great conservative design criteria
6 on the channel core wide and regional oscillation
7 modes. And as a backup, we will implement a detect
8 and suppress solution that the operating plants are
9 using as an defense-in-depth. But we hope we will
10 never get to use that because we want to maintain
11 large margins here.

12 DR. BANERJEE: Can you just give me a
13 brief idea on what this detect and suppress solution
14 is?

15 MR. SHIRALKAR: The detect and suppress
16 solution is basically using a group of local power
17 range monitors to detect a likelihood, the presence
18 of an oscillation. And then taking an action to either
19 insert rods or scram depending on the magnitude of
20 that oscillation.

21 Now, the exact algorithm with which you do
22 this is still under debate. And I think the operating
23 plants are looking at improved solutions to this. And
24 we will implement whatever that final solution is,
25 algorithm wise. But for us it's just a backup. It's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a defense-in-depth. Okay.

2 We've used what is called conventional
3 stability map of core decay ratio versus channel decay
4 ratio and we've calculated uncertainties and
5 statistical limits for these parameters. Let me
6 explain what that means.

7 Historically we've been using a map like
8 this where we represent the core decay ratio and the
9 channel decay ratio. And we basically limit them to
10 be less than .8. The .8 allows for some margin here
11 for uncertainty in the calculation methods. And this
12 is historical based on our old code that was used in
13 the old days.

14 Then we found in the '80s the occurrence
15 of these regional oscillations. And the regional
16 oscillations could occur even if you were inside the
17 boundary of the .8. So we had to chop off this corner
18 of the map to account for regional oscillations. And
19 that was based on empirical data as well as
20 calculations.

21 So we proposed to use this map for the
22 ESBWR as well, but we recognized that because the core
23 site is larger, that this line could move inwards
24 because the subcriticality of the harmonic would be
25 small and therefore there will be less damaging --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 neutronic damaging to that mode. And so we calculated
2 a boundary that is inside this to be our criteria.

3 ACTING CHAIR RANSOM: The narrowing of the
4 region is due to feedback effects?

5 MR. SHIRALKAR: No. The smaller region is
6 just due to the fact that the core is larger. When
7 the core is larger then your subcriticality of the
8 harmonic decreases. It becomes more excite in the
9 larger, easier to excite -- if you will, the core is
10 more decoupled and so easier to excite these modes on
11 opposite sides of the core.

12 ACTING CHAIR RANSOM: But this boundary
13 means that they are possible there, I guess, right?

14 MR. SHIRALKAR: Yes. This boundary means
15 that you could have regional oscillations in this core
16 in a hole here, outside this region.

17 ACTING CHAIR RANSOM: Like on the core
18 decay ratio on channel decay ratio you've put an eight
19 tenths value in. Does that curved line represent one
20 then in terms of tendency for them to exist?

21 MR. SHIRALKAR: Well, that was never very
22 clearly established, but there was some margin in
23 establishing that line. Okay. I mean, we drew it
24 inside of all known data and of calculations, to draw
25 a line was inside all of the data. So it represents

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some conservatism to the occurrence of regional
2 oscillations. Okay.

3 DR. BANERJEE: But not necessarily .8?

4 MR. SHIRALKAR: Not necessarily .8. But
5 I don't want to belittle that because we've gone away
6 from that criteria for the ESBWR.

7 MEMBER KRESS: You used .8 instead of one
8 because of uncertainties, perhaps? You could have
9 used one in --

10 MR. SHIRALKAR: That's right. The .8 is
11 because of uncertainties in our methods, primarily.
12 And from the old code that was being used, the one
13 sigma uncertainty is relatively about .1. So the 2
14 sigma 11.2. And so we set it at .8.

15 MEMBER KRESS: In principle anything below
16 one would have been stable?

17 MR. SHIRALKAR: Exactly. Right. Yes.

18 As a result of the NRC review we revised
19 our approach and we have gone now to a direct
20 calculation of the regional decay ratio and a
21 quantification of uncertainty in the regional decay
22 ration, just like the channel and the core decay
23 ratios.

24 And so now we have a comparison with a
25 regional decay ratio of < 0.8 rather than that map

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I showed you. So the new map looks like this.
2 It's a box. So we want to keep the core decay ratio
3 < 0.8, channel decay ration < 0.8 and the regional
4 decay ratio also < 0.8.

5 And internally we started to impose a
6 design goal on ourselves that at a nominal best
7 estimate basis we want to be in a smaller box about
8 half that, 0.4. So at a 95/95 level, for example, we
9 want to meet the 0.8 criteria. That would be our
10 design limit. But as a design goal internally we
11 would like to have the nominal calculation stay about
12 half of that. And the rationale is roughly like this:
13 That for operating plants in the flow control range
14 you typically operate with decay ratios that are half
15 what the limiting decay ratios are.

16 So in normal operation we want to keep
17 more margin to this design limit. We don't want to be
18 too near the design limit during normal operation.

19 MEMBER KRESS: What design parameters are
20 under your control that allows you to get in that
21 middle box?

22 MR. SHIRALKAR: Well, primarily, you know,
23 we want to make sure that we have enough flow. The
24 power to flow ratio --

25 MEMBER KRESS: So the size of the chimney

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 perhaps.

2 MR. SHIRALKAR: The size of the chimney,
3 the distance in the downcomer in the core, for
4 example.

5 MEMBER KRESS: Yes.

6 MR. SHIRALKAR: You can also play with the
7 y coefficient. You can play with the core design in
8 terms of the phase to single-phase.

9 MEMBER KRESS: You can effect the void
10 coefficient by the fuel enrichment?

11 MR. SHIRALKAR: No, not a whole lot. Yes.

12 MEMBER KRESS: Okay. So you got two
13 things to play with.

14 MEMBER DENNING: No. The third thing
15 probably more important is the ratio of the single-
16 phase/two-phase pressure drop in the fuel.

17 MEMBER KRESS: Okay. And you've done that
18 as best you can.

19 MR. SHIRALKAR: Right. So we've got
20 shorter fuel.

21 MEMBER KRESS: Yes.

22 MR. SHIRALKAR: And a larger region above
23 the -- fuel rod, which is open, more open to control
24 that.

25 MEMBER KRESS: Yes, as you made your fuel

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 even shorter, you run the risk of enhancing the
2 regional fluctuation.

3 MR. SHIRALKAR: No, but we're losing fuel
4 economy. You'd have time to take more fuel out of the
5 core. Yes. So fuel people always want to put more.

6 MEMBER KRESS: So you'd made it short
7 enough that you cut down on the pressure draw but you
8 still have good economy?

9 MR. SHIRALKAR: Right. Yes. I mean, the
10 fuels people would like us to make the rods even
11 longer because --

12 MEMBER KRESS: Yes.

13 MR. SHIRALKAR: -- obviously they want to
14 put more -- load more uranium in there.

15 MEMBER KRESS: Right.

16 MR. SHIRALKAR: But it's going to be a
17 compromise between the stability and --

18 MEMBER KRESS: And so playing with those
19 parameters you're able to get into that middle box?

20 MR. SHIRALKAR: Right.

21 MEMBER KRESS: Okay.

22 DR. BANERJEE: The regional decay ratio is
23 10 by numerical experiments using TRACG and coupled
24 with--

25 MR. SHIRALKAR: All three of them.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: All of them?

2 MR. SHIRALKAR: Yes.

3 DR. BANERJEE: But for others you got
4 other codes that have done it in the past, right?

5 MR. SHIRALKAR: Well, we can also use a
6 frequency to main code to do the regional.

7 DR. BANERJEE: Right.

8 MR. SHIRALKAR: And we have done that and
9 NRC Staff consultants have done that also.

10 DR. BANERJEE: If it's frequency domain,
11 it has to be a linearized system?

12 MR. SHIRALKAR: Small perturbation.

13 DR. BANERJEE: Yes.

14 MR. SHIRALKAR: But here we're talking
15 about decay ratio. We're not talking about light
16 oscillations. The linearized codes are perfectly
17 acceptable here because we are not looking at
18 magnitude of oscillation. We're looking at small
19 decay ratios. We're talking about decay ratios 0.4

20 DR. BANERJEE: You're talking of
21 perturbations which are very small?

22 MR. SHIRALKAR: Yes.

23 MEMBER KRESS: Does the size of the
24 perturbation influence your decay ratio?

25 MR. SHIRALKAR: I'm sorry.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: The size of the
2 perturbation you impose, does that influence your
3 decay ratio?

4 MR. SHIRALKAR: It can to some degree, and
5 I'll show you some results. That's one of our
6 parameters to look at different perturbations to see
7 what effect it has on the --

8 DR. BANERJEE: Well, it's a highly
9 nonlinear system --

10 MR. SHIRALKAR: Nonlinear system and when
11 you calculate the decay ratio, you know, it depends on
12 whether you use the initial part of the transient or
13 the later part of the transient. You can get some
14 small differences. But manageable differences.

15 MEMBER KRESS: When you use the initial
16 part of the transient --

17 MR. SHIRALKAR: Yes, because then they're
18 small.

19 MEMBER KRESS: -- you assume that's a
20 conservative use?

21 MR. SHIRALKAR: We basically what we do is
22 we neglect the first initial rebound, the bound based
23 on the perturbation and then we use the second, third
24 peaks to calculate.

25 MEMBER KRESS: Yes. And normally those

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decay ratios would be higher than if you choose some
2 other part of the decay scheme?

3 MR. SHIRALKAR: Yes and no. Because
4 eventually they get to be so small that you cannot
5 distinguish the --

6 MEMBER KRESS: Yes.

7 MR. SHIRALKAR: Very small. But, yes.

8 Frequency domain codes do not have that
9 issue.

10 So methodologies to calculate these decay
11 ratios at normal conditions and then do a statistical
12 calculation to show that we can meet the 95/95 -- meet
13 the design criteria at the 95/95 level.

14 And the uncertainties and biases include
15 the model uncertainties, experimental uncertainties
16 that are inherent in data comparisons. We don't
17 separate them out.

18 We look at plant parameter variability
19 that includes range of operation and process
20 measurement errors.

21 This is just a table that shows that we
22 tried to address the steps of the CSAU process and
23 which sections of the report address these various
24 steps.

25 I'm sorry. It's too small. I hope you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 have -- it's even worse in the handout.

2 DR. BANERJEE: These are right, right?
3 All perturbations?

4 MR. SHIRALKAR: Yes. Eye test.

5 The point I wanted to make was rather than
6 go through this in a whole lot of detail is these are
7 very similar to the PIRT for operating plants to do
8 it. Okay. I mean, they are virtually -- there are
9 very few differences between the stability phenomena
10 that you get in operating BWR versus any ESBWR. The
11 phenomena are the same. Okay. The parameters are a
12 little different in terms of the flow rates and so on.

13 DR. BANERJEE: But now you have a chimney
14 and presumably there are density waves which move, and
15 you're saying that those density waves are totally
16 uncoupled from the density waves in the core.

17 MR. SHIRALKAR: You're talking flow regime
18 kind of --

19 DR. BANERJEE: Yes. Yes.

20 MR. SHIRALKAR: Yes.

21 DR. BANERJEE: So if they are at the same
22 frequency, let's say the transient time of the density
23 wave or the disturbance wave in the chimney is on the
24 order of one second, they would couple.

25 MR. SHIRALKAR: Yes, but you don't have

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nuclear feedback in that region. So the dominant
2 region is the core where you get the feedback and you
3 get the gain in the transient function when you go
4 from, say, perturbation in the power, pressure to
5 power.

6 DR. BANERJEE: Yes, but the feedback comes
7 through the change in the flow, right?

8 MR. SHIRALKAR: In the change in the flow
9 and -- fraction.

10 DR. BANERJEE: Yes.

11 ACTING CHAIR RANSOM: So on the driving
12 force is related to the void and the -- in the
13 chimney.

14 DR. BANERJEE: Yes, so it has to be. I
15 found that statement very strange, the chimney had no
16 effect on stability. That assumes, of course, that
17 the chimney does not have -- it's sort of an
18 assumption that you don't have density fluctuations in
19 this chimney which coupled with the core.

20 MR. SHIRALKAR: On an average basis --

21 DR. BANERJEE: On an average, of course.

22 MR. SHIRALKAR: On an average basis -- and
23 don't play any role in the stability process.

24 DR. BANERJEE: Right. But at every --

25 MR. SHIRALKAR: Now we're talking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flow regime transitions or, say, of slugs going by or
2 something like that that we have some frequency.

3 DR. BANERJEE: With a fraction of 60 to 70
4 percent you're bound to have that.

5 MR. SHIRALKAR: No, you don't have slugs
6 because --

7 ACTING CHAIR RANSOM: No, now to the core
8 you have a boundary condition that's periodic in terms
9 of void fraction so that what's in the chimney you
10 would think would be periodic as well.

11 MR. SHIRALKAR: Well, I think what you
12 have is sort of a -- and flow. I mean, you can
13 calculate the length it would take for this flow to
14 develop into slugs.

15 DR. BANERJEE: That be long.

16 MR. SHIRALKAR: Yes, that would be very
17 long.

18 DR. BANERJEE: The turbulent flow itself
19 has density waves which are very strong going through
20 it.

21 MR. SHIRALKAR: And those we have not
22 accounted for in terms of whether you -- they might be
23 of exact same frequency as the -- core and might have
24 some influence.

25 DR. BANERJEE: Well, maybe the way to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 handle that would be to simply say that until proven
2 otherwise you would have to take that into
3 consideration and say if you took it into
4 consideration, showed that they were completely
5 different frequencies or something, then define. But
6 lots of data exists on the density waves in terms of--

7 MR. SHIRALKAR: Well, we can look at
8 typical frequency to get that kind of flow.

9 DR. BANERJEE: Yes. Yes.

10 MR. SHIRALKAR: I think it would be
11 extremely fortuitous if they are in exactly the same--

12 DR. BANERJEE: It doesn't have to be
13 exactly the same. They have to be in the general
14 region.

15 ACTING CHAIR RANSOM: Somewhere.

16 DR. BANERJEE: You know, if these are of
17 the order of seconds and the fluctuations in the core
18 that are excited are of the order of seconds, then the
19 potential for coupling exists.

20 MEMBER DENNING: How does that coupling
21 get back to the core, though, is the question?

22 DR. BANERJEE: Through the flow.

23 MEMBER KRESS: Yes, through the flow. It
24 changes the driving force.

25 DR. BANERJEE: It changes the driving

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 force.

2 MR. SHIRALKAR: Well, I'm not sure it does
3 because you've got these fluctuations within the
4 chimney, they're traveling upwards. So whether they
5 change the total pressure drop in the chimney is to me
6 very --

7 DR. BANERJEE: Very unlikely.

8 MR. SHIRALKAR: Yes. It's just very
9 unlikely to me. But you change between the total
10 pressure drop in the core to create flow oscillations.

11 DR. BANERJEE: So how tall is the chimney?

12 MR. SHIRALKAR: Nine meters.

13 DR. BANERJEE: Okay.

14 MR. SHIRALKAR: So you got these things
15 traveling through. And, yes, you may have local
16 oscillation variation, but you got to change the whole
17 pressure up in the whole thing.

18 DR. BANERJEE: Right. Well, how tall was
19 on Ontario Hydro pipe?

20 MR. SHIRALKAR: I think where we measured
21 the void fraction, I think it was about 6 meters or
22 thereabouts. I'll have a check. It's been ten years.

23 DR. BANERJEE: So the issue really is what
24 did they find with the pressure drops. Did the
25 pressure drops, the hydraulic head fluctuate and by

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 how much?

2 MR. SHIRALKAR: No. There was not much
3 variation in the pressure drops.

4 DR. BANERJEE: And the void fraction was
5 about 60 percent?

6 MR. SHIRALKAR: We took a whole range of
7 data from low wide fractions right up to about 80
8 percent.

9 DR. BANERJEE: Including dynamic data?

10 MR. SHIRALKAR: Yes. Dynamic meaning?

11 DR. BANERJEE: I mean you took the time
12 traces of the pressure --

13 MR. SHIRALKAR: Yes.

14 DR. BANERJEE: -- and the voids.

15 MR. SHIRALKAR: Yes.

16 DR. BANERJEE: That would reveal
17 something?

18 MR. SHIRALKAR: Yes, it could.

19 MEMBER KRESS: Well, what was the makeup
20 of your PIRT panel? Was that internal?

21 MR. SHIRALKAR: I'm sorry?

22 MEMBER KRESS: Your PIRT panel? Who?

23 MR. SHIRALKAR: PIRT panel is internal,
24 yes. We relied heavily on the PIRT for the operating
25 plants and we looked at the differences. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 actually, I think I said, you know, we're seeing the
2 main differences come about really only because of the
3 chimney. But I tried to show here that these two
4 green things that are different, there's only two
5 things that are different from an operating plant and
6 they are the chimney void fractions and possibly
7 interactions between chimney cells. And by that I
8 mean is it possible for a chimney cell along with its
9 group of 16 bundles to have some kind of a mode of
10 oscillation by itself. And we looked at that. That
11 perturbing a whole group of 16 bundles inside a cell.

12 DR. BANERJEE: I'm simply saying there
13 should be another entry there which says the dynamics
14 should --

15 MR. SHIRALKAR: Pressure --

16 DR. BANERJEE: Yes. Yes.

17 MR. SHIRALKAR: -- to flow regime changes
18 are inside --

19 DR. BANERJEE: Something like that. Now
20 you may dismiss it at some point, but it has to be
21 looked at.

22 MR. SHIRALKAR: Agreed.

23 MEMBER DENNING: How are we doing time
24 wise, incidentally? Are we running into trouble time
25 wise?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHIRALKAR: Probably.

2 MEMBER DENNING: Probably?

3 MR. SHIRALKAR: Yes, Professor Banerjee
4 has been asking too many questions.

5 DR. BANERJEE: That's what they always
6 say.

7 ACTING CHAIR RANSOM: I think we're
8 already in trouble.

9 MR. SHIRALKAR: Let's see, I'm on -- yes.
10 Slide 29 out of say, about 90. One-third of the way
11 through, I think, in an hour and a half.

12 All right. I'll try to go through a little
13 bit faster.

14 MEMBER DENNING: You may not have any
15 options.

16 MR. SHIRALKAR: I'll try.

17 We had a comparison where we make a
18 comparison in a matrix of the important phenomena
19 versus the models in TRACG which I've established that
20 we have the models required for the analysis. And
21 we've done that in section 4.

22 We've got an extensive database for
23 internal hydraulic effects in general and stability in
24 operating plants in particular. And I didn't want to
25 belabor that here, but if there is an interest in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 looking at that qualification of TRACG versus other
2 BWR data, we can do that either now or maybe later.

3 So as a result of our evaluations we found
4 that we had enough data on BWR stability, but it is
5 mostly at the conditions close to the inception of
6 oscillations because the primary interest for BWRs is
7 when you actually get oscillations and you're looking
8 at decay ratios close to one.

9 Now here we're looking at decay ratios in
10 the order of .04 or .03. So we wanted to make sure
11 that TRACG would do a good job at these low decay
12 ratios as well, because other considerations come in
13 like numerical dampening and so on in the code to make
14 sure that you're not way off somewhere.

15 So we supplemented that data with a few
16 points at low decay ratios. Now by this is by no
17 means the extent of our qualification base because
18 we've got a lot of data that is in the overall
19 qualifications report, but I'd like to highlight just
20 these low decay ratio points.

21 And I think at this point I was going to
22 ask if we could close the session for proprietary
23 information.

24 MEMBER DENNING: Well, there's the
25 question of when we're going to take our break.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIR RANSOM: Ten after 10:00 it
2 was scheduled. Well, why don't we do it now then.

3 DR. BANERJEE: And close it after?

4 MEMBER DENNING: And close it after. We'll
5 be back at quarter after --

6 ACTING CHAIR RANSOM: Five after. Quarter
7 after 10:00. Okay.

8 (Whereupon, at 9:59 a.m. a recess until
9 10:18 a.m. at which point the proceedings went into
10 Closed Session.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 A-F-T-E-R-N-O-O-N S-E-S-S-I-O-N

2 12:49 p.m.

3 ACTING CHAIR RANSOM: We're back in open
4 session. Okay. We're back in open session.

5 MR. SHIRALKAR: I am back. The last topic
6 I have is on the startup of the plant and natural
7 circulation. And I have a few charts I'd like to step
8 through.

9 The natural circulation startup is
10 something that has been done in Dodewaard, but it also
11 been done at a whole lot of coal fired plants where
12 the natural water has been around for a long time. So
13 it's not something that's necessarily been very unique
14 at this point. And provided that you take the proper
15 precautions, shouldn't pose any problems in getting
16 the reactor to fire. But looking at the Dodewaard
17 procedure, which the Dodewaard is a plant which is
18 much smaller than the ESBWR but shared some of the
19 features; the chimney, the core regions, similar range
20 of void fractions and qualities. And the way they
21 started up the plant was that typically after the
22 first cycle you always have enough decay heat to start
23 up the plant without external heaters. But initial
24 cycle you need an external heater to aid the startup.

25 You heat up the reactor coolant to 80 to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 90 degrees C with an auxiliary heater and decay heat.
2 And then they deaerated the reactor coolant by pulling
3 a vacuum on the main condenser with the steam drain
4 line open. They pull the rods to criticality. And
5 then slowly start pressurizing the system by pulling
6 the rods and creating vapor at the top of the chimney
7 region.

8 And as the power pressure increases, open
9 the turbine bypass valves to control pressure.

10 So we intend to follow a similar process
11 to start up the ESBWR.

12 ACTING CHAIR RANSOM: As you deaerate the
13 reactor do you take it down to subatmospheric
14 pressures?

15 MR. SHIRALKAR: Yes, you can --on the
16 vessel.

17 ACTING CHAIR RANSOM: Yes. Okay.

18 MR. SHIRALKAR: You can pull pressure.

19 To give you a brief idea of what I'm
20 talking about, at atmospheric pressure or low pressure
21 we have a significant amount of static head in the
22 system. So when we have, say, one bar pressure at the
23 top in the steam dome we have about three bars or
24 thereabouts at the bottom. And so a significant
25 difference in the saturation temperature as well. So

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as we start heating up the fluid from coming through
2 the core and heat it up in a slow and controlled
3 manner so to maintain kind of a steady temperature
4 distribution, then you get a heat up in the core, it's
5 adiabatic in the chimney and eventually you start
6 getting flashing in the top because the resaturated
7 conditions at the top. And the core is significantly
8 subcooled at the time.

9 And what happens at that point is that as
10 you produce the first vapor in this situation in the
11 top of the chimney, you reduce the static head, you
12 cause an increase in the flow that then collapses the
13 voids and you're back to the no wide situation. So --

14 CHAIRMAN WALLIS: This is a bit like what
15 we were thinking happens in the power situation; that
16 the voids in the chimney --

17 MR. SHIRALKAR: I think --

18 CHAIRMAN WALLIS: -- hence the circulation
19 flow rate?

20 MR. SHIRALKAR: No. Because I think the
21 wides in the chimney, I mean you're already in a
22 situation, you already have significant voiding there.
23 And you have a steady situation as far as the wides
24 are concerned.

25 Now this is at the inception of voiding

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 where you really get these fluctuations happening.

2 CHAIRMAN WALLIS: So the change can be
3 very big?

4 MR. SHIRALKAR: The change can be big.
5 And because you're at a situation where you have a
6 high density ratio and a large amount of void fraction
7 generation.

8 So if you look at a conceptual stability
9 map in, say, the subcooling Zuber kind of plot, a
10 force circulator will have a stability map that looks
11 like this. But an idle circulation has this part that
12 bends back in and this region is called in literature
13 the type 1 instability region. That's between the
14 boiling boundary and until you establish some steady
15 void fraction.

16 And this region here is the conventional
17 density wave region where you're at much high
18 qualities and pressure drops. Okay.

19 So as you start producing voids somewhere
20 in the system you have to traverse this region one,
21 there's no way around it. But what you can do is to
22 make sure that when you start getting the initial
23 small amount of percolation, that you are single
24 phasing the core. And so any velocity oscillations
25 you have are small perturbations in the single phase

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 region without any reactivity issues. Okay.

2 CHAIRMAN WALLIS: So that red trajectory
3 is where you go, is it?

4 MR. SHIRALKAR: Yes. The red trajectory
5 is where we would calculate and took the trajectory.
6 And at this point then you become stable.

7 CHAIRMAN WALLIS: And the reason it starts
8 way up there is because of the density ratio, is it?

9 MR. SHIRALKAR: Yes. And also because you
10 have a large amount of subcooling when you start.

11 So if you look at different profiles for
12 the heat up, now what we want is a profile that heats
13 up like this trajectory A. So you start off slowly,
14 you establish fairly steady conditions and you have
15 the chimney that's heating up and the highest
16 temperature and the lowest subcooling is at the top.

17 Now if you were to heat it up very
18 rapidly, along trajectory C, then what happens is that
19 you can actually start getting voids at the top of the
20 core when you're still subcooling the chimney. And you
21 don't want to do that because that's where you get
22 start getting these condensation oscillations that you
23 want to avoid. Okay. But if you do it carefully and
24 as a controlled heat operate, then you can get a
25 situation like A and then progresses to B as the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 boiling boundary progresses down into the chimney.

2 CHAIRMAN WALLIS: Or the flashing
3 boundary.

4 MR. SHIRALKAR: I'm sorry.

5 CHAIRMAN WALLIS: Which is the flashing
6 boundary?

7 MR. SHIRALKAR: Yes, that's right. That's
8 the flashing boundary. And this is the margin to
9 flashing and it's characterized by what we call a
10 flashing number. That's basically the difference in
11 the saturation enthalpy at this pressure and that
12 pressure.

13 CHAIRMAN WALLIS: Now there is a cause of
14 kind of geysering where as you get more voids, you
15 decrease the static head and it --

16 MR. SHIRALKAR: No, you don't really get
17 that because the feedback from the downcomer is
18 stronger. So what happens is that as you produce a
19 static head you get increased flow from the downcomer.
20 And that's a much stronger mechanism than geysering
21 is.

22 ACTING CHAIR RANSOM: Well, actually
23 you're trajectory B is a flashing trajectory. I mean,
24 as you show, you go up to the point of saturation and
25 then presumably flashing begins and you have two-phase

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 on that.

2 MR. SHIRALKAR: Yes. B is actually
3 following up on A and it's progressed later on and
4 come down at some point as it's propagated further
5 into the chimney.

6 So the startup procedures we're proposing
7 is similar to what Dodewaard used. Use a mechanical
8 pump and the vacuum pumps and the condenser to pull a
9 vacuum to deaerate in the deaeration period.

10 CHAIRMAN WALLIS: Those are presumably
11 steam injectors, are they, rather than mechanical
12 pumps?

13 MR. SHIRALKAR: Yes. They're mechanical
14 pumps and --

15 CHAIRMAN WALLIS: They're not steam
16 injectors? They're actually mechanical pumps?

17 MR. HINDS: Sorry. This is David Hinds.

18 Mechanical vacuum pumps are used for the
19 initial portion of the startup and then beyond that
20 after we have a steam environment in the plant started
21 up, then we use the steam generator injectors.

22 MR. SHIRALKAR: When we finish the
23 deaerate, we go to the next chart here and show you.
24 So this is the deaerate period in the beginning. And
25 then we're starting up on this trajectory where we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heating up.

2 In the startup period we had to isolate
3 the vessel. Now you can close it -- you can close
4 the MSIVs or preferably you can close the turbine and
5 stop -- the control valves and the bypass valves to
6 get the system bottled up so that you can start
7 building vapor pressure.

8 And then start with bearing control rods.
9 Use efficient power to heat the water. Maintain the
10 water level below the main steamline elevation. You
11 pressure the RPV with vapor generation at the top of
12 the stack and not in the core. And then the core
13 remained subcooled due to the large static head.

14 And you can use the RWCU system, cleanup
15 system can be used to enhance the coolant flow and
16 reduce thermal stratification in the lower plenum.

17 CHAIRMAN WALLIS: Now, do you have some
18 sort of guidance for the operators about how the
19 increasing pressure and power are related? Presumably,
20 you don't just increase the power or you have to
21 increase the pressure in some way along with it or
22 something?

23 MR. SHIRALKAR: Yes. And then the
24 specific guidelines for the ESBWR I don't think are
25 written yet. But they would have to be written to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 provide that kind of guidance.

2 And when the system is pressurized to 63
3 bars or thereabouts, then you start controlling the
4 pressure with the turbine control rods and the bypass
5 valves and prepare to roll the turbine.

6 So that's the same -- what I talked about
7 depicted here in terms of pressure versus time.

8 Now we have made calculations with the
9 TRACG of ESBWR startup. We made these calculations
10 without nuclear feedback, without neutronics feedback.
11 The rationale being that we want to achieve this first
12 part of the transient before we get any voiding in the
13 core, so no reactivity feedback at all.

14 We started up with three different rates
15 of heatup; 15 megawatts which corresponds to an
16 increase in temperature of about 30 degree C per hour.
17 At 85 megawatts you get about 55 degrees C per hour
18 and that is typically our tech spec on how fast you
19 can heat up in operating BWRs because of limitations
20 and thermal stresses and other issues.

21 And then just for the heck of it we tried
22 a much larger, a 125 megawatt, which would be like 82
23 C per hour.

24 DR. BANERJEE: Well what other temps?

25 MR. SHIRALKAR: These are steps that you

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 take after you've gotten to the high pressure, that's
2 63 bars. And then they start increasing the power
3 faster so that you can get up to rated power.

4 This is the corresponding pressure
5 responses heating up to -- pressurizing to about 63
6 bars in each case and then starting -- then opening
7 the control valves and increasing the power. At that
8 point you are well passed any concerns about the low
9 pressure oscillations.

10 This is the inlet subcooling and the inlet
11 to the hard burn. It starts out very high, which is
12 the reason for the high subcooling number initially,
13 and then decreases as the plant heats up and
14 pressurizes.

15 This is the one that probably is of
16 interest. That is the calculated core inlet flow at
17 these three different heatup rates. And you can see
18 start getting a little noisier at the lowest heatup
19 rate, there's a little more noise here at 85
20 megawatts. And you're getting more noise now you get
21 to the higher flow rate.

22 CHAIRMAN WALLIS: Now what's the decay
23 ratio when you have green noise?

24 MR. SHIRALKAR: Didn't try to calculate
25 decay ratios here.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Well, presumably it's
2 growing some of the time and decaying other times?

3 MR. SHIRALKAR: Yes. But it's
4 inconsequential in terms of the overall progression of
5 the transient. It's not picking up. It's not going to
6 a situation where it's explosive kind of a situation.
7 All we care about here is to make sure that that's
8 nowhere near any thermal limits.

9 This is the corresponding oscillation and
10 flow and the part bundle exit. And you can see some
11 noise here in the flow as you're heating up. And then
12 eventually you establish with a steady boiling
13 conditions and the noise stops. And the reason for
14 this noise, as you can see it here, this is the void
15 fraction in the separator. The top, the very top of
16 the separator. So when you first start getting these
17 voiding happening in the top of the separators, you
18 get that kind of oscillation that we talked about
19 where you get this increased void, it increases the
20 flow, it quenches the voids and then that cycle
21 repeats.

22 Typically, the cycle has a period of about
23 15 to 25 seconds. So it's very slow. It's an
24 enthalpy wave propagation rather than an density wave
25 propagation. Enthalpy has to propagate all the way

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 down the core up to the chimney. Now here the
2 propagation time in the chimney is important because
3 you're talking about enthalpy propagating all the way
4 to the top. And so time period is more like 15 or 45
5 seconds.

6 DESIGNATED OFFICIAL CARUSO: What's the
7 oscillation that occurs at about 23,000 seconds?

8 MR. SHIRALKAR: Say that again.

9 DESIGNATED OFFICIAL CARUSO: What's the
10 oscillation there that's occurring at about 23,000
11 seconds?

12 MR. SHIRALKAR: Here?

13 DESIGNATED OFFICIAL CARUSO: Yes.

14 MR. SHIRALKAR: These are small changes in
15 the void fraction and in the separator as well. But
16 these are -- the main concern was generally over here
17 where you have a much lower pressure. By this time
18 you run to fairly high pressure.

19 DR. BANERJEE: But there are some of those
20 oscillations which seems quite large, right?

21 MR. SHIRALKAR: This is an oscillation in
22 void fraction.

23 DR. BANERJEE: I mean to the 23,000
24 seconds. Keep going. Yes, right -- there's one big
25 one past there.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SHIRALKAR: This one here? Yes.
2 That's when you start -- you open up the control
3 valves and you get some depressurization when you do
4 that.

5 ACTING CHAIR RANSOM: The separators,
6 these are void fractions in the separator component?

7 MR. SHIRALKAR: Separators. Separators.
8 Not in the core.

9 ACTING CHAIR RANSOM: And so they start
10 out flooded, I guess, right?

11 MR. SHIRALKAR: Yes. And this is the
12 transient for the higher power rate. Now the
13 interesting thing that happened here was that
14 initially we got a fairly high spike in the void
15 fraction in the separators and that produced an
16 increase in the flow such that it stopped the voiding
17 until quite a bit later, and then it started voiding
18 again at that point in the separator resulting in a
19 higher flow rate.

20 ACTING CHAIR RANSOM: Do you have any feel
21 for how much of this might be noise in the
22 calculations as opposed to physical effects?

23 MR. SHIRALKAR: I think that physical
24 effects in the sense, and you know that when you first
25 put this void in the separator you're going to produce

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this kind of oscillation. How much of it is physical
2 versus what is calculational, I'd have to guess and
3 say I think it's mostly physical.

4 DR. BANERJEE: They're actually pretty
5 long times, right?

6 MR. SHIRALKAR: Yes, these are long times.
7 So the period here is like 15 seconds or 25 seconds.
8 And this is the powerful rate which we are going to
9 get to, but this shows sort of prolonged period here
10 where the separator is trying to make up its mind
11 whether to have voids or not. But it's flashing and
12 then quenching and then flashing and quenching and
13 then eventually starts building up more of a steady
14 void fraction.

15 At this point now the middle part of the
16 separator is also beginning to develop some voids.
17 All this was only in the very top part of the
18 separator.

19 Now this show the void fractions in the
20 core. This is the top cell in the highest power bundle
21 in the core.

22 CHAIRMAN WALLIS: Well, these voids aren't
23 collapsing in the separator, are they? They don't
24 condense?

25 MR. SHIRALKAR: No. It won't condense.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: They just pass through?

2 MR. SHIRALKAR: They just pass through.

3 DR. BANERJEE: Now do you have

4 observations of this nature in Dodewaard?

5 MR. SHIRALKAR: We don't. In Dodewaard
6 they never saw any oscillations on the APRNs. So ten
7 years ago when we are interested in the ESBWR we said,
8 look, look harder. See what you can find. And the
9 final startup they -- you know Dodewaard shut down
10 many years ago. But the final startup they did a
11 special slow startup just look at various points and
12 see if they could see anything.

13 There was no indications on the APRMs, but
14 then they did some oracle relation functions, they
15 could surmise that there must be some slow damp
16 velocity variations.

17 DR. BANERJEE: Well, the APRMs are seeing
18 all liquid, right?

19 MR. SHIRALKAR: Yes.

20 DR. BANERJEE: There's no way, but they
21 had no flow rates measurements, nothing?

22 MR. SHIRALKAR: No. It didn't show up in
23 the flow rate measurements. The only way that they
24 surmised it was by doing all the correlation function
25 of APRM and -- so whatever it was, it was more like

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 noise in the flow than anything else.

2 DR. BANERJEE: So if you simulated that
3 with TRACG --

4 MR. SHIRALKAR: WE did.

5 DR. BANERJEE: Did you see any
6 oscillations?

7 MR. SHIRALKAR: We got some. We got
8 oscillations that were noticeable in the velocity but
9 not in anything else. In the single phase region.

10 So the core is basically on void. And
11 this is the top still at the hot channel that's
12 showing small amount of subcool voids.

13 This is the higher power level. And then
14 this one is the highest power level. But now we're
15 beginning to see some voiding in the top of the core
16 in the hot bundles. And that's probably getting down
17 to, say, you have 36 cells, it's probably getting down
18 about 8 to 10 cells into the core. And I think this is
19 leading to somewhat more noisy behavior than we would
20 like. This is the pickup rate that is beyond what we
21 would be allowed by tech specs.

22 DESIGNATED OFFICIAL CARUSO: Could you go
23 back to the previous slide? No, the one before that.
24 I'm sorry.

25 At 24,000 seconds you raise the void

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fraction. There's something that occurs there, right?

2 MR. SHIRALKAR: Yes. Yes. Then we go into
3 the normal startup. We raise -- we've gone up to 63
4 bars so now we're raising the power level.

5 DESIGNATED OFFICIAL CARUSO: Okay. Now
6 you have the oscillations that are occurring there at
7 the exit. If the plant had just been allowed to sit
8 there at that power level, how much would those
9 oscillations grow?

10 MR. SHIRALKAR: These oscillations here?

11 DESIGNATED OFFICIAL CARUSO: Yes.

12 MR. SHIRALKAR: What is the magnitude of
13 oscillation? I mean in void fraction?

14 DESIGNATED OFFICIAL CARUSO: Well, I'm
15 just saying, you seem to have terminated those
16 oscillations by doing something in the plant.

17 MR. SHIRALKAR: Yes.

18 DESIGNATED OFFICIAL CARUSO: And if the
19 plant had just sat there, what would have happened to
20 those oscillations? Would they have damped out or
21 would they have continued to grow? Because they look
22 like they're growing.

23 MR. SHIRALKAR: I think -- I can't answer
24 that question because we didn't the simulation longer.
25 But my guess is they probably would have grown

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 somewhat before they -- before they settled down to
2 some mean value.

3 CHAIRMAN WALLIS: So it's sort of
4 convenient that you raised it.

5 MR. SHIRALKAR: Well, we sat there for --
6 we're getting to about 63 bars at that point and then
7 we start depressurizing or opening up the valves and
8 raising the power level.

9 See, the next one.

10 CHAIRMAN WALLIS: It goes back to the
11 beginning.

12 MR. SHIRALKAR: It's the wrong button.

13 CHAIRMAN WALLIS: Maybe you can go
14 backwards from the end.

15 See, in this case you got this noise and
16 then it died out. This is at higher power level.
17 Same thing happened here. So my guess is if you had
18 waited long enough, it probably would begin at similar
19 characteristic.

20 DR. BANERJEE: What causes the
21 oscillations?

22 MR. SHIRALKAR: Down here? I'm not sure.
23 I haven't looked at it very hard. Our main interest
24 was up here where we're looking at possibility of
25 large scale oscillations when you first start the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 voiding process. We can look at that.

2 And the last one is we calculated -- I
3 mean, so we have this small oscillation in the
4 velocity while heating up, but what is the impact of
5 that. And my bottom line is that it really don't have
6 any impact. This is the calculated critical power
7 ratio and we are used to looking at critical power
8 ration to the order of one. Because heat fluxes here
9 are so low, we're talking about critical power ratios
10 on the order of 40. There's absolutely no impact on
11 thermal limits -- heat fluxes are extremely low and we
12 got basically single phase flow in the core.

13 CHAIRMAN WALLIS: Now is there a boiling
14 boundary that's moving up and down with these
15 oscillations?

16 MR. SHIRALKAR: Yes, but we're talking
17 there about the core being essentially single phase.
18 You know, there's a small amount of void at the very
19 top of the hot bundle.

20 CHAIRMAN WALLIS: The core is subcooled?

21 MR. SHIRALKAR: It's subcooled, yes.

22 And TRACG calculates small oscillations
23 but they're inconsequential because the core flow is
24 single phase, no oscillation in neutron flux and large
25 thermal margins. But if you raise the power of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heatup fast enough you can probably get into trouble.
2 And those heatup rates would not be allowed to occur
3 beyond by tech specs.

4 And we go beyond this initial phase to
5 establish the table void fraction in separator and
6 chimney and then you get a small extension to raise
7 power.

8 Now these calculations are done without
9 neutronics feedback with the assumption that we
10 wouldn't have -- we were preventing void from forming
11 in the core. Well, the Staff asked us to go back and
12 repeat this calculation with neutronics feedback. And
13 we have done that and the results are very similar to
14 the situation. So essentially it confirms the point
15 that neutronics feedback is not important when you
16 have basically a single phase core situation.

17 ACTING CHAIR RANSOM: Neutronic feedback
18 in this case was just you moderate your temperature?

19 MR. SHIRALKAR: Yes.

20 ACTING CHAIR RANSOM: Primarily I guess
21 fuel temperature maybe enter into it.

22 MR. SHIRALKAR: Right. We did a simulation
23 where we started out with some rod -- pull rods kind
24 of in the startup mode. And then looked at the power,
25 the full responses.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 But that is my final slide unless you have
2 any questions.

3 Thank you.

4 CHAIRMAN WALLIS: Let's see, now TRACG
5 predicts all these interesting things. What's the
6 check that they're right? Is there a check on the
7 validity of these calculations or you just look at
8 them and say that TRACG's predicting something and
9 we've got to believe it.

10 MR. SHIRALKAR: Well, we've got some
11 experimental data of this startup kind of phenomena in
12 the -- in Japan.

13 CHAIRMAN WALLIS: And you have the
14 comparisons with data then that showed support of
15 this?

16 MR. SHIRALKAR: And we've compared with
17 the Dodewaard startups and with the --

18 CHAIRMAN WALLIS: Because I thought we
19 were supposed to get to sort of validate TRACG. And
20 you're just simply showing us predictions of TRACG for
21 ESBWR. That's no validation of anything.

22 MR. SHIRALKAR: Well, that's included in
23 the validation report.

24 CHAIRMAN WALLIS: Which is something we're
25 supposed to have read?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIR RANSOM: Is that a GE report
2 you're referring to?

3 MR. SHIRALKAR: Yes. It's a GE report.

4 CHAIRMAN WALLIS: Is that -- that we've
5 never seen.

6 MR. SHIRALKAR: In fact, it's called TRACG
7 Qualification for ESBWR. I think the Staff has the
8 report.

9 ACTING CHAIR RANSOM: When was that
10 published?

11 MR. SHIRALKAR: It was first -- first
12 edition in the ESBWR days ten years ago and then
13 revised maybe five years ago.

14 MS. CUBBAGE: This is Amy Cabbage.

15 That was the one now this morning I said
16 it had been sent to the Committee earlier, but I could
17 get you another copy of that immediately. We have all
18 that electronically at the office. It's all in ADAMS
19 also.

20 CHAIRMAN WALLIS: Well, don't give us
21 anything in ADAMS. It's hopeless. I'm not sure any
22 member of the Committee has ever used ADAMS.

23 ACTING CHAIR RANSOM: Yes.

24 CHAIRMAN WALLIS: Does it work?

25 MEMBER KRESS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: This is a proprietary
2 presentation.

3 MS. CUBBAGE: Graham, we are going to be
4 open for the beginning and then we're going to close,
5 then we're going to reopen. The slide packet you have
6 in front of you has all the slides. The audience just
7 has the open slides at this time.

8 MR. LANDRY: Okay. My name is Ralph Landry
9 from the Staff. And as Amy said, the presentation
10 which we have today is going to have open material
11 followed by proprietary material.

12 We put the statement on the cover slide
13 just to indicate that this master set that we're using
14 does contain proprietary information.

15 As we go through the presentations we'll
16 get through my part and through Veronica Klein's part
17 and then we get into the remainder, we'll be in close
18 session.

19 The members of the review team that are
20 with me this morning are Veronica Klein, Peter Yarsky
21 from the Staff and our consultants, contractors, Jose
22 March-Leuba and Jay Spore. And I'll go through in a
23 few minutes the individual responsibilities during
24 this review.

25 As an overview, I'd like to first go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through a little recap of some of the history that
2 we've had with ACRS of looking at TRACG. And then
3 we'll go into the scope of the review, the objective
4 of the review as far as what we are presenting today.

5 And we'd like to remind everybody, as has
6 been said several times this morning and again we're
7 going to have to repeat it this afternoon, that this
8 review is limited to the TRACG code and its
9 application. It is a the methodology and the procedure
10 for using that methodology to predict stability in the
11 ESBWR. This is not a review of the ESBWR.

12 We had to use models for the ESBWR to
13 conduct the review. However, we are not passing
14 judgment or making any statements regarding the
15 acceptability of the ESBWR design. We are simply
16 coming to the bottom line of the acceptability of the
17 TRACG code.

18 CHAIRMAN WALLIS: Well, the predictions of
19 the ESBWR design that we have seen don't tell us
20 anything about how good TRACG is. They just are
21 predictions of ESBWR.

22 MR. LANDRY: We will go through our
23 presentations and tell you some of our conclusions
24 regarding TRACG and how good it is.

25 We're going to discuss a little bit about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the approach that was taken in the review and who the
2 reviewers are. I'll go through again the reviewers
3 and what their responsibilities were.

4 And then we're going to talk about the
5 results of the review. And this is where we will
6 breakout into the individual members of the team. They
7 will present the parts of the review which they have
8 primary responsibility for.

9 And then we'll go back and go to
10 conclusions.

11 Now, during the presentations we are going
12 to make three conclusions at the end of each
13 presentation that are regarding the parts that we
14 reviewed. But then when we get to the end we're going
15 to pull it altogether and give a complete sort of
16 conclusions regarding the code.

17 DR. BANERJEE: What is SNPB?

18 MR. LANDRY: That is the abbreviation for
19 the Nuclear Performance and Code Review Branch. And
20 obviously that statement begins with an S.

21 DR. BANERJEE: Yes. Where does that come
22 from?

23 MR. LANDRY: It took about three weeks
24 before we figured out where the S came from. When the
25 reorganization was put into place in NRR where it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 broken down into three associate directorships. And
2 under each associate directorship there were a number
3 of branches. Or excuse me, a number of divisions and
4 then a number of branches. Our division was the
5 division of safety systems. So all the branches under
6 our division begin with an S, safety.

7 Previously we've been the ACRS on TRACG on
8 two occasions. In August/September with the Thermal-
9 Hydraulic Subcommittee and then the full Committee in
10 2001 talking about the application of TRACG to
11 anticipated operational occurrences in BWRs, the
12 operating BWR fleet.

13 We were back again talking about TRACG in
14 January/February when we talked about the application
15 of TRACG to the LOCA in the ESBWR.

16 So we've been here on two occasions
17 talking about TRACG and its applicability; once to the
18 operating fleet and once to the ESBWR. And today
19 we're here to talk about the applicability of TRACG to
20 the ESBWR again, but for analysis of the stability.

21 As I've said and others have said so far,
22 the objective of this review was to determine the
23 acceptability of TRACG for prediction of stability in
24 the ESBWR advanced reactor design. This review is
25 limited to the ESBWR design. We are making no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 statements about the applicability of TRACG to
2 analyzing stability in any other operating plant. This
3 is limited to prediction of oscillation in the ESBWR.
4 It's limited applicability to anticipated operational
5 occurrence. And we'll get into a further definition.
6 Bharat went through a definition this morning of what
7 is meant by that, and we'll go through it again and
8 explain what we mean by applicability to calculation
9 of stability for AOOs.

10 And it is limited to the early phases of
11 the startup, as Bharat previously explained.

12 The approach that was taken in the review
13 follows the CSAU approach. This is the approach that
14 was taken by the applicant, by General Electric. They
15 have followed the CSAU approach in determining the
16 acceptability of the code when determining the
17 uncertainties in the code. This is involved review of
18 the PIRT and on the identification and ranking table.
19 We've reviewed some specific models within the code in
20 great depth. We've reviewed the assessment cases that
21 were run. We've reviewed the numerics used in the
22 code and in the methodology. And we performed
23 independent calculations --

24 CHAIRMAN WALLIS: Excuse me. All that
25 stuff about explicit and implicit methods and how that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 seems to be a funny mix of them when they did it --

2 MR. LANDRY: That is proprietary and we
3 have to go into closed session to discuss that.

4 CHAIRMAN WALLIS: We're not allowed to
5 talk about that?

6 MR. LANDRY: No.

7 CHAIRMAN WALLIS: And did you understand
8 it?

9 MR. LANDRY: Well, I know -- did. I won't
10 make any plans to it, but --

11 DR. BANERJEE: Wait until we get closed
12 session.

13 MR. LANDRY: We've performed independent
14 calculations using the TRACG code. We've performed
15 independent calculations using the LAPUR code and
16 using independent void modeling methods for that was
17 done by Jay Spore. And Jay will go through those.

18 The reviewers that were involved in the
19 review include Veronica Klein. Ms. Klein has been
20 with us for three -- three years.

21 MS. KLEIN: Three and a half.

22 MR. LANDRY: Three and a half years. She
23 is an excellent reviewer as --

24 CHAIRMAN WALLIS: Excuse me. Were these
25 independent calculations, GE seems to regard these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 transients as being very close to a second order down
2 system. It would seem that you ought to be able to
3 develop a simple model which would represent that.
4 And this would be very helpful in convincing us that
5 the physics are being captured. It's just a simple
6 result, it ought to have a simple explanation.

7 MR. LANDRY: Why don't you wait, Graham,
8 and let us get through the --

9 CHAIRMAN WALLIS: Rather than using TRACG
10 for everything.

11 MR. LANDRY: Jay has pulled out particular
12 models and generated -- grades that particular models
13 that look at specific points. So let us get through
14 some of those explanations.

15 CHAIRMAN WALLIS: You were talking about
16 what you've done for independent calculations. There's
17 no bullet that says simplified model which captures
18 the physics, right?

19 MR. LANDRY: Not of the entire transient,
20 no.

21 As I was saying, Veronica Klein has been
22 with us for a few years now. And has been given the
23 lead responsibility for this review.

24 During the past year or two years I've
25 been very heavily involved in the 55.6A work and felt

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that it's time to start transferring knowledge and
2 make sure that some of our younger staff members come
3 along and can take over in a lot of the lead
4 responsibilities.

5 Veronica has done an excellent job with
6 leading this review. She went out to San Jose and
7 lead an audit of GE. And she and Peter Yarsky went
8 down to Wilmington a time with the GE/GF code
9 developers and code modelers studying the way the code
10 is used and the procedures for using the TRACG code.

11 Now Peter Yarsky came to us in September
12 after finishing his Ph.D at MIT in reactor physics.
13 He's one of our reactor physics experts and has done
14 a lot of modeling for his work today.

15 Jose March-Leuba is the world renowned Dr.
16 March-Leuba, world traveler also.

17 Jose, as you heard Bharat refer to this
18 morning, 25 years ago was one of the originators of
19 one of the thought on how to phase or regional
20 oscillations may occur. Jose has had a long history of
21 reviewing stability and is one of the leading
22 authorities on stability analysis.

23 Jay Spore started this work with us when
24 he was at Los Alamos National Laboratory. He has since
25 left LANL and is now with Information System

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Laboratories. He is a numerist and a code developer
2 and modeler in his own right and has been the
3 responsible person for reviewing the numerics in the
4 code.

5 As I said, we're each going to give some
6 brief conclusions. Some of the brief conclusions as
7 a lead in. I know I haven't given you any of the
8 basis for these, but we will give you the basis for
9 these conclusions as we move along through the
10 presentations.

11 CHAIRMAN WALLIS: Well, the first bullet,
12 I mean TRACG can be wrong and can give results. We
13 know that. How do you measure its capability?

14 MR. LANDRY: And that we are going -- as
15 I said, that we are going to give out as we go through
16 the presentations. I'm simply leading off with some
17 statements of conclusion.

18 To give you an idea of where we're going
19 with this discussion this afternoon, first is that
20 TRACG is capable of calculating stability in the
21 ESBWR.

22 CHAIRMAN WALLIS: Well, it's a Graham
23 Wallis back of the envelop calculation can calculate
24 stability, too. But I don't say it's much good.

25 MR. LANDRY: We didn't consider the model

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculation --

2 CHAIRMAN WALLIS: I know, but you see what
3 I'm getting at. And there has to be some tests of
4 ability.

5 MR. LANDRY: Well, we're going to explain
6 some of this, Graham, why we believe the code to be
7 capable.

8 MEMBER DENNING: But when you say it's
9 capable you mean within the accuracy required for this
10 specific application?

11 MR. LANDRY: Yes, correct.

12 CHAIRMAN WALLIS: Well, with some
13 specifications?

14 MR. LANDRY: Correct.

15 CHAIRMAN WALLIS: You have specifications
16 of what it has to be able to do?

17 MR. LANDRY: This will come out in our
18 discussion. And this comes up further down the list of
19 these conclusions. That goes to the bottom; that it's
20 not only the specification, it's the procedure that is
21 described. It's not just the code that is reviewed.
22 It's the procedure in using the code also that we have
23 stated as our conclusion that not only is the code
24 capable and acceptable, but that you must use the
25 procedure that has been defined also. You can't go

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 off and use a different procedure for using the code
2 and our conclusion would still apply.

3 CHAIRMAN WALLIS: Now that means noting
4 and all those boxes and everything?

5 MR. LANDRY: We'll get into a lot of these
6 discussions.

7 CHAIRMAN WALLIS: Is that what you mean by
8 procedures?

9 MR. LANDRY: Yes.

10 We also concluded that TRACG's stability
11 procedure can be applied to an ALO once a new steady
12 state condition has been achieved.

13 CHAIRMAN WALLIS: Are you going to
14 conclude that TRACG gives results correct within
15 certain acceptable limits?

16 MR. LANDRY: That is within the
17 uncertainty which has been defined. An uncertainty
18 analysis has been performed and we will conclude that
19 that is an appropriate uncertainty.

20 CHAIRMAN WALLIS: Well, again, it went
21 through the motions.

22 MR. LANDRY: We'll make some more
23 conclusions about this. You have to look at the
24 assessment and we'll talk more about the assessment
25 cases and the conclusions in a little bit. We have to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 get into closed sessions to go into that, Graham.

2 CHAIRMAN WALLIS: Okay.

3 MR. LANDRY: And as Bharat has described,
4 we are also going to make some statements regarding
5 TRACG's ability to predict the startup trajectory
6 stability for the first four startup phases.

7 And with that, I'd like to turn the
8 presentation to Veronica Klein.

9 MS. KLEIN: Hi. My name is Veronica Klein.
10 And as Ralph mentioned, I'm a member of the Nuclear
11 Performance and Code Review Branch. And my role in
12 this review was I did the overall coordination between
13 the review of our contractors and the staff. And so
14 today I'm going to give you just a brief overview of
15 where our review our was focused and perhaps a preview
16 of some of the reviews that are to follow.

17 Now as Ralph mentioned, the applicant
18 followed a CSAU approach and we reviewed -- some of
19 the main areas in which we reviewed were the code
20 applicability, the PIRT, the assessment, the bias and
21 the nodalization. In addition, we reviewed the
22 calculation procedure, the xenon assumptions and
23 TRACG's capability of modeling oscillations during
24 startup.

25 And as Ralph has also mentioned, we had

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 some assistance from some of our experts. Dr. March-
2 Leuba who is an expert in stability, he took the lead
3 in reviewing the PIRT and also the nodalization and
4 the startup. And he was also just our resource for any
5 sort of ESBWR stability features in which we needed to
6 understand.

7 And Jay Spore was our expert on numerics
8 and TRACG models. And he took the lead on reviewing
9 the code applicability and the assessment and the bias
10 and uncertainty and made contributions to the review
11 of the PIRT. And he and Jose will be presenting their
12 results following the presentations of the NRC Staff.
13 And the Staff has reviewed the contractor's report on
14 this topical, and we have found it to be acceptable.

15 Now, there are several considerations in
16 which -- well, there are several items in which we
17 found to be important for predicting stability in
18 ESBWR but were not part of the scope of this review.
19 And the first four items on this list we are
20 considering as inputs into the model, and they're all
21 handled in their own topical reports and will be
22 reviewed separately. And these are the dynamic back
23 conductants input, the critical power correlations,
24 the cross section generations and the ESBWR fuel.

25 The next two bullets were not submitted as

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 part of this application and are considered outside of
2 the scope and will be reviewed at a later time. And
3 that's stability during ATWS events and stability with
4 transient xenon conditions.

5 Now, our review of TRACG we tried to
6 expand upon the previous reviews that were performed
7 in the past. And so for when we reviewed the code
8 applicability we tried to keep our focus on the models
9 that were important for predicting stability, such as
10 void fraction. And we also reviewed in detail the
11 explicit integration scheme. And in our review of the
12 PIRT we only reviewed the phenomena which we
13 considered important for the prediction of stability
14 events.

15 And in the review of the assessment of
16 TRACG we did look at the current assessment base,
17 which has been mentioned by GE, that is in these
18 preceding documents. And we have reviewed that
19 information, plus we've also reviewed the information
20 which was contained in the topical that had tests that
21 were specific or that were done more specifically to
22 address ESBWR stability.

23 And we've also reviewed in detail the bias
24 and uncertainty. GE has used a previously approved
25 statistical methodology which we have also reviewed

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 and have approved that in the past.

2 We approved their nodalization scheme and
3 in particular, GE uses a fine axial and radial
4 nodalization scheme for performing their calculations.

5 The range of our application of this
6 review only covers steady state conditions. We also
7 cover the range of off normal steady state conditions,
8 and this has also mentioned twice. What this really
9 means, but this is for the AOO condition that are just
10 steady state conditions which may seen during an AOO.
11 And we also reviewed the applicability of TRACG for
12 startup.

13 In support of this review we had performed
14 a number of calculations. We have performed audit of
15 GE calculations. We have visited the San Jose offices
16 and looked at their calculations, as well as visiting
17 the Wilmington offices and looked at their
18 calculational procedures in detail and have used TRACG
19 the same way in which GE does to get a better idea of
20 how they do their calculations.

21 We've also performed independent
22 calculations using TRACG. We've performed independent
23 calculation using LAPUR, which is a frequency domain
24 code. And we have performed independent calculations
25 of the void profile in the hot channel using TRACE,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 RELAP5 and an independent drift flux model --

2 CHAIRMAN WALLIS: Now these are steady
3 state voids, they're not perturbed voids?

4 MS. KLEIN: Yes.

5 ACTING CHAIR RANSOM: When you said steady
6 state on the previous slide.

7 MS. KLEIN: Yes.

8 ACTING CHAIR RANSOM: Did that include
9 oscillations without a steady state, you know, for
10 stability?

11 MS. KLEIN: I'm sorry, what do you mean?

12 ACTING CHAIR RANSOM: Well, you're saying
13 the range of application of steady state conditions.
14 But we're talking about stability here.

15 MS. KLEIN: Basically what we're saying
16 is, and this has been repeated in the past, is that
17 there is some confusion when you talk about
18 application of the methodology for a transient. And
19 all we're saying is that methodology itself does not
20 allow for calculating things as decayed ratios during
21 a transient. So what we are saying is that everything
22 that we have reviewed requires that GE have a steady
23 state condition and then perturb it. But what we're
24 saying is it has to be a steady state before there's
25 any perturbation, otherwise it was not covered in this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 topical report.

2 ACTING CHAIR RANSOM: But that is a
3 transient. You're saying the range of application
4 includes steady state but also perturbations around
5 the steady state?

6 MS. KLEIN: I guess basically it's just
7 that we're saying that we're not trying to evaluate
8 the decay ratios during the actual transient while
9 power, while flow, while things are actually changing.
10 That was just not part of the methodology. The
11 methodology was just you have to perform a steady
12 state to begin with. And that's all that we're trying
13 to say, that that starting point, it has to be a
14 steady state in order for this methodology to be
15 applicable.

16 MEMBER DENNING: Is that a deficiency in
17 the analysis? I mean, I understand what you did. Have
18 you evaluated that and said that's okay, all we have
19 to really do is look at these steady state or quasi-
20 steady state initiating conditions.

21 MS. KLEIN: Yes. Dr. March-Leuba has a
22 lot of good slides on this where he talks about how it
23 encompasses some of the limiting conditions that may
24 be seen. So if you can wait until his presentation,
25 I believe he'll be able to really illustrate that for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you.

2 CHAIRMAN WALLIS: Well, presumably, if the
3 system were unstable, TRACG would be unable to
4 calculate a steady state condition.

5 DR. MARCH-LEUBA: This is Jose March-
6 Leuba.

7 What we're going to say, and you are 100
8 percent correct, that you have to perform transient to
9 measure the decay ratio with TRACG. That's what the
10 procedure says.

11 Now, the decay ratio, and when it's my
12 time I'll give a little bit of the math behind it.
13 The decay ratio is a property of the core like its
14 mass or its temperature. It's a parameter that exists
15 even if you don't run the transient.

16 TRACG chooses to run a transient with
17 TRACG to calculate that parameter or that property of
18 the core. Okay. But it is a property of a steady
19 state condition of the core. The core or the steady
20 state operating condition has a decay ratio whether a
21 transient or -- imposed or not. The same way it has
22 a mass --

23 CHAIRMAN WALLIS: Well, I think you're
24 right, but I think it's true that it's the core plus
25 the downcomer and the chimney and the circuit which

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 has the decay ratio. It's not the core by itself.

2 DR. MARCH-LEUBA: I mean the whole.

3 DR. BANERJEE: But the decay ratio assumes
4 a certain model first, doesn't it? I mean, it doesn't
5 have to be a decay ratio in the sense that --

6 DR. MARCH-LEUBA: You are 100 percent
7 correct. We have already -- we want to develop on my
8 slides and we want to go to the blackboard because I
9 hear there are so many misconceptions about what we're
10 talking about.

11 There are many things that we can't
12 measure. And it's not relevant and I'll tell you why
13 if you're willing to wait another 20 minutes.

14 CHAIRMAN WALLIS: We have to wait until
15 it's your turn.

16 DR. MARCH-LEUBA: Yes.

17 CHAIRMAN WALLIS: You're going to tell us
18 that there's a decay ratio no matter what the form of
19 the signal?

20 DR. MARCH-LEUBA: Yes.

21 CHAIRMAN WALLIS: Okay.

22 MS. KLEIN: Okay. That ends my
23 presentation. Next is to Dr. Peter Yarsky of the NRC
24 Staff.

25 CHAIRMAN WALLIS: So your role in this was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a manager, was it, or did you do calculations?

2 MS. KLEIN: Pretty much. I assisted Pete
3 a little bit when he did his calcs. And I went with
4 Jose when we went to GE and he taught me a little
5 LAPUR. But I didn't do any main calculations.

6 CHAIRMAN WALLIS: But you didn't say gee
7 wiz, I don't believe that. How about this and that and
8 show me this.

9 MS. KLEIN: Well, I mean I read through
10 the topical. And there were things that, you know,
11 what I didn't know. And since I'm not an expert in a
12 lot of the areas that were involved, that was why we
13 have the assistant. And so I would had to call up Jay
14 and say could you look at this. And call up with Jose
15 and say could you look at this.

16 CHAIRMAN WALLIS: Whoever managed the SER
17 seems to have avoided asking a lot of questions. And
18 maybe they got answered and they were thought to be
19 not important. It doesn't seem to be full of a lot of
20 questions being raised and answered.

21 MR. LANDRY: The Staff did ask a number of
22 questions. We had a number of interactions with the
23 applicant. We did not provide a listing of all the
24 RAIs and all the responses in the SER, but yes we did
25 ask quite a few questions.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: We got all the RAIs and
2 responses, didn't we?

3 MR. LANDRY: Yes.

4 DR. BANERJEE: I mean there were four of
5 these that were sent to us.

6 I had a related question. Were there no
7 codes which could actually do a time domain
8 integration other than TRACG?

9 MS. KLEIN: No. TRACE is currently still
10 being developed for that capability. We don't expect
11 that it would be completed until 2008.

12 CHAIRMAN WALLIS: I thought TRACE was
13 based on TRACG to be able to do the same thing.

14 MS. KLEIN: It is, but it doesn't have the
15 right numerical schemes in it to perform these types
16 of calculations.

17 DR. BANERJEE: So it can handle a blowdown
18 but it cannot handle a stability problem?

19 MS. KLEIN: It's mostly within the
20 numerics when we talk about the inputs, explicit
21 integration schemes that has not been fully
22 implemented in TRACE yet and it's not been tested. And
23 we hear rumors that some people do, but it's not been
24 fully benchmarked, it's not been tested. And Research
25 has told us that it won't be ready until 2008.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: For stability?

2 MS. KLEIN: Yes.

3 DR. BANERJEE: What about other codes like
4 RELAP and so forth?

5 MS. KLEIN: We don't know of a time domain
6 code that has ever, other than TRACG that has
7 performed--

8 DR. MARCH-LEUBA: We do know of other
9 codes. For example RAMONA code is used by -- it was
10 licensed to ADD and it is their primary stability
11 mission into analysis. And they've been using it for
12 6 years -- it's been licensed for 5 or 6 years
13 already.

14 DR. BANERJEE: Is that a drift flux type
15 model?

16 DR. MARCH-LEUBA: RAMONA? Some expert on
17 thermal-hydraulics will have to tell you that. It is
18 an internal momentum equation so it doesn't follow the
19 speed of sound. That what I know. And that's why it's
20 able to model each and every one of the channels which
21 is a really good advantage. I believe it's a five
22 equation model, but don't -- I don't know those
23 details.

24 So RAMONA is widely used in Europe. It's
25 used a lot in Sweden and Switzerland. Some codes in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 tandem may have been used in Japan for stability, too.
2 But I'm not that familiar with those. So definitely
3 RAMONA is licensed by the NRC to be used for stability
4 equations since the year 2000.

5 DR. BANERJEE: So could it have been used
6 or could not have been used?

7 DR. MARCH-LEUBA: RAMONA could have been
8 used, but it's a proprietary code that GE does not
9 have access to.

10 DR. BANERJEE: No, but NRC does or does it
11 not?

12 DR. MARCH-LEUBA: Is the RAMONA 5- the ADD
13 version of RAMONA. It's not the public version of
14 RAMONA. When you start talking about RAMONA, there
15 are many versions. It was the ADD RAMONA version that
16 was qualified, not the public version.

17 DESIGNATED OFFICIAL CARUSO: Could the NRC
18 version be used to evaluate the stability?

19 DR. MARCH-LEUBA: Conceivably, but you
20 will have to benchmark it first. And honestly, if you
21 want to know what the decay ratio is, you really
22 should use a frequency domain code, that's what
23 they're designed for. And they're much cheaper, easier
24 to use and, frankly, much more accurate.

25 The only problem and the reason why GE

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 decided to TRACG for ESBWR was the concern with the
2 chimney that the code that they have licensed does not
3 have a chimney and therefore -- and also cannot handle
4 the startup, cannot handle the -- the other
5 disabilities. So that was, in my opinion, that's the
6 reason why ESBWR decided to use TRACG. It's a lot
7 more expensive. I can run a pool in about a minute
8 and a half of CPU time and it has 400 times it has
9 full -- imagery and it's accurate.

10 MS. CUBBAGE: All right. Dr. Peter --

11 CHAIRMAN WALLIS: So why can't TRACG do
12 something similar?

13 DR. MARCH-LEUBA: Sorry?

14 CHAIRMAN WALLIS: Why is so expensive and
15 complicated to do a lot of TRACG runs?

16 DR. MARCH-LEUBA: It's an expensive--

17 CHAIRMAN WALLIS: It's just a code.

18 DR. MARCH-LEUBA: Yes.

19 DR. BANERJEE: Well, it's not paralyzed or
20 what is the problem?

21 DR. MARCH-LEUBA: CPU time is not a
22 concern anymore.

23 DR. BANERJEE: And it is a 1-D
24 calculation.

25 DR. MARCH-LEUBA: Yes. But -- it has to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go in with a -- and it's all on the code -- on the
2 input development, evaluation and recommendation.
3 That's where your cost is. It's not the CPU time
4 anymore.

5 CHAIRMAN WALLIS: Did anybody do a simple
6 thing with simply an average channel and an average
7 chimney and circulation loop which you can run in
8 about two seconds?

9 DR. MARCH-LEUBA: Things like that have
10 been done.

11 CHAIRMAN WALLIS: To explore it, to
12 explore what happens when you change things?

13 DR. MARCH-LEUBA: You can Google Jose --

14 CHAIRMAN WALLIS: I think that would be
15 very helpful.

16 DR. MARCH-LEUBA: Jose's five equation
17 model, you can do a Google search, and you'll find
18 lots of hits. I mean, I develop it 20 years ago and
19 people still use it. The problem is accuracy.

20 MEMBER DENNING: On the frequency domain
21 codes, how do they treat the core the thermal-
22 hydraulics in detail? I mean, are you just saying
23 that you don't have to treat those in the detail the
24 TRACG does?

25 DR. MARCH-LEUBA: No, you do.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER DENNING: You do?

2 DR. MARCH-LEUBA: Yes. Only the solution
3 is in the -- instead of having to step through the
4 time. So you have --

5 MEMBER DENNING: You have the same level
6 of detail, a description of the neutronics in the--

7 DR. MARCH-LEUBA: Considerably.
8 Considerably you can do it. In the particular case of
9 the LAPUR code, which is the one that the Staff uses
10 because it is the one that we own, it's not. It
11 doesn't have that much detail. It was developed in the
12 late 1970s and it was developed by a graduate student
13 for \$40,000.

14 It's a slip model on kinetics, so it does
15 have some limitations. All the code you see is 1-d
16 kinetics and it has better thermal-hydraulics. That
17 Staff that Areva uses is an excellent code and it has
18 all the detail you would ever want.

19 There are some frequency domain codes,
20 including LAPUR, that have been upgraded to 3-V.
21 There is a LAPUR version 6 which has been developed in
22 Spain which has built the 3-D capability neutronics.

23 MEMBER DENNING: And somebody is going to
24 explain to us why one has to use the explicit version
25 of this analysis rather than implicit even though it's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 solution of the same equation?

2 DR. MARCH-LEUBA: Yes. That's the first
3 thing I want to do on the blackboard.

4 DR. BANERJEE: But now when you say a
5 frequency domain code with thermal-hydraulics, the
6 behavior will depend on the thermal-hydraulics model,
7 right?

8 DR. MARCH-LEUBA: Correct.

9 DR. BANERJEE: So if you have a six
10 equation model of the type that TRACG has with
11 whatever the interfacial friction or whatever,
12 basically you're linearizing that system in some way.

13 DR. MARCH-LEUBA: Correct.

14 DR. BANERJEE: And that's all that you're
15 doing in a frequency domain code. So if you have the
16 same models as TRACG and you did a linearized analysis
17 of this, would you get the same answer as TRACG gets?

18 DR. MARCH-LEUBA: You should if TRACG is
19 using the displaced interfacial method correctly. The
20 frequency domain analysis will give you the correct
21 decay ratio because it's integrated analytically and
22 there is no numerical diffusion.

23 DR. BANERJEE: Based on a linearized-

24 DR. MARCH-LEUBA: Decay ratios are linear
25 parameter.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Yes. So if it was finite
2 amplitude oscillation, you would not capture that
3 correctly, right?

4 DR. MARCH-LEUBA: The decay ratio is a
5 characteristic of the reactor that exists even if
6 there are no oscillations.

7 DR. BANERJEE: Sure.

8 DR. MARCH-LEUBA: And it's defined only
9 for oscillations of 10 to the minus 5 in the linear
10 region. So therefore, the decay ratio is a linear
11 parameter.

12 DR. BANERJEE: Yes. So if you'd start with
13 the linearized thermal-hydraulics model --

14 DR. MARCH-LEUBA: Yes.

15 DR. BANERJEE: -- you'd start with the
16 linearized neutronics model?

17 DR. MARCH-LEUBA: Yes.

18 DR. BANERJEE: And you'd look at this
19 whatever the hell you get.

20 DR. MARCH-LEUBA: Write down the equations
21 and invert the methods.

22 DR. BANERJEE: Yes. So that's all you do?

23 DR. MARCH-LEUBA: Correct.

24 DR. BANERJEE: Right. But it doesn't tell
25 you anything about finite amplitude perturbations?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MARCH-LEUBA: No. No. And that's the
2 beauty of the time domain codes. You use time domain
3 codes whenever you want to see what happens when the
4 decay ratio goes over one. The moment the decay ratio
5 is greater than one, the oscillations start to go.
6 Frequency domain code doesn't tell you absolutely
7 nothing about how those are going to grow; are they
8 going to be ten percent, 1,000 percent, 10,000
9 percent.

10 DR. BANERJEE: Yes, but I want to give
11 analogy which may not work here but it has some
12 meaning. If you look at pipe flow --

13 DR. MARCH-LEUBA: Yes.

14 DR. BANERJEE: -- if you give it
15 infinitesimal perturbations, it will stay stable until
16 the 100,000 Reynolds number. On the other hand if you
17 give it a finite amplitude perturbation, it'll go
18 unstable at 2,000. So the stability of pipe flow,
19 however, is not determined by these little frequency
20 domain things of the Navier-Stokes equation. If you
21 do hydrodynamic stability analysis you get nothing of
22 usefulness.

23 DR. MARCH-LEUBA: Yes.

24 DR. BANERJEE: So why do we expect that to
25 work for reactors?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. MARCH-LEUBA: Because it has benchmark
2 over the last 50 years of experience. If you do a
3 search, you will hear the term subcritical Hopf
4 bifurcation. That's what you're talking about is when
5 you can make a linearly stable reactor go unstable by
6 having a large enough perturbation. And there are
7 some publications by -

8 CHAIRMAN WALLIS: We talked about that
9 this morning.

10 DR. MARCH-LEUBA: Yes. Basically what
11 you're doing is if you perturb the power sufficiently
12 enough so you make it unstable, then it's unstable.
13 Okay. So if you put a perturbation that is large
14 enough, you will make anything unstable. But you
15 require a very, very large perturbation.

16 We use decay ratios of .02. It's not
17 because we're noisy, it's not because it is the final
18 goal. We want to know how much margin this piece that
19 they're proposing to build has to stability. And the
20 decay ratio is a nice figure of merit that tells you
21 you have decay ratio of .02, you have lots of margin.
22 You have a decay ratio .08, you don't. And you have
23 to worry. We use decay ratio of .02. I mean, you
24 have to keep that in mind.

25 MR. LANDRY: At this point, we're going to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 go to closed session.

2 Mr. Chairman, the rest of the
3 presentations are going to be closed.

4 ACTING CHAIR RANSOM: Now is this
5 presentation closed?

6 MR. LANDRY: This presentation is closed.

7 ACTING CHAIR RANSOM: Okay. We'll go into
8 closed session then.

9 (Whereupon, the proceedings went into
10 Closed Session.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 ACTING CHAIRMAN RANSOM: We're in open
2 session then.

3 MR. LANDRY: Well, I had prepared a number
4 of slides which you have in the handouts which restate
5 all of the conclusions that we've arrived at for each
6 of the presentations. Rather than go through that
7 whole list again, which we talked about considerably
8 as we've been going through the presentations, I'd
9 like to come point and state at this time where the
10 Staff would like to go next.

11 We would propose to provide to the
12 Committee as soon as possible, which means that I'll
13 probably try to burn a CD for you tomorrow, with three
14 documents. The TRACG qualification report from January
15 of 2000. The TRACG qualification for SBWR report from
16 August of 2002. And the TRACG qualification for
17 ESBWR report from August of 2002.

18 CHAIRMAN WALLIS: How long are these?

19 MR. LANDRY: Pardon me?

20 CHAIRMAN WALLIS: How long are these
21 documents?

22 MR. LANDRY: I don't know how many pages
23 off the top of my head. But they're several binders.

24 CHAIRMAN WALLIS: So they're substantial
25 documents?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LANDRY: Yes. These are the
2 documents--

3 CHAIRMAN WALLIS: And we have a lot to do
4 next week. We can't do anything on this, it seems to
5 me. And you're asking us to review these before we
6 meet next in the February meeting?

7 MR. LANDRY: No. Our proposal is to get
8 these documents to you which will contain within them
9 the comparisons with the CRIEPI, SIRIUS information so
10 that you will have that information at hand before we
11 meet again.

12 CHAIRMAN WALLIS: Are you talking about
13 the February meeting or the full Committee?

14 MR. LANDRY: We haven't said anything
15 about the next meeting yet.

16 CHAIRMAN WALLIS: No, but we are meeting.
17 We have two hours scheduled in February to discuss
18 this in full Committee meeting. For some reason
19 someone has decided that this can all be done in a
20 couple of weeks and we'll be ready to write a letter
21 saying everything's fine.

22 MS. CUBBAGE: Graham?

23 CHAIRMAN WALLIS: And I think that's a
24 mistake.

25 MS. CUBBAGE: Graham, this is Amy Cabbage.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Yes.

2 MS. CUBBAGE: Actually, I just found out
3 this morning that we were scheduled for February.

4 CHAIRMAN WALLIS: You didn't know that?

5 MS. CUBBAGE: I did not know that. We had
6 been bumped to March and I was informed this morning
7 that we were on the schedule for February. So if
8 everyone's in agreement, we don't have any problem
9 with going to the March meeting. But as I understand
10 from Ralph telling me that they may not have room for
11 us.

12 MR. LANDRY: It's going to be a problem
13 going to March.

14 CHAIRMAN WALLIS: Well, I think we need to
15 spend some time discussing this. Because if you go to
16 the February meeting, you'll probably get a letter or
17 at least you'll get comments from me saying we need to
18 see more before we can really say this is okay.

19 MS. CUBBAGE: Okay. Well, some of the
20 information we think you need to see would be in this
21 qualification reports.

22 CHAIRMAN WALLIS: But we wouldn't have
23 time to read it.

24 MS. CUBBAGE: No, I understand. And
25 that's why we're suggesting -- I agree with you that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 February is aggressive. So we'll have to work with
2 ralph if we can get back on the schedule at a later
3 time.

4 You want to continue, Ralph.

5 CHAIRMAN WALLIS: But we're in the ~~the~~ *Federal*
6 *Register* for 2 hours of your presentation on --

7 MS. CUBBAGE: Okay. Well, it's
8 unfortunate that no one told me that.

9 MR. LANDRY: Right. In NRR we've been
10 operating under the instruction that we've been given
11 for the schedule.

12 CHAIRMAN WALLIS: It seems to me strange.
13 Usually you guys are pressing us to do things quicker.

14 MR. LANDRY: And we had planned on being
15 here in February. But we were told through the
16 scheduling process that we had been bumped from
17 February to March. So that's been the target date
18 that we've been shooting for. And our proposal is get
19 these three documents to you as soon as possible.

20 We will also be revising the SER to
21 include further description which Jose has presented.
22 Something along the lines of what Jose has presented
23 today. And we will also be getting from General
24 Electric additional calculations of looking at
25 nodalization in the chimney. When we get that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 additional demonstration of the effect of nodalization
2 in the chimney and the description of stability from
3 Jose, and you will have the documents on SIRIUS,
4 CRIEPI comparison --

5 CHAIRMAN WALLIS: So the logical thing
6 would be to have another Subcommittee at which we go
7 through all this stuff, which is now going to answer
8 some of the questions we had today. And then at the
9 end of that we agree that the case has been properly
10 made, then we say we go to the full Committee, which
11 we would be a process which I would think would take,
12 you know, several months. It's not something you do
13 tomorrow. And this is a very important issue for a
14 very important new reactor design. It's some new
15 features we haven't seen before. I don't think you
16 just brush it off in a couple of weeks.

17 MR. LANDRY: No, we weren't trying to
18 brush it off in a couple of weeks.

19 CHAIRMAN WALLIS: Well, you're asking us
20 to make a decision by -- well, it appears that we're
21 being asked.

22 MS. CUBBAGE: No, we're not.

23 MR. LANDRY: We're not.

24 CHAIRMAN WALLIS: It would appear from our
25 schedule that we're being asked to make a decision.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LANDRY: Right. And what we're
2 proposing is to update the SER appropriately and get
3 that to you quickly so that you --

4 CHAIRMAN WALLIS: So that's more of this
5 evidence you've been asking for?

6 MR. LANDRY: So that you can have it to
7 look over and we can prepare for our March meeting.

8 CHAIRMAN WALLIS: Don't we need another
9 Committee meeting to look at this.

10 MR. LANDRY: If we can be put into the
11 March schedule. It is the feeling of the Staff that
12 there is sufficient information that if we supplement
13 it with a nodalization study on the effect of the
14 chimney and further description of the stability, that
15 this is not a major perturbation in the information at
16 hand, and that we should be able to go forward.

17 MEMBER DENNING: Ralph, can we change it
18 from February or are we locked into February meeting
19 anyway?

20 DESIGNATED OFFICIAL CARUSO: We don't have
21 to go in February, but March is very full. We moved
22 a bunch of things out of March into February because
23 March was undoable for the Committee.

24 CHAIRMAN WALLIS: So let's move it to
25 April.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DESIGNATED OFFICIAL CARUSO: It might be
2 possible to move it into April.

3 MEMBER KRESS: Can we make a four day
4 meeting in March?

5 DESIGNATED OFFICIAL CARUSO: I don't know.
6 I have to check. I don't control that. I don't know.

7 MEMBER KRESS: It's the same week of the
8 regulatory information conferences.

9 DESIGNATED OFFICIAL CARUSO: In March?

10 MEMBER KRESS: That same week.

11 DR. BANERJEE: Ralph, there's a
12 Subcommittee meeting in February, right, 14th to 16th?

13 DESIGNATED OFFICIAL CARUSO: Yes, to talk
14 -- and it might be possible to add on to that. That's
15 a possibility.

16 DR. BANERJEE: Yes.

17 DESIGNATED OFFICIAL CARUSO: But that's
18 going to be all about your favorite topic, chemical
19 effects and --

20 CHAIRMAN WALLIS: Well, that's another one
21 we're wrestling with, yes.

22 DESIGNATED OFFICIAL CARUSO: Right.

23 CHAIRMAN WALLIS: And I understand the
24 23rd/24th ESBWRs has moved.

25 MS. CUBBAGE: That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: So we can worry about
2 this part of ESBWR perhaps in February?

3 DESIGNATED OFFICIAL CARUSO: 23rd/24th of
4 February?

5 MS. CUBBAGE: We were scheduled to go to
6 the PRA Subcommittee. That has been postponed.

7 CHAIRMAN WALLIS: Right. SO we have more
8 time free than they have.

9 DESIGNATED OFFICIAL CARUSO: Oh, okay.

10 DR. BANERJEE: If you could add it to the
11 debris thing, it would make some sense.

12 CHAIRMAN WALLIS: That would make sense.

13 DR. BANERJEE: Because we're going to be
14 here for that. Save a trip.

15 CHAIRMAN WALLIS: And then we'd actually
16 go to the full Committee in March.

17 DESIGNATED OFFICIAL CARUSO: 14th, 15th
18 and 16th. Let me go off and check about March, the
19 availability with the full Committee --

20 CHAIRMAN WALLIS: Well, Sam is not going
21 to be happy.

22 DESIGNATED OFFICIAL CARUSO: I know. I
23 know.

24 MEMBER DENNING: But I think we do agree
25 we need another Subcommittee meeting before we go to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the full Committee?

2 CHAIRMAN WALLIS: That's my impression is
3 we need a Subcommittee meeting.

4 DESIGNATED OFFICIAL CARUSO: Okay.

5 CHAIRMAN WALLIS: There's too many loose
6 ends.

7 And I thought that the whole process of
8 operation at this ACRS was that subcommittees reviewed
9 material. When there was general agreement that the
10 subcommittee had seen enough, that the stuff was
11 mature enough, then it went to the full Committee.
12 You couldn't just sort of schedule it's going to the
13 full Committee without having any idea how the
14 Subcommittee is going to respond to what they see.

15 MEMBER DENNING: But I think we do agree
16 with the items that you identified as those things
17 that we'd like see more of. I think that, you know,
18 it's clear we have heard what people have been saying
19 here. So I think that you're going off in the right
20 direction as far as additional information provided.
21 Don't you agree?

22 CHAIRMAN WALLIS: Yes. And what we heard
23 from Jose I thought was very valuable today. But we
24 didn't know it until we came here today. We need to
25 have it, perhaps, in a more organized fashion.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MS. CUBBAGE: On behalf of the staff I
2 just want to make sure there's clarity on what you're
3 expecting at this next Subcommittee meeting. You've
4 already heard additional information from Jose today.
5 So I don't expect that you'd want to hear that again.

6 We're going to provide you with these
7 qualification reports. Are you asking plus --

8 CHAIRMAN WALLIS: Well, we asked all these
9 questions about while -- you know, you've got this one
10 plotted decay ratio of the power. And you've got a
11 decay ration in some way. There's no indication of
12 what the voids are doing in various parts of the
13 system or how the pressure drop and the inertia terms
14 are balanced around the loop, how important are the
15 terms coming from the core and coming from the chimney
16 and all that which would indicate why it is that the
17 core is more important than the chimney. Those are the
18 sorts of things I'd like to hear so that we get a
19 proper perspective that shows that you understand
20 what's going on. Not just one curve we're supposed to
21 believe.

22 MS. CUBBAGE: Okay. So, obviously, this
23 is the technical issues that the reviewers address --

24 CHAIRMAN WALLIS: It's a major issue.

25 MS. CUBBAGE: But would the calculation

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with a finer nodalization in the chimney address the
2 issue of the role of the chimney?

3 CHAIRMAN WALLIS: Well, you've got to show
4 what the voids are doing in the chimney and how the
5 pressure drop components around the loop contribute to
6 the dynamics of what's happening.

7 MS. CUBBAGE: Okay. I'm just trying to
8 avoid us coming back and then that not satisfying --

9 CHAIRMAN WALLIS: Well maybe we need to
10 make a list of some of the things we're hoping to see.
11 And I just wonder if you can do that in a short time.

12 DR. BANERJEE: Sorry. I was just going to
13 say that it would be very useful to see comparisons of
14 the code against data.

15 CHAIRMAN WALLIS: Yes.

16 DR. BANERJEE: And not just for decay
17 ratio and frequency, but actual predictions from the
18 code compared with data on things like pressure, void
19 fraction, flow rates; whatever available. So these
20 were oscillating, how well are those oscillations
21 actually being predicted by the code. Not just the
22 decay ratio and a table and a frequency and a table.

23 MS. CUBBAGE: Okay. GE, does the
24 qualification report have that level of detail?

25 DR. BANERJEE: Well, if it doesn't, then

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 they must have that data.

2 CHAIRMAN WALLIS: Somewhere.

3 DR. BANERJEE: Somewhere. That's what we
4 would like to see.

5 MR. SHIRALKAR: It does in some cases.
6 Whatever is available was in that. And for the pre-
7 EPRI, for example, there's comparisons of void and
8 observations and so on.

9 DR. BANERJEE: Right.

10 MR. SHIRALKAR: For LaSalle there's
11 comparisons of flow and power oscillations. And for
12 other plants as well. But not in, say, obviously in
13 the plant data I won't have detail like what action
14 and like that.

15 DR. BANERJEE: Right. But he put a void
16 propagation velocity down for Forsmark and Leibstadt.
17 This was presumably cross correlations between NPRMs
18 or something. Could you get that what propagation
19 velocity and frequency or whatever.

20 MR. SHIRALKAR: We didn't measure any
21 propagation velocity.

22 DR. BANERJEE: Was it just frequency then
23 or --

24 MR. SHIRALKAR: I think it was frequency.

25 DR. BANERJEE: All right. And that was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 just oscillations in the NPRMs.

2 MR. SHIRALKAR: Yes. Typically the
3 relationship between the propagation time and the
4 period of oscillation. I think that's probably what it
5 will show.

6 CHAIRMAN WALLIS: You see now we have this
7 argument about how -- that the voids here are out of
8 phase with the flow rates through the orifice and so
9 on. Why don't you show it. Show the TRACG
10 predictions of the flow rates through the orifice and
11 the voids and show that there is. And if there isn't,
12 then you've made a statement that is not validated by
13 the TRACG.

14 DR. BANERJEE: Yes. To answer your
15 question, it would be nice to actually see the
16 experimental traces of certain quantities versus the
17 predicted traces of that. Not just a number but to see
18 in fact are they looking somewhat similar? Are they
19 just shifted? Is the frequency wider. You know, so to
20 get a real feel for what's going on. Because you
21 can't get that from a couple of numbers on a table.
22 And the judgment as to whether to it's actually doing
23 a good job or not is a feel for how these agree with
24 each other. It's not just looking at two numbers at
25 a table and then putting an uncertainty band on it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: I mean if I were
2 consulting an industry on something like this for why
3 some manufacturing process producing sausages is
4 producing sausages with the wrong wave length and the
5 wrong amplitude or so, I would want to do this. And
6 this is nuclear safety. So I expect at least that
7 quality of detail.

8 DR. BANERJEE: Plus, Jose is documenting
9 your model, right? So we know you equations you've
10 solved. And what is the matrix you inverted and all
11 those things.

12 DR. MARCH-LEUBA: This is fully
13 recommended.

14 DR. BANERJEE: Yes.

15 ACTING CHAIRMAN RANSOM: It would be
16 interesting to interpret those result that show the
17 separation between effects in the chimney from the
18 core. And I think you probably can do that.

19 DR. MARCH-LEUBA: Yes. I'm already
20 thinking of how to do it.

21 DR. BANERJEE: So if you wrote a paper for
22 the EPS Science and Engineering and I have to review
23 it, think of it that way.

24 CHAIRMAN WALLIS: Maybe he will.

25 DR. BANERJEE: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DESIGNATED OFFICIAL CARUSO: If you think
2 of anything else that you would like to provide, have
3 them provide, send me an email and I'll pass it along
4 to the Staff.

5 MS. CUBBAGE: Okay. And then, Ralph,
6 you'll get with us on schedule.

7 CHAIRMAN WALLIS: I'm a bit surprised that
8 we have to ask them specifically and explicitly for
9 all this stuff. And I would think a professional
10 trying to present stuff to another professional to
11 convince him that he knew what he was doing would know
12 some of the level of detail that was appropriate.

13 ACTING CHAIRMAN RANSOM: I think that
14 pretty well summarizes it. So maybe we can move on
15 to the next topic.

16 Sometimes I think they're afraid data.

17 DR. BANERJEE: But actually every time
18 they could have shown us data, we have gone over it
19 actually in less time.

20 ACTING CHAIRMAN RANSOM: Well even in the
21 code calculations, always parameters are there. It's
22 very easy to generate this information.

23 CHAIRMAN WALLIS: And if you show that
24 you've been as curious as we have been curious.

25 (Whereupon, at 4:59 p.m. off the record

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 until 5:01 p.m. for the evening session.)

2 CHAIRMAN WALLIS: This is a progress
3 report, Rich? This isn't a finished product?

4 DESIGNATED OFFICIAL CARUSO: I'll give it
5 to you.

6 MR. TSCHILTZ: Good afternoon. My name is
7 Mike Tschiltz. I'm the Deputy Director of Risk
8 Assessment in NRR. We're here today to discuss our
9 plans to revise Regulatory Guide 1.82. The planned
10 revisions relate to the topic of net positive suction
11 head for the ECCS in containment heat removal pumps.

12 We have previously discussed revising Reg.
13 Guide 1.82 Revision 3 with the Thermal-Hydraulics
14 Phenomena Subcommittee on July 10, 2005 and with the
15 full Committee on September 8, 2005.

16 Dr. Sharon, the Associate Director for
17 Engineering and Safety System in NRR has discussed our
18 plans our rationale for risk-informing that positive
19 suction head regulatory guidance with the ACRS on
20 October 7, 2005.

21 The ACRS provided feedback in a letter,
22 dated September 20, 2005. The letter recommended that
23 the proposed Revision 4 of Reg. Guide 1.82 not be
24 issued for public comment and should be revised to
25 improve clarity and reflect other recommendations in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the letter.

2 ACRS also provided feedback on the topic
3 of credit in containment accident pressure for that
4 positive suction head in January 4, 2006 letter on the
5 Vermont Yankee extended power uprate request.

6 Today we'll share some our preliminary
7 thoughts on the changes to address the issues you've
8 raised in past discussions on the topic and our
9 proposed schedule.

10 I will also note that a representative
11 from GE is here to discuss their plans with respect to
12 this subject.

13 I'm very thankful for the level of effort
14 that the ACRS has devoted to obtaining an in depth
15 understanding of the analysis and reviews performed by
16 licensees and the Staff in contemplating allowing the
17 credit for containment over pressure for ECCS and
18 containment heat removal pump net positive suction
19 head. I understand that the ACRS faces a significant
20 challenge in capturing and communicating its concerns
21 to the Staff in a manner that allows the Staff to make
22 its determination on a safety basis. And by that I
23 mean presenting concerns to the Staff in a manner that
24 allows the Staff to focus on plant parameters of
25 particular concern rather than plant design or

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 subjective terms that are subject to interpretation.

2 With that, I will turn it over to Rich
3 Lobel.

4 MR. LOBEL: Do I change the slides for
5 this.

6 MR. STUTZKE: Yes.

7 MR. LOBEL: Up arrow and down arrow?
8 Okay.

9 Good afternoon. My name is Richard Lobel.
10 I'm a senior reactor systems engineer in the Office of
11 Nuclear Reactor Regulation, NRR. Seated also at the
12 table is Marty Stutzke who is a senior reliability and
13 risk analyst, also in NRR.

14 Okay. As Mr. Tschiltz said, we're here
15 today to discuss our preliminary plans to revise Reg.
16 Guide 1.82 Revision 3, which we'll consider feedback
17 from ACRS and NRR management. And we're really here
18 to get your comments and try to incorporate your
19 guidance into what we're planning to do.

20 I realize we're not going to give you a
21 lot of detail today, but we'll be back again with the
22 details. And we can have more discussion then. But
23 we're trying to give you an idea of where we are right
24 now.

25 The September 20th ACRS letter recommended

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that licensees should demonstrate that there's no
2 practical alternative to crediting containment
3 accident pressure and that credit should be granted
4 only for robust containments for which there is a
5 positive means for indication of containment integrity
6 inerting or subatmospheric. And at that the time
7 interval should be limited to a few hours.

8 The January 6, 2005 ACRS letter on Vermont
9 Yankee EPU also contained some recommendations on this
10 topic, especially on the development of a statistical
11 approach that would quantify the uncertainty. And
12 we're going to talk about that in a little more detail
13 today.

14 Okay. Related documents. We've talked
15 about this before. That there are some documents that
16 reference Reg. Guide 1.82 or are connected with it.

17 Reg. Guide 1.1 will be revised since it's
18 the licensing basis for some licensees. It'll be
19 revised to just reference Reg. Guide 1.82 for any
20 future work.

21 Standard Review Plan Section 6.2.2 is
22 containment heat removal, and it has the SRP
23 discussions of NPSH. And it will be revised also to
24 reference the Reg. Guide. And likewise, with the NRR
25 Review Standard for Extended Power Uprates.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This is just the list of some of the
2 current applications that deal, among other things,
3 with containment overpressure. We've talked to you
4 before about Vermont Yankee extended power uprate,
5 Browns Ferry, Units 2 and 3 already credit some amount
6 of containment overpressure. And Unit 1 is requesting
7 a like amount. Beaver Valley 1 has several
8 applications in house right now that are being
9 reviewed. Beaver Valley 1 and 2 are converting from
10 subatmospheric containments to large dry containments
11 and they're also requesting an extended power uprate
12 concurrently. And Beaver Valley 1 currently and after
13 the containment conversion in the EPU will also will
14 need credit for containment accident pressure for
15 NPSH. Unit 2 will not, and that's due mostly to a
16 difference in design between the two units. I guess
17 the licensee learned something from Unit 1 when they
18 designed Unit 2.

19 ACTING CHAIRMAN RANSOM: I guess in the
20 revision Vermont Yankee EPU will now fall within the
21 Reg. Guide?

22 MR. LOBEL: Yes. Yes. I'll talk about
23 that a little bit more.

24 ACTING CHAIRMAN RANSOM: So it's precedent
25 setting, I guess, in some ways, isn't it.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOBEL: It was precedent setting in
2 several ways. It was precedent setting certainly for
3 the amount of attention it got and the detail to this
4 subject. We spent a lot of time and the licensee did
5 a lot of work trying to demonstrate the amount of
6 conservatism that was in the calculation that we
7 hadn't really appreciated before. And I think that
8 lead to the idea of doing the statistical approach to
9 get out of, I'll it a box. To get out of a situation
10 that we got in artificially. A plant didn't really
11 need the overpressure, but their calculations were
12 conservative enough that they ended up in that
13 situation.

14 CHAIRMAN WALLIS: I think we all have egg
15 on our faces a bit because the previous EPU's, neither
16 the Staff nor the ACRS paid much attention to. And
17 the public came up and the state of Vermont came up
18 and started asking these questions, and that's what
19 stimulated all this hard work that you've just been
20 talking about. It wasn't something that happened as a
21 result of the Staff or the ACRS saying we got to look
22 at this. It's a little bit surprising.

23 MR. LOBEL: In a little defense of the
24 Staff, you're correct. But in a little defense of the
25 Staff, what we focused on was the analysis that it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a conservative analysis, but we really didn't
2 appreciate -- we didn't go into detail about the
3 amount of conservatism. And Vermont Yankee raised the
4 question of why are we in this situation. And we
5 tried to elicit some information from the licensee,
6 and we got quite a bit that quantified the degree of
7 conservatism. We had not done that before.

8 DR. BANERJEE: Well, the one area they
9 want is was the degree blockage. It was very
10 nonconservative.

11 MR. LOBEL: Well, no. I don't know that --

12 DR. BANERJEE: They used a completely
13 wrong approach velocity.

14 CHAIRMAN WALLIS: Well, they were
15 conservative in some ways and not in others.

16 DR. BANERJEE: Yes.

17 CHAIRMAN WALLIS: And they used more crude
18 or more mud or something than they actually had, but
19 then they used the wrong --

20 MR. LOBEL: Yes.

21 CHAIRMAN WALLIS: So it was a bit hard to
22 tell whether they were conservative or not.

23 DR. BANERJEE: And they ignored the paint
24 chips as well.

25 CHAIRMAN WALLIS: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIRMAN RANSOM: Will the
2 revisions address some of the added comments that were
3 in that letter that ACRS wrote on Vermont Yankee?

4 MR. LOBEL: The revision will address some
5 and we'll certainly address them all with you when we
6 present the Reg. Guide.

7 ACTING CHAIRMAN RANSOM: But I mean in
8 terms of the method that would be required in the
9 future.

10 MR. LOBEL: Well, that's something we
11 still need to talk about and it would be good to get
12 your feedback. But normally reg. guides aren't to the
13 level of a recipe where they specify first you do
14 this, and then you do this and then you do this. As
15 it's written now, it tells licensees and the Staff
16 here are the things to consider. Here are all the
17 water sources that you should consider. Here's all the
18 things that can effect the blockage and the drop in
19 head across the screens, and here's the things to
20 consider in calculating the pressure. But it doesn't
21 put it altogether in a recipe of just how to do the
22 calculation.

23 CHAIRMAN WALLIS: It was actually that
24 Reg. Guide 1.82 is one of the guides that goes the
25 furthest in the direction of not giving much help

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about how to do it.

2 MR. LOBEL: Well, we're going to try to do
3 more of that and --

4 CHAIRMAN WALLIS: What's this overall? Do
5 you think that by putting in these conservatisms or
6 putting in these uncertainty estimates that you can
7 move more to satisfy what the ACRS was asking for,
8 which was only a little bit of overpressure for a
9 short period of time? Are you going to ask them to
10 show that, you know, although with a very conservative
11 analysis you're going to say you need overpressure for
12 three days? In fact, if you actually do the
13 uncertainty analysis, the probability of needing it
14 for more than two hours is very low. Isn't that the
15 kind of thing you're looking for? So that this
16 business of being so conservative as it looks as if
17 you need a lot of overpressure for three days, and
18 that absurdity is going to go away and you're going to
19 say well realistically with uncertainty the
20 probability of needing this overpressure is really
21 very small and it's only for a very short time. Isn't
22 that the way you're aiming to go?

23 MR. LOBEL: Well, that would be the goal
24 of the statistical approach that we'll try.

25 CHAIRMAN WALLIS: And then you'll come

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 closer to what the ACRS was asking for which was, you
2 know, small amounts for a short period of time and so
3 on.

4 DR. BANERJEE: Sort of like a best
5 estimate with uncertainties.

6 MR. LOBEL: That approach -- the
7 representative from GE here is going to talk about
8 some and I'm going to say some more about that. But
9 that would be, hopefully, the approach that would get
10 some plants out of demonstrating that they need
11 overpressure because of too much conservatism. And
12 that approach would be able to define the degree of
13 conservatism. Not for all variables. It would follow,
14 hopefully, pretty close to the guidance that's in the
15 best estimate LOCA reg. guide in terms of recognizing
16 that not every variable can be treated as a best
17 estimated with an uncertainty. There were some things
18 where the bounding approach still has to be used. But
19 then you would have to follow the guidance of that
20 reg. guide which says the conservatism can't mask
21 phenomena and it can't lead to unreasonable results.

22 So, yes, some of that will be put into the
23 reg. guide. We'll try to define the statistical
24 approach some more. And I'll talk about that a little
25 bit more.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: So I suppose in Vermont
2 Yankee the issue really was that you have to have a
3 single failure as well as something like RHR train
4 knocked out, as well as containment failure. So you
5 wouldn't need the overpressure unless you had one RHR
6 train out of action. So a single --

7 MR. LOBEL: Well, that was the conclusion
8 for Vermont Yankee. Let me just say that not every
9 reactor out there is going to be able to do what
10 Vermont Yankee did and say it's all on the fault of
11 conservatism and if I just didn't have so much
12 conservatism, I wouldn't need overpressure. There are
13 some licensees that are telling us that even
14 realistically they need some credit because of the
15 design of the plant, because of the way the plant is
16 laid out.

17 So like I was trying to say when we were
18 talking about Vermont Yankee to keep that discussion
19 just in terms of Vermont Yankee and don't generalize
20 it too much, because these other cases won't be
21 exactly the same and we're going to have to come to
22 you for some of those cases, too, and discuss those.

23 CHAIRMAN WALLIS: Now when you have these
24 probabilistic statistical methods, presumably they
25 ought to go into a realistic type PRA. And the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 problem I see with a PRA is PRA as it's constructed
2 today doesn't really contain these phenomena in it.
3 So you have to somehow do something very artificial to
4 do a risk-informed type of --

5 MR. LOBEL: Which is what Vermont Yankee
6 did and what --

7 CHAIRMAN WALLIS: Whereas really if you
8 have statistical measures of the probability of ever
9 needing this and the success of NPS -- having NPSH and
10 so on, that could perhaps go right into a PRA itself.
11 And then it might show that the risk contribution is
12 very small. And it's only a small fraction of the
13 total risk.

14 MR. LOBEL: Well, I think what we did with
15 Vermont Yankee was we artificially biased the PRAs to
16 show that there was little effect --

17 CHAIRMAN WALLIS: But that gave a risk
18 which was bigger than the total risk of the plant. It
19 doesn't make any sense.

20 MR. LOBEL: If we adjust -- done a
21 realistic calculation, it never would have showed up
22 as a consideration.

23 CHAIRMAN WALLIS: I understand what you
24 did there. But it would be nice to have that PRA
25 itself make use of this better thermal-hydraulic

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis that you're going to put into your
2 statistics. Rather than taking some extreme bounding
3 value of something.

4 DR. BANERJEE: Which plants are likely to
5 need this credit even with a best estimate uncertainty
6 sort of --

7 MR. LOBEL: I believe Beaver Valley 1 will
8 still need the credit because of the relationship of
9 the sump to the location of the pump. Even with
10 realistic calculation I've been told that they'll
11 still need some credit for that.

12 And the reason is that it goes to the
13 basis design of the plant. A subatmospheric
14 containment was designed, you know, it has the
15 criterion that after a LOCA they have to be back to
16 subatmospheric conditions in an hour. So what they do
17 is they design spray systems that put a lot of water
18 into the containment atmosphere in a very short time.
19 The crunch spray system takes suction from the RWST,
20 but they have an inside and an outside recirculation
21 system that take water from the sump in a very short
22 time after the accident starts. So in that case there
23 isn't very much water on the floor. And so they have
24 always since they started operating have taken credit.
25 And the other subatmospherics have also due to --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 CHAIRMAN WALLIS: Do they need the
2 containment pressure to get the pumps to work to
3 produce flow into the containment to reduce the --

4 MR. LOBEL: Right. To release the
5 pressure, right. And so the rule is in the SRP, not
6 the rule. But the guidance in the SRP is that they
7 can only take credit for containment accident pressure
8 during injection. During recirculation they don't.
9 That's when there's enough water on the floor already.
10 The thing is with the subatmospherics it a little blur
11 between recirculation and injection because they're
12 doing both at the same time with different pumps.

13 DR. BANERJEE: So they would need it over
14 what period of time?

15 MR. LOBEL: They take credit for it during
16 the injection phase.

17 DR. BANERJEE: So that would be the first--

18 MR. LOBEL: From the beginning of the
19 accident --

20 DR. BANERJEE: Yes.

21 MR. LOBEL: -- until --

22 DR. BANERJEE: Thirty minutes?

23 MR. LOBEL: Roughly, I guess, when they
24 use up the water in the RWST.

25 DR. BANERJEE: Which is what? Half of an

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 hour or what?

2 MR. LOBEL: Roughly, maybe a little less
3 for that.

4 DR. BANERJEE: And the pressure would go
5 how much higher than atmospheric?

6 MR. LOBEL: I don't have the number off
7 the top of my head.

8 DR. BANERJEE: So they need a substantial
9 credit or little credit?

10 MR. LOBEL: Their design pressure -- yes,
11 I'm sorry. I do have numbers. But their design
12 pressure is about -- I believe it's around 45 psig and
13 with the containment conversion they're very close to
14 the 45.

15 DESIGNATED OFFICIAL CARUSO: We're
16 scheduled to have the opportunity to discuss this in
17 detail in April.

18 MR. TSCHILTZ: I just wanted to point out
19 that the main purpose of this slide was to make the
20 Committee aware that the Staff would be coming back
21 before then with EPU's before the regulatory guidance
22 is revised.

23 MR. LOBEL: Yes, we probably should --

24 CHAIRMAN WALLIS: One thing that bothered
25 me I know, I don't know about the rest, but was the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 idea that there are no practical alternatives. In
2 Vermont Yankee, for example, there was never any
3 discussion of that, any meaningful discussion.

4 MR. LOBEL: Well, the answer to -- one of
5 the members asked them a question and they answered
6 the question. But --

7 CHAIRMAN WALLIS: Well I asked it in
8 private and they said it would take \$20 million to put
9 new pumps in. And actually when they talked about I
10 think the revenue from this change, it didn't seem
11 like it was all that great an amount.

12 MR. TSCHILTZ: The issue with practical
13 alternatives I think that we get into is it's a rather
14 subjective issue. And the Staff needs to make its
15 decision based upon a safety case. And when you enter
16 into that consideration, other practical alternatives,
17 we have a very difficult time dealing with it.

18 ACTING CHAIRMAN RANSOM: I admit it's a
19 weak argument to say that when there are no practical
20 alternatives, you know, obviously they're going to
21 take the easiest way out.

22 MEMBER KRESS: I think I agree with you.
23 NRC should just look at the safety case and let them
24 propose and you dispose.

25 ACTING CHAIRMAN RANSOM: Yes.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: Yes, the problem, though,
2 there is that clearly they are violating something
3 otherwise we wouldn't be discussing it here, right?
4 So they want something that requires a special
5 dispensation. So then it's a trade-off between
6 getting that and --

7 DESIGNATED OFFICIAL CARUSO: Well, in
8 these cases it's not a matter of them violating
9 anything. They want something.

10 DR. BANERJEE: Yes.

11 DESIGNATED OFFICIAL CARUSO: They want to
12 change their licensing basis so they can make more
13 power.

14 DR. BANERJEE: Right.

15 DESIGNATED OFFICIAL CARUSO: As the plant
16 sits, it's acceptable because the Staff allows it to
17 operate.

18 DR. BANERJEE: Well, sure. That's agreed.
19 But now they want to make more power. And it's a
20 question of how much they pay to do it, right?

21 ACTING CHAIRMAN RANSOM: Well, but that's
22 not our question.

23 CHAIRMAN WALLIS: So in all practical
24 terms is a bad term.

25 MEMBER KRESS: Yes. It really is.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOBEL: And it has no longer -- I'm
2 sorry.

3 ACTING CHAIRMAN RANSOM: Well, you may as
4 well not have that term in the reg. guide because --

5 MEMBER KRESS: Well, I think that's a good
6 proposal.

7 MR. LOBEL: And as I'm going to say, it
8 isn't going to be in the revision.

9 One of the comments that we've gotten was
10 that the wording wasn't clear. And, hopefully, we can
11 simplify the wording and not try to address too many
12 things in one position. And so whether we agree or
13 disagree, at least you'll be able to understand what
14 it is we're trying to say.

15 Okay. One of the attempts to clarify
16 things a little is this reg. guide really addresses a
17 lot of different issues. And it's kind of thick. And
18 what we would like to do is have a very a brief amount
19 of body of the report and put all the different
20 subjects into appendices. So we're not going to change
21 the wording of these other areas. Because right now
22 we're just talking about revising the reg. guide in
23 terms of NPSH. But we want to try to make it easier
24 for people to use while we're in the process of
25 revising this thing. And the appendices that I'm

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 talking about, these are all subjects that are already
2 in the reg. guide. We're not adding any new subjects.

3 DR. BANERJEE: But they all affect in some
4 way NPSH?

5 MR. LOBEL: They're all related to pump
6 suction issues.

7 DR. BANERJEE: Right.

8 MR. LOBEL: Yes. NPSH or acceptable
9 behavior of the pump.

10 Okay. Like I was just saying, we're going
11 to delete the words about NRP practicably altered.
12 We're going to use the position that we presented to
13 you several times now about the approach will be
14 acceptable if it's acceptably conservative, and the
15 reg. guide will specify that to some extent. And an
16 acceptable risk evaluation.

17 DR. BANERJEE: But you also specify the
18 methodology or what would be an acceptable assessment?

19 MR. LOBEL: For the risk or for the --

20 DR. BANERJEE: You said "acceptable risk
21 evaluation," right?

22 MR. LOBEL: Right.

23 DR. BANERJEE: Now --

24 MR. LOBEL: And Marty's going to talk
25 about that. But, yes, that will be specified in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 reg. guide. Now that will be added to the reg. guide.
2 That will be the big new edition.

3 We're considering now that there doesn't
4 need to be a limitation on the time pressure as
5 credited since the argument goes that the most likely
6 containment failure modes are that either a
7 containment has already a failure and an opening
8 somewhere or else that the other high contributor to
9 containment integrity is loss of isolation or
10 isolation failure. And those things occur immediately.
11 So the big concerns are right at the beginning.

12 CHAIRMAN WALLIS: So you're not going to
13 take seriously the ACRS statement that it should only
14 be allowed for a short time? You're going to allow for
15 as long as they want it?

16 MR. LOBEL: Well, as long as it's
17 necessary. But hopefully going to this other approach,
18 the statistical approach, the times will be
19 demonstrably shorter.

20 CHAIRMAN WALLIS: Well, why should they do
21 it if they're going to be allowed it for an indefinite
22 time anyway?

23 MR. LOBEL: Well --

24 CHAIRMAN WALLIS: By just being
25 conservative?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: You have to show the risk
2 is small, right?

3 MR. LOBEL: It's another thing that's hard
4 to define. I mean, how do you say what's short. If
5 you say -- we have this problem in --

6 CHAIRMAN WALLIS: What if you said a few
7 hours?

8 MR. LOBEL: You say two hours and then
9 somebody comes in, but I only need 2 hours and five
10 minutes or I only need 2 hours and 15 minutes.

11 CHAIRMAN WALLIS: Well, except when they
12 need 40 hours. That's different from 2 hours.

13 MR. LOBEL: You know, I guess the 40 --
14 the 56 hours for Vermont Yankee never bothered me too
15 much because I always thought it was in the
16 conservatism in the calculation --

17 CHAIRMAN WALLIS: Well, I brought it up
18 because we've written a letter saying 2 hours.

19 MR. DENNIG: Excuse me, Rich. Rich, this
20 is Bob Dennig. I'm Chief of the Containment and
21 Ventilation Branch and work with Rich.

22 In the spirit of what Rich said at the
23 beginning of his discussion, we're going to be coming
24 back to you and in the spirit of getting your input,
25 your guidance, your thoughts. And so what he's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 telling you is that you've given us sort of this
2 challenge of how to deal with this time. And we're
3 starting out from the hypothesis that we don't have to
4 put limitation on the time. And we're going to find
5 out in further meetings whether or not we do or do not
6 convince you that you agree with that position or we
7 find something about that that allows us to change our
8 position.

9 CHAIRMAN WALLIS: So, for instance, when
10 you look at this time you're going to say during this
11 period of 56 hours what's the probability that some
12 seals will fail on the containment or that something
13 will happen to prevent the pressure being there? Is
14 that the kind of thing you have in mind?

15 MR. LOBEL: That would be part of the
16 likely --

17 CHAIRMAN WALLIS: Because the time has
18 some consequences.

19 MR. LOBEL: Right.

20 CHAIRMAN WALLIS: I mean, you'll look at
21 the risk of longer times or something?

22 MR. LOBEL: That's right. But there's
23 other considerations, too, that is going back to the
24 conservatism. I think in the case of Vermont Yankee
25 they were assuming that the pumps were at ground

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flooded for the whole time of the accident. And by the
2 time you get out to 56 hours they didn't need much
3 pressure. And just altering that one assumption to a
4 more realistic calculation, more realistic assumption
5 of the operator taking some action, the minimum NPSH
6 was somewhere around 6 to 8 hours. And the idea that
7 the operator couldn't do anything to control the pump
8 for 6 to 8 hours that it would still be a runout
9 condition is another large conservatism. And probably
10 the pump has a considerable effect on a NPSH in two
11 ways: In terms of the losses and in terms of the
12 required NPSH goes down substantially with lower --

13 CHAIRMAN WALLIS: But you have no
14 limitation on time and you think you're having no
15 limitation on pressure as long as it's below a
16 conservative recalculated value or something?

17 MR. LOBEL: That's the idea that --

18 CHAIRMAN WALLIS: You're going to relax
19 everything very much.

20 MR. LOBEL: Well, the way things were done
21 before was you would have this minimum pressure and
22 then the licensee would say well I don't need all of
23 that. You calculate 10 psi. "I don't need all the 10
24 psi, I only need 5." And we fussed a lot about the
25 5. Well, you can have 5, but you can't have more than

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 5.2 because you can have a little margin. That didn't
2 seem to make a lot of sense either.

3 So we're trying to come up with criteria
4 and a way of doing this that's more reasonable and
5 really makes more sense.

6 MR. DENNIG: Well, clearly, we're going to
7 have to take this on. And in the brief time we've
8 been talking about it, I've heard 3 or 4 different
9 ideas about how one could interpret or address that
10 particular parameter. So the process of getting some
11 feedback and getting some ideas how to deal with this
12 has already begun.

13 MR. LOBEL: Let me move a little faster
14 through some of this.

15 CHAIRMAN WALLIS: Well, why never discuss
16 estimate calculation if you're allowed an indefinite
17 time and pressure up to the conservative value? You
18 only use your statistical approach if you wanted more
19 than the conservative pressure, wouldn't you, which
20 would --

21 MR. LOBEL: Well, but the goal of the
22 statistical approach was to approach this in a way
23 that we wouldn't be in the position of defending
24 something that didn't need to be defended.

25 CHAIRMAN WALLIS: That was part of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 goal of our early comments was to say, look, if you
2 can show that you don't need this anyway, then that's
3 a really conclusive argument.

4 MR. TSCHILTZ: I think the reality of the
5 situation is that given the alternative, licensees
6 will choose to do the statistical approach which will
7 cause them not, in most cases, to have to credit --

8 CHAIRMAN WALLIS: And that would then
9 caution -- the critics are saying, look, we don't like
10 it for a long time and all that stuff.

11 MR. LOBEL: Right. Right.

12 CHAIRMAN WALLIS: And then there's some
13 people who don't want to give up defense-in-depth
14 under any circumstances no matter what the risk
15 arguments may be. Well then you can then use the
16 statistical approach to show that there's almost very
17 little probability you'll ever need this pressure and
18 so on, and that would help to convince them that
19 you're not really giving up defense-in-depth. So that
20 was, I think, part of our hope. And it doesn't seem
21 to be the thrust of what you're telling us.

22 MR. LOBEL: Well, I haven't gotten to the
23 statistical part yet.

24 CHAIRMAN WALLIS: I just wondered about
25 that.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. DENNIG: I think part of what Rich is
2 saying is that we have a difficult time dictating any
3 particular specific approach as long as we can make a
4 safety decision. And it's our hope that the licensee
5 will take the most effective and efficient approach to
6 make that safety case and, hopefully, it aligns with
7 the best estimate with uncertainties approach than
8 with some value approach. But we have a hard time,
9 again, saying you have to do it this way. That's why
10 we call the reg. guides and not reg. requirements.

11 So I think he was just trying to be very
12 honest about not being about to tell a licensee
13 particularly how to do something.

14 MR. LOBEL: This approach is going to a
15 little while to implement, too. And we'll talk about
16 that a little bit in one case a little later. But
17 there are licensees that have analyses already in the
18 pipeline coming in and they can't go back and in the
19 time frame that they need to get their licensing
20 approved, they can't go to a completely new method of
21 analysis. But, hopefully, when the reg. guide is out
22 or even before the reg. guide out some licensees will
23 start taking this new approach.

24 Let me just finish.

25 CHAIRMAN WALLIS: My impression is you're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 going to be just as lenient as you were in the past.

2 MR. LOBEL: Well --

3 MR. TSCHILTZ: I think the impetus is to
4 go towards the new calculation method. And once that
5 topical report is issued that provides that, I think
6 it's going to benefit the licensees. I think they will
7 see it as a benefit.

8 CHAIRMAN WALLIS: Well, what's the benefit
9 though?

10 MR. TSCHILTZ: Well because it will be a
11 lot easier for them to gain Staff approval.

12 CHAIRMAN WALLIS: Well, if they can get
13 Staff approval already simply saying that you've
14 granted it to Vermont Yankee for 56 hours and for so
15 many psi, give it to us, too --

16 MR. TSCHILTZ: It was not easy, sir. It
17 was a difficult process for both us and the licensee.
18 So I --

19 MR. LOBEL: Yes, it was mutual.

20 MR. TSCHILTZ: There are gains to be had
21 there, I think.

22 MR. DENNIG: And the picture that you just
23 described is usually the one that's held in the mind
24 of the licensing managers someplace. That if you give
25 it to X, so give it to us. And it never really ever

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 quite works that way. There's all these little
2 devilish details. And licensees pick up on how they
3 can provide those details up front and get through the
4 process instead of playing 20 questions every couple
5 of months. And that's just the licensing process.

6 So, again, that's the idea is that folks
7 will see that indeed not only do you get a better view
8 of what's going on, a better answer, not only do you
9 not paint yourself into corners but this does provide
10 a more efficient way to have Staff perform it's
11 review. They come back to us with fewer RAIs. And our
12 cost go down for the license.

13 MR. LOBEL: Okay. We're also thinking of
14 changing a position that had to do with a credit for
15 pumps operating in cavitation. And it was something
16 that we reviewed and approved for Vermont Yankee where
17 they had some data from their pumps, but their pump
18 vendor also used some data from similar pumps that
19 were identical to the Vermont Yankee pumps and the
20 parameters that affected NPSH; specific speed, suction
21 specific speed, blade inlet angle and things like that
22 that affect NPSH at the pump.

23 The pump vendor used data from the pumps
24 of similar design but where those parameters were
25 identical. And we're considering maybe changing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 position from the position now, which is that you have
2 to use an identical pump and you have to run that pump
3 for the amount of time -- at least the amount of time
4 you were credited for in your accident analysis.

5 ACTING CHAIRMAN RANSOM: Now, would this
6 change the definition of the NPSH required --

7 MR. LOBEL: Yes. That's what --

8 ACTING CHAIRMAN RANSOM: In other words,
9 you could operate beyond the 3 percent drop in --

10 MR. LOBEL: Yes. They have a slightly
11 larger head drop and that was compensated for by the
12 pump vendor limiting the amount of time that they
13 could operate with that reduced required NPSH.

14 ACTING CHAIRMAN RANSOM: Well, do you
15 require data or experience with that kind of pump?

16 MR. LOBEL: It was data. It was data.

17 Okay. Oh, the last thing is the most
18 important. Like we've been talking about we'll
19 provide more detailed guidance on the statistical
20 approach. And we've been having some very preliminary
21 discussions with GE about them preparing a topical
22 report that would describe a method that would go
23 through this method and actually define the criteria
24 and the distributions for the different parameters,
25 decide which parameters are the significant ones to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 consider. And you're going to hear more about that
2 when I get done.

3 Now we're in risk-informed. Marty Stutzke
4 will address the risk-informed aspects. And then
5 we're prepared -- General Electric is prepared to give
6 you their presentation on their thoughts so far on the
7 statistical approach.

8 MR. STUTZKE: Hi. Marty Stutzke from NRR
9 Division of Risk Assessment.

10 I want to talk to you about the risk-
11 informed guidelines we intend to put in Reg. Guide
12 1.82.

13 Before talking about the technical details
14 of how that risk assessment should or should not be
15 done, I've tried to lay out the regulatory thinking as
16 to why we want to go down this pathway.

17 I will remind you that risk-informed
18 license amendment requests are voluntary. We can't
19 demand a license risk-informed license amendment
20 request unless we have belief that adequate protection
21 is questionable. That guidance is in Standard Review
22 Plan 19 Appendix D. Basically the burden is upon the
23 Staff to demonstrate that special circumstances may
24 exist that rebut a presumption of adequate protection.
25 And these are typed examples of special circumstances

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that I think are particularly appropriate for the
2 containment accident pressure credit.

3 Now the way Appendix D leads me is when I
4 reach this decision, I have to convince my management
5 that such circumstances exist. We can then request
6 the licensees to provide information. If they don't
7 provide it, we can elevate it to higher levels of
8 management, all the way up to the Commission like
9 this. So what we're trying to do in the revision of
10 Reg. Guide 1.82 is very -- in my mind it's similar to
11 what we've done on the extended power uprate where
12 we've already made a finding that EPU, in this case,
13 containment overpressure credit does question or raise
14 special circumstances. And so from that we can
15 request the information up front rather than going
16 through the process here.

17 That's kind of the regulatory, I guess,
18 perspective from them.

19 Changing to the next slide, I'll remind
20 that you've written a letter back in the end of the
21 1997 that said decisions to grant overpressure credit
22 should be risk-informed and consider a broad range of
23 accident sequences. And we intend to do that as was
24 done at Vermont Yankee.

25 The other thing is that risk informing

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the overpressure credit we need to be consistent with
2 various NRR office instructions. LIC-101 is our
3 procedure for reviewing license amendment requests.
4 And there's guidance in there basically is abstracted
5 from the various risk-informed reg. guides like 1.174,
6 the SPR 19, Appendix D that tell us the process by
7 which we view these things.

8 A more recent NRR for this instruction is
9 LIC-504. It talks about risk-informed decision making
10 for emergent issues. And the reason why I mention
11 that is that it talks about when you reach an impasse
12 in the implementation of Reg. Guide 1.74 we're
13 supposed to use an integrated decision making process.
14 We're not risk-based, we're risk-informed. We have to
15 consider other aspects. And when we have trouble
16 reaching that decision, LIC-504 tells us what we
17 should do.

18 So going to the next slide, once we've
19 reached a conclusion that the special circumstances
20 may exist, Appendix D of SRP 19 refers us directly to
21 Reg. Guide 1.74. Specifically it says evaluate the
22 credit against the five key principles of risk-
23 informed decision making. That's what we did at
24 Vermont Yankee,

25 Okay. Some of those key principles are

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 risk-informed; in other words we actually calculate a
2 change in core damage frequency or LERF. Others have
3 been more deterministic; the consideration of defense-
4 in-depth, adequate safety margins, compliance with
5 regulation like this.

6 What I want to point out, and in fact to
7 ensure you based on some discussion we've had with the
8 ACRS in the past, there's a distinction between the
9 concept of adequate protection and risk numbers. Just
10 a meeting numerical risk acceptance guidelines doesn't
11 mean you have adequate protection. There are other
12 features that need to be considered like this.

13 It was stated before by one member of the
14 Committee that the PRA argument always trumps the
15 defense-in-depth argument. We don't agree with that.
16 We've never operated that way. The risk assessment is
17 not a trump card, but it may be the ace in the hole,
18 if you want to look at it that way.

19 So given that, we will devise appropriate
20 guidance in Reg. Guide 1.82 that will refer to this
21 SRP chapter 10 and perhaps onward to Reg. Guide 1.174
22 like that.

23 MEMBER KRESS: When you did the Vermont
24 Yankee thing, you did not use LERF, you used LRF. I
25 presume you intend to continue in that direction? If

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 you went to 1.174, you wouldn't find that anywhere.
2 That bothers me because this is a late --

3 MR. STUTZKE: Well, it's true that large
4 release frequency is not one of our current risk
5 matrix. Large early release frequency is directly in
6 174. At Vermont Yankee I looked at conditional
7 containment failure probability.

8 MEMBER KRESS: Yes, that's right. Yes.

9 MR. STUTZKE: And the reason is that gave
10 me some measure of much defense-in-depth was being
11 changed.

12 MEMBER KRESS: Yes.

13 MR. STUTZKE: This notion of balance
14 between accident function and --

15 MEMBER KRESS: And I would hope you would
16 continue along that same line, even though --

17 MR. STUTZKE: Well, that's --

18 MEMBER KRESS: Something has to be said in
19 the guide that somewhere --

20 MR. STUTZKE: That's right. That's right.
21 That's the sort of detail that I may add. And, of
22 course, it's an uphill battle. I have to convince
23 other people of the Staff. I personally --

24 MR. TSCHILTZ: It's a policy issue of the
25 Commission.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER KRESS: Certainly. I understand.

2 MR. TSCHILTZ: You would have to go back
3 to the Commission and --

4 MEMBER KRESS: I understand. But it's the
5 right thing to do. And you'd probably get a lot of
6 support from the ACRS.

7 MR. TSCHILTZ: We're having discussions
8 with Mr. -- they contain the failure next week in a
9 meeting.

10 MEMBER KRESS: Okay.

11 MR. TSCHILTZ: We are discussing it.

12 MR. STUTZKE: Rest assured, I won't write
13 a one liner that says go look at 1.174 and do all
14 that. We will have to amplify that.

15 That's about all I have to say.

16 MR. LOBEL: I'd just like to add the
17 schedule. We had -- it's in the handout.

18 This is a tentative schedule, but
19 hopefully we'll be able to meet. To come back to you--
20 well, to the full Committee in June. Because of the
21 amount of changes from the previous version of the
22 reg. guide, although we did a waiver the first time
23 around adding the risk by component and then
24 statistical approach, we need to consider whether we
25 need to go to CRGR or, as we always, as ACRS.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Then we'll put out the draft for comment
2 and roughly a year later issue the final version.
3 Okay.

4 And now I'd like to just have a
5 representative from GE discuss the statistical
6 approach in a little more detail. And I don't think
7 you have handouts for that, do you?

8 CHAIRMAN WALLIS: No.

9 ACTING CHAIRMAN RANSOM: This is also
10 discussion of Reg. Guide 1.82?

11 MR. TSCHILTZ: This is in support of the
12 Staff's effort on the statistical approach.

13 MR. LOBEL: This is Richard Lobel again
14 from the from the Staff. We've discussed this
15 situation with GE some because a lot of the plants
16 that -- at this point a majority of the plants that
17 we're taking for containment pressure are Mark 1 BWRs.
18 And we've had some preliminary discussions and GE has
19 offered to try to produce a topical report that would
20 go through the method and define the method in a way
21 that at least would be applicable to BWRs. So it
22 won't be done in time to reference in the draft
23 version of the reg. guide, but hopefully by having
24 continued discussions between GE and ourselves, a lot
25 of what they find out in the process of developing the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 topical report will help us write the reg. guide.

2 DR. BANERJEE: Do we have a copy of this?

3 So you're anonymous.

4 MR. QUINTANA: I apologize for that. My
5 name is Lou Quintana. I'm the licensing manager at GE
6 Nuclear Energy. And in discussions with the staff,
7 Rich in particular, he asked if we could make a small
8 presentation on essentially a joint effort at working
9 on a statistical uncertainty based approach for, in
10 this case, limited to BWRs, special temperature
11 calculations which are the predominant inputs from the
12 GE perspective of our portion of the analysis on the
13 NPSH calculations.

14 So this will be a, as you'll see
15 obviously, a very high level discussion because we
16 are, again, in the process of starting this detailed
17 methodology development, to call it that, working with
18 Staff and ultimately intending to be consistent with
19 the changes to Reg. Guide 1.82 are those are
20 developed.

21 The main goals, obviously, are to better
22 define the uncertainties and the degree of
23 conservatism. Certainly in the VY experience that was
24 very important to the ACRS as well as to the other
25 stakeholders. And so that's the goal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 The derivative result is that ultimately
2 the NPSH calculation basis will be clear.

3 CHAIRMAN WALLIS: This will include
4 everything, including for instance the pressure drop
5 across screens and that sort of thing as well?

6 MR. QUINTANA: I'll discuss that briefly.

7 CHAIRMAN WALLIS: That's part of --

8 MR. QUINTANA: We're trying to determine
9 what ultimately the key parameters will be. And you'd
10 all, obviously, voiced an input on what some of those
11 are. Ultimately it will be a balance between what can
12 be done with significant enough data to justify the
13 variation in that parameter or whether it just be able
14 -- or be only forced to pick a conservative number
15 that we all agree is conservative, which is where we
16 are today. But the theory here is that for as many
17 parameters as we can, and certainly the ones that are
18 key, we try to develop --

19 CHAIRMAN WALLIS: Will you do something
20 about the uncertainties in the debris, for instance?

21 MR. QUINTANA: Dr. Wallis, I can't answer
22 that one right now. I don't have an answer to that
23 one. I think that's a developing situation in
24 particular in BWR space. Obviously, we talked about it
25 for Yankee. But I couldn't tell you -- I'm not even

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 sure -- well, maybe the ACRS could tell us what
2 uncertainties you think we should use. But I don't
3 know that those are established. So --

4 MR. LOBEL: Could I just make a comment.

5 MR. QUINTANA: Certainly.

6 MR. LOBEL: I think as far as debris goes,
7 the whole program to design the suction strainers for
8 the BWRs and quantify all those things was done on the
9 basis of trying to bound. And to try to derive
10 distributions from the tests that were done is
11 probably not possible. And so that would probably have
12 to fall into the category that's in the best estimate
13 LOCA reg. guide of you're allowed to keep something
14 conservative as long as it doesn't mask the behavior
15 of other variables or bias the final result. And I
16 just know how it would be possible to derive a
17 meaningful distribution from that. We could make an
18 assumption. GE could make an assumption. But I'm not
19 sure that we could ever defend it very well.

20 DR. BANERJEE: So these are what pressure
21 requirements are usually for Mark 1s, right?

22 MR. LOBEL: Yes. BWRs Mark 2s and Mark 3
23 containments don't need containment over pressure.
24 Just the Mark 1s.

25 DR. BANERJEE: And they have this, the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 same as --

2 MR. QUINTANA: It's the Torus wet well.

3 DR. BANERJEE: So they would come up with
4 solutions somewhat similar in terms of strainers and
5 things like that?

6 MR. LOBEL: Well, all the Mark 1s have
7 installed final design strainers in response to a
8 bulletin from 1996. Bulletin 9603. And most of that
9 work was done before 1999 or in 1999.

10 DR. BANERJEE: But do they look a lot like
11 the Vermont Yankee stack screens or --

12 MR. LOBEL: That was one design.

13 DR. BANERJEE: Okay.

14 CHAIRMAN WALLIS: And one of our problems
15 was that was they used tests on single disks to
16 predict the performance of stack disks. And that
17 seemed to be inappropriate. So we I think sort of
18 stuck an uncertainty factor on that, a factor of 10 or
19 something, or some of us did in our thinking.

20 MR. QUINTANA: Right. That was discussed
21 in the --

22 CHAIRMAN WALLIS: Are you going to go into
23 that sort of thing?

24 MR. LOBEL: Well, hopefully not. But if
25 there really is a question about the accuracy of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 design --

2 CHAIRMAN WALLIS: Well, the model --

3 MR. LOBEL: -- I guess we'll have to go
4 back and address it.

5 MR. DENNIG: Rich, I think if we -- not to
6 jump too far, but jump to the second page and go to
7 the last bullet 7. It says "Utilizing downstream NPSH
8 evaluations." Our discussions so far have been along
9 the lines well what can we generalize from the major
10 vendor and what they can provide that would be a
11 general tool that everybody that's everybody got a
12 similar design containment could use. And then there's
13 always going to be a plant specific portion to this.

14 And so, please, let's just see if we can
15 get something we can plug in where we can now take on
16 a plant specific issue and see if we can continue with
17 the same kind of methodology or we default to some
18 bounding approach. But all GE can do in their topical
19 way is to take on what can be genderized in a
20 reasonable fashion.

21 MR. QUINTANA: Right. And maybe to
22 clarify--

23 CHAIRMAN WALLIS: Well, maybe the
24 representative lead plant should be Vermont Yankee
25 since we know such a lot about it now.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. QUINTANA: I don't know that it'll be
2 Yankee. Certainly there's a lot of information, as you
3 said, Dr. Wallis, on Yankee. Ultimately we need to
4 look at all the other key parameters and figure out
5 where we have data where a model is already reflective
6 of it and so forth. And that will be some work that
7 we'll have to work through. But the obvious goal is
8 to make it representative calculation. We're not
9 trying to come up with a bounding calculation that
10 would apply to everybody. We're trying to come up with
11 an approach, a methodology of looking at the
12 containment analysis parameters.

13 DR. BANERJEE: So you want to come up with
14 SPT basically, right?

15 MR. QUINTANA: Yes. Or the effect of
16 variation in parameters on SPT which ultimately then
17 can be utilized in the downstream NPSH calculations.

18 DR. BANERJEE: But this depends on the
19 flow rate, right, in some way to record? I mean, in
20 the long term this --

21 MR. QUINTANA: Yes. I believe that's
22 correct.

23 DR. BANERJEE: So how can you separate
24 that from things like strainers?

25 MR. QUINTANA: Well, I'll go back to what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Rich said and he probably said it better than I can.
2 But on some parameters we may need to say we're going
3 to take a conservative number. Now we all have to
4 then decide if that number is conservative, because we
5 probably won't be able to come up with statistical
6 distributions that, without test data to prove that
7 they're close enough to reality --

8 DR. BANERJEE: So your approach would be
9 a mixed approach to the SPT? Certain parameters where
10 you have uncertainties and so forth would go in some
11 normal distribution or abnormal distribution of
12 whatever things are? And some you just wouldn't have
13 a clue in this chain. And you'd just say I'm putting
14 the bounding value.

15 MR. QUINTANA: I think that's a fair
16 statement. It will be similar I think to the LOCA
17 collocation, the best estimate LOCA where at some
18 point we may -- we declare an over conservative by --
19 I'll use the word consensus. And then we look at more
20 representative, a better estimate type numbers for all
21 the others. And then provide statistical treatment of
22 those to come up with a --

23 DR. BANERJEE: But isn't SPT just a part
24 of a recirc and a LOCA calculation anyway? Can't you
25 just use the methodology that you would use for LOCA?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOBEL: This is Rich Lobel from the
2 Staff.

3 You have to realize how these calculations
4 are done and who does the different parts. And what
5 we're telling you is still in the really preliminary
6 stages and all the planning hasn't been worked out,
7 let alone the analytical methods yet. But General
8 Electric or General Electric in general does the
9 containment calculations. They calculate the
10 containment conditions. And then typically a licensee
11 may have another engineering organization or they
12 themselves may do the rest of the calculation. They
13 may take the temperature of the suppression pool of
14 water and then take that water out of the Torus. And
15 then after that it's a different calculation.

16 And one of the things we're still talking
17 about is how far we're going to be able to go with
18 this method in bringing other parties in so we can do
19 not only the containment part, but also the rest of
20 the downstream part that you're talking about.

21 DR. BANERJEE: Well, they're coupled to
22 some extent.

23 MR. LOBEL: They're definitely coupled,
24 yes. Yes. They're definitely coupled. And my wish is
25 that we could do the whole thing. But we have to work

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 with different organizations and try to put something
2 together. And like I say, what we're telling you is
3 very preliminary yet and all that plans haven't been
4 done.

5 DR. BANERJEE: So let me get this sort of
6 fairly clear in my mind. A utility might use some
7 other organization to do LOCA type locations in the
8 long term cooling.

9 MR. QUINTANA: Typically, those are done
10 by GE. The LOCA containment and then the downstream
11 part, in this case the NPSH, that typically is done by
12 a licensee or --

13 DR. BANERJEE: But the NPSH depends on
14 flow through the core and boiling in the core and all
15 sorts of -- pressure loss through that circuit.

16 MR. LOBEL: Well, not in the core.

17 This is Rich Lobel from the Staff again.

18 DR. BANERJEE: Yes.

19 MR. LOBEL: It depends on what -- I'm sure
20 that's part of it, but the temperature you're
21 concerned when you do all that calculation is the
22 temperature in the Torus.

23 DR. BANERJEE: Right. So you decouple
24 that. Okay.

25 MR. LOBEL: So you've done the containment

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 calculation, mass of energy into the containment. Some
2 of it goes to the suppression pool. And you calculate
3 the temperature in the suppression pool. That's one
4 part of the calculation. And then the utility can
5 either ask General Electric to do the rest of the
6 calculation or they can ask somebody else, or they can
7 do it themselves.

8 DR. BANERJEE: Right.

9 MR. LOBEL: But you're correct, it's all
10 connected. That's organizational. Technically it's
11 all --

12 DR. BANERJEE: Right. So it's loosely
13 enough coupled that you can see another organization
14 doing that, starting with the SPT temperature.

15 MR. LOBEL: Right.

16 DR. BANERJEE: Okay.

17 MR. LOBEL: Because each utility has it's
18 own pumps and it's own piping designs --

19 CHAIRMAN WALLIS: Well, at Vermont Yankee
20 the service water temperature came into this, though,
21 didn't it? Was that because that was used to cool the
22 suppression pool? Was that what it was?

23 MR. LOBEL: Yes. That is --

24 CHAIRMAN WALLIS: And that's going to be
25 tremendously seasonal.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. LOBEL: That was the only source of --

2 CHAIRMAN WALLIS: I mean that was sort of
3 40 something for six months of the year.

4 MR. LOBEL: Right.

5 CHAIRMAN WALLIS: And then occasionally in
6 the summer it might go up to 80. That must be plant
7 specific. There's nothing generic about surface water
8 temperature.

9 MR. LOBEL: Oh, absolutely. Yes.

10 ACTING CHAIRMAN RANSOM: That's a very key
11 variable.

12 MR. QUINTANA: Right. And we touch on it
13 briefly as one of the variations is liquid. And for
14 them it made a, I'll say dramatic appearance of
15 difference. But that may not be true for somebody in
16 the south.

17 CHAIRMAN WALLIS: But GE isn't going to do
18 that.

19 DR. BANERJEE: They may.

20 MR. QUINTANA: It would be a factor,
21 because it is ultimately an input for us.

22 MR. LOBEL: It would be a factor and the
23 suppression pool temperature would have to be
24 considered because that's the only source of cooling
25 that's taken credit for in the analysis is the RHR

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 heat exchanger. There are other loss mechanisms, but
2 they're not included in the analysis. Another
3 conservatism.

4 DR. BANERJEE: I think I get the picture.
5 Okay. Yes.

6 MR. QUINTANA: Okay. Without belaboring
7 it too much, the goal is to quality those as best we
8 can with data that exists. We would develop sets of
9 inputs essentially for statistical analysis variations
10 in those inputs. A somewhat traditional approach.

11 We would do the temperature calculations.
12 At this point we're thinking it'll be a Mark 1.

13 And then when we determine the response
14 and the variation, obviously, in that response with
15 the variations in the inputs and come up with a
16 statistical uncertainty on it's confidence level,
17 whether that will be something that we actually but
18 something we're considering.

19 And ultimately feed that into NPSH
20 calculations and what we have to sort of work out with
21 industry and the staff is how you do that. But the
22 point here is that we would look at the way we do this
23 pressure temperature calculations and the derivative
24 NPSH in a statistical approach. And again try to come
25 up with a methodology that can ultimately be

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 referenceable and useable by licensees so that they
2 don't have to have these super-conservative analysis
3 that ultimately if we look at it in a more best
4 estimate manner would not even need the NPSH. Yankee
5 being one exception. But at least it would -- and also
6 for other plants would minimize the time that even
7 with conservatism that you would feel you needed it.

8 So that's the goal.

9 CHAIRMAN WALLIS: So it all looks pretty
10 preliminary.

11 MR. QUINTANA: That's correct.

12 DR. BANERJEE: So if you use a containment
13 code then you should get this as well as -- I mean,
14 the early stages of LOCA you probably look at the --

15 MR. QUINTANA: At this point in
16 discussions with the Staff we would use a containment
17 code that's been reviewed and approved by the Staff on
18 a number of different applications already.

19 DR. BANERJEE: So your LOCA code would
20 have to also be a best estimate code of some sort in
21 this case, right? I mean --

22 MR. QUINTANA: It typically is.

23 DR. BANERJEE: Yes.

24 MR. QUINTANA: At almost every plant that
25 I can think of right now is a safe injector plant,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 which is a safe injector LOCA, which is a best
2 estimate code. I think there might be a couple that
3 are still safe reflood, but I can swear to that.

4 DR. BANERJEE: Safe injector.

5 MR. LOBEL: This is Rich Lobel from the
6 Staff.

7 That just puts the mass and the energy
8 into the containment and then the super hex code would
9 be used to do the suppression pool temperature
10 calculations.

11 MR. QUINTANA: We're not posing as part of
12 this to change the input, the LOCA input.

13 DR. BANERJEE: And super hex is a best
14 estimate code?

15 MR. LOBEL: I'm not sure.

16 MR. QUINTANA: I think it'll be closer to
17 one after we -- the application of it will be closer
18 to one.

19 MR. LOBEL: That's one of the questions
20 that I have that we haven't talked about the general
21 effort. That's something that needs to be discussed.
22 Like I say, this is in the very early stages.

23 MR. QUINTANA: Ultimately if a best
24 estimate code meets every parameter and every model
25 and everything in it is best estimate, then I suspect

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that we won't be by that definition. But we'll be a
2 closer to that than we are today.

3 ACTING CHAIRMAN RANSOM: Any further
4 discussions.

5 CHAIRMAN WALLIS: Well, let's go back to
6 Rich's presentation. Now I didn't quite see Rich's
7 logic so these are the present problems with the
8 present guide and these are my ideas for resolving
9 them. This is how I will measure that I've succeeded
10 in resolving the problems. I think you've got some
11 ideas of what you might do. It wasn't clear to me why
12 they resolve the problems, some of which are some
13 incompatibility with some of the statements by ACRS,
14 for instance.

15 MR. LOBEL: We really haven't sat down yet
16 and thought thorough all this. I think we've all been
17 busy with other things. And with the tentative
18 schedule we've given you, we got to get started pretty
19 fast. But we really haven't given this much thought
20 since the discussions with Vermont Yankee.

21 MR. DENNIG: Very well. While Rich was
22 working on Vermont Yankee in parallel we were feeling
23 people out about how can we make progress on doing
24 things differently or at least offering alternatives
25 to people instead of doing things the same old way ad

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 nauseam ad infinitum. So during that period of time
2 the past year or so we've had feelers out for how we
3 can leverage ideas about doing best estimate plus
4 uncertainty in this particular area. And I think Rich
5 and Marty have been very successful in getting GE's
6 cooperation so far to even look at the idea and to
7 invest some of their effort in the idea since what
8 they do is going to effect a fairly large population.

9 So we're going as fast as we can. We wish
10 we could go faster. We wish you had the answers. But
11 we've heard the message. We think everything -- a lot
12 of other things have gone in the best estimate and
13 uncertainty directions. So it's time to get on with
14 it.

15 ACTING CHAIRMAN RANSOM: Okay. Thank you,
16 Rich, fellas.

17 MR. LOBEL: Thank you.

18 ACTING CHAIRMAN RANSOM: Do I have
19 anything to do for the next one?

20 CHAIRMAN WALLIS: Well, you might have to
21 write a letter on TRACG application --

22 ACTING CHAIRMAN RANSOM: You still want a
23 letter --

24 CHAIRMAN WALLIS: No. I think it depends
25 upon the schedule.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 DR. BANERJEE: I don't think you're put
2 that today --

3 CHAIRMAN WALLIS: You could write a letter
4 which says more work needs to be done and here is some
5 of the things we'd like to see.

6 DESIGNATED OFFICIAL CARUSO: Or you could
7 do it in March.

8 CHAIRMAN WALLIS: Or we could just pull it
9 into March. Well, I think Sam would be very upset.

10 DESIGNATED OFFICIAL CARUSO: They're not
11 happy at all with March right now.

12 DR. BANERJEE: Who is not. Oh, you mean
13 for the main Committee.

14 (Whereupon, at 6:11 p.m. off the record
15 until 6:13 p.m.)

16 ACTING CHAIRMAN RANSOM: We're still on
17 the record.

18 DR. BANERJEE: You know, my sense of it is
19 they're going to get the approval. It's a question of
20 making sure that we're happy --

21 ACTING CHAIRMAN RANSOM: Right.

22 MEMBER KRESS: I think we just need some
23 more assurance.

24 DESIGNATED OFFICIAL CARUSO: I think it's
25 a good idea that we're happy with the reactor, but

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're not happy with the methodology. And we just
2 need to express that better.

3 MEMBER KRESS: Well, I think TRACG looks
4 pretty good. You know the PIRT is good.

5 DESIGNATED OFFICIAL CARUSO: But the
6 explanation sucks.

7 MEMBER KRESS: Well, yes, the explanation
8 sucked and we didn't see a good database for
9 calibration of TRACG. But, you know, I think when we
10 see it, we'll probably like it.

11 DR. BANERJEE: Yes. We like it --

12 ACTING CHAIRMAN RANSOM: Yes, we might as
13 well go off the record.

14 We can go off the record at this point.

15 (Whereupon, at 6:14 p.m., the meeting was
16 adjourned.)

17

18

19

20

21

22

23

24

25

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701