

Official Transcript of Proceedings
NUCLEAR REGULATORY COMMISSION

Title: Advisory Committee on Reactor Safeguards
Materials, Metallurgy and Reactor Fuels
Subcommittee

Docket Number: (not applicable)

Location: Rockville, Maryland

Date: Tuesday, March 6, 2007

Work Order No.: NRC-1463

Pages 1-117

NEAL R. GROSS AND CO., INC.
Court Reporters and Transcribers
1323 Rhode Island Avenue, N.W.
Washington, D.C. 20005
(202) 234-4433

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

UNITED STATES OF AMERICA

NUCLEAR REGULATORY COMMISSION

+ + + + +

ADVISORY COMMITTEE ON REACTOR SAFEGUARDS (ACRS)

MEETING OF THE SUBCOMMITTEE ON MATERIALS, METALLURGY

AND REACTOR FUELS

+ + + + +

TUESDAY,

MARCH 6, 2007

+ + + + +

The meeting was convened in Room T-2B3
of Two White Flint North, 11545 Rockville Pike,
Rockville, Maryland, at 1:00 p.m., Dr. William
Shack, Acting Chairman, presiding.

MEMBERS PRESENT:

- WILLIAM SHACK Acting Chair
- MARIO BONACA Member
- DANA POWERS Member
- TOM KRESS Member
- MARIO BONACA Member

NRC STAFF PRESENT:

- TED SULLIVAN
- ALADAR CSONTOS
- SIMON SHENG
- MATTHEW MITCHELL

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

ALSO PRESENT:

DAVID RUDLAND

CRAIG HARRINGTON

JIM REILLY

DANA COVILL

GLEN WHITE

ALEX MARION

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

A-G-E-N-D-A

Introduction 4

Analysis Results of Wolf Creek Flaws:

Regulatory Conclusions 6

Mr. Sullivan, Mr. Csontos, Mr. Rudland

NEI/EPRI Presentation of Industry Actions

to Address Dissimilar Metal Weld Flaw Issue . . . 46

Mr. Reilly, Mr. Covill

NRC Comments 84

Question of ACRS Re: Duane Arnold 99

Matt Mitchell

P-R-O-C-E-E-D-I-N-G-S

1:00 p.m.

ACTING CHAIR SHACK: The meeting will now come to order.

This is a meeting of the Materials, Metallurgy and Reactor Fuels Subcommittee.

I am Bill Shack, Acting Chairman of the Subcommittee. Sam Armijo, the Chairman of the Subcommittee, could not be here today because we sent him off to Japan.

Other ACRS members in attendance are Dana Powers and Tom Kress. Mario Bonaca will be joining us later, we hope if the airplanes fly on schedule.

Gary Hammer of the ACRS staff is the Designated Federal Official for this meeting.

The purpose for this meeting is to discuss the technical basis associated with the regulatory activities for dealing with the dissimilar metal weld issue stemming from the Wolf Creek pressurizer weld flaws as well as industry activities associated with this matter.

We will hear presentations from the NRC's Office of Nuclear Reactor Regulation, the Office of Nuclear Regulatory Research and their

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 contractor, Engineering Mechanics Corporations of
2 Columbus, the Nuclear Energy Institute and the
3 Electric Power Research Institute.

4 The Subcommittee will gather
5 information, analyze relevant issues and facts and
6 formulate proposed positions and actions as
7 appropriate for deliberation by the full Committee.

8 The rules for participation in today's
9 meeting have been announced as part of the notice of
10 this meeting previously published in the *Federal*
11 *Register*.

12 Portions of this meeting may be closed
13 for the discussion of proprietary information.

14 We have received no written comments or
15 requests for time to make oral statements from
16 members of the public regarding today's meeting.

17 A transcript of the meeting is being
18 kept and will be made available as stated in the
19 *Federal Register* notice. Therefore we request the
20 participants in this meeting use the microphones
21 located throughout the meeting room when addressing
22 the Subcommittee.

23 Participants should first identify
24 themselves and speak with sufficient clarity and
25 volume so that they can be readily heard.

1 We will now proceed with the meeting.
2 And I'll call upon Mr. Ted Sullivan of the Office of
3 Nuclear Reactor Regulation and Mr. Al Csontos of the
4 Office of Nuclear Regulatory Research to begin.

5 MR. SULLIVAN: Thank you. My name is
6 Ted Sullivan, and I will be making some brief
7 introductory remarks just to get things going and
8 provide a little bit of connection between the last
9 meeting and this meeting. And then Al Csontos is
10 going to continue with a discussion of the analyses
11 performed for NRR with the support of our Office of
12 Research.

13 On February 2nd we had a fairly short
14 meeting with the ACRS to provide some introductory
15 background on the Wolf Creek inspection results and
16 our assessment of those results. Industry will get
17 a comparably short time to provide some introductory
18 remarks. So, today's meeting is to continue that
19 dialogue and have much more time to discuss it.

20 But in the February 2nd meeting we
21 talked about our inspection findings. We briefly
22 summarized our fracture mechanics analysis, and we
23 also provided some conclusions. At that time we
24 indicated the following conclusions, and these are
25 still our conclusions:

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 That we did not consider the Wolf Creek
2 indications to be anomalous;

3 We indicated that it was our view that
4 inspections and mitigations needed to be accelerated
5 for some plans. And I'll be talking more about that
6 later as to which plans and how that has come into
7 play;

8 And then we also indicated that we
9 believed that it would be appropriate for enhanced
10 leakage monitoring frequency action levels and
11 actions to be put in place until inspections or
12 mitigations were completed.

13 The analyses that Al is going to talk
14 about provide the technical basis for the staff's
15 conclusions. And Al is going to provide more detail
16 on the fraction mechanics analyses that were
17 performed by our Office of Research. And subsequent
18 to that I would like to come back and make a couple
19 of sort of conclusionary remarks about what has
20 happened in regulatory space between the analyses
21 and the current time.

22 And I also wanted to make the statement
23 that I'm sure you're aware of, that the NRC staff is
24 requesting a letter from ACRS on this issue, and
25 we're interested in your views on the staff's

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 approach and conclusions and on our comments on
2 additional industry studies.

3 Now, I'm bringing it up at this time,
4 it's a little out of context. I think you may be
5 aware of that. But industry/NRC are going to make
6 some comments on it. And I believe that Gary
7 provided to you some late breaking information by
8 means of a copy of a letter that was signed
9 yesterday and just dispatched yesterday or today on
10 this subject. So it'll make more sense as the
11 meeting goes on.

12 And with that, I would like to turn --

13 ACTING CHAIR SHACK: Just on that, I
14 sort of read that letter as that you guys had agreed
15 on a course of action.

16 MR. SULLIVAN: What we have indicated is
17 that -- I'm going to talk about this in a little
18 more detail, but --

19 ACTING CHAIR SHACK: Maybe we should
20 just wait for that.

21 MR. SULLIVAN: We have agreed that the
22 analyses that industry is doing may be able to use
23 in regulatory space. And we have made a number of
24 comments on those analyses that we think need to be
25 addressed in order to, at a minimum, assure that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 those calculations are going in a direction that we
2 may be able to agree on the path and that the
3 results could be useful to us.

4 It's just some introductory agreements
5 that we're trying to work out with industry before
6 the analyses get too far along so that are thoughts
7 are working together on these analyses.

8 And we are going to be working, you
9 know, quite real time with industry. We're doing a
10 number of analyses ourselves. We're going to be
11 attending a whole series of meetings where we're
12 going to talk about the project and our views on
13 it's being conducted, as opposed to getting a
14 product some months down the road and saying "Well,
15 we had talked about this, that or the other thing up
16 front."

17 So we can talk about that more a little
18 bit later.

19 MR. CSONTOS: I'm Al Csontos. I'm from
20 the Office of Research. And I'll be talking about
21 the NRC flaw evaluation study on the Wolf Creek
22 indications.

23 I just want to give a little quick
24 chronology before we get into this, which is back in
25 late October '06 NRR came to RES and asked us to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 support them with this flaw evaluation study. We
2 then contracted out to EMC₂, and Dave Rudland, who
3 is right there, is the principal investigator and
4 also the principal author to the report that you all
5 I believe had access to.

6 I think it was the middle of November we
7 received site specific information from Wolf Creek
8 itself that we were then able to initiate the
9 calculations. And so this calculation was done over
10 a course of maybe three days. It was a very quick
11 scoping analysis. And under that context that's
12 where all this work is done.

13 All right. The purpose of the work for
14 this study was to assess the integrity of the
15 pressurizer nozzles as a function of time. And the
16 specific objectives of it were to evaluate or
17 determine the time current size to leakage, the time
18 from leakage to rupture under both the normal
19 operating and the vaulted operations. And all go
20 through all the assumptions that we took into
21 account there.

22 And the final secondary objective to
23 this was to determine the leak rates from these
24 types of through-wall flaws that were coming through
25 the various nozzles. And we broke out these results

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 by nozzle type.

2 First, the big assumption here is that
3 we treated the indications as PWSCC flaws. We
4 received site specific information from Wolf Creek
5 itself, and that included the geometry and the
6 dimensions, well dimensions of the indications, and
7 then the nozzle and weld geometries. We also got
8 the operating temperatures for the pressurizer. And
9 then also the normal operating loads. We evaluated
10 three cases, well three loads: the pressure,
11 deadweight, thermal and also the faulted loads that
12 we had in the safe shutdown earthquake that we added
13 to the normal operating ones.

14 Slide 8.

15 We took into account the assumptions
16 here that we had elastic K solutions for both the
17 surface optical flaw as well as the through-wall
18 crack flaw. And we had two separate types of
19 assumptions there, elastic K solutions for both.
20 Dave can go into more detail if you want him to.
21 But let's just go through this.

22 The assumption here was that crack
23 growth rates occur in Alloy 182. I believe the 82
24 is a slower crack growth rate, but from what our
25 information was is that the 82 was for the route

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pass and then after that it's filled in with 182.

2 And so we decided to go with 182.

3 We also went with a 75 percentile for
4 the MRP-115 crack growth rate. And there's several
5 factors that you have to include there. We did not
6 include the microstructure factor where the
7 dendrites are perpendicular to the growth direction.
8 We didn't include any of that. We just went with the
9 equation in there, but we didn't talk about it.

10 The surface crack was idealized to
11 remain semi-elliptical as it went through the tube
12 through-wall. Once it went through the through-wall
13 it was slightly different. We had an equivalent
14 cracks -- we'll go into that.

15 Two cracks growth cases were evaluated,
16 K-drive and then constancy override. The constancy
17 override is one where the aspect ratio was fixed
18 throughout the entire growth process. And the K-
19 drive, of course, is just a K-drive where we took
20 the K solutions for the crack growth.

21 MR. SULLIVAN: Now this is a weighted K
22 solution for the surface crack and so you get the
23 two axis of the ellipse growing?

24 MR. CSONTOS: Dave?

25 MR. RUDLAND: It's actually we grew the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 crack directly from the struck pins of the active
2 crack and at the dendrite point.

3 ACTING CHAIR SHACK: Okay.

4 MR. RUDLAND: It's a weighted average
5 across the crack front. It was just using the Ks at
6 the --

7 ACTING CHAIR SHACK: At that point?

8 MR. RUDLAND: -- as well as over it.
9 Yes.

10 MR. CSONTOS: The crack growth there was
11 for the growing crack. The critical crack size to
12 determine rupture, we calculated for both the
13 surface and the through-wall cases. A surface crack
14 length and also a critical through-wall crack
15 length. That's to determine when rupture would
16 occur or the time between leak and rupture. That
17 was calculated under elastic-plastic fracture
18 conditions. We also did limit load, but elastic-
19 plastic was conservative to the limit load work, so
20 we used that as our condition.

21 And we looked also at normal operating
22 as well as the faulted condition, which is normal
23 operating plus the safe shutdown earthquake loads.

24 So we'll go now to the surge line nozzle
25 and its results. This is what was found, UT shared

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 these indications.

2 There were three flaws that were found.
3 One was the 4" 31 percent through-wall flaw with a
4 nine to one aspect ratio. That's the one that we
5 will be evaluating. We did not evaluate any kind of
6 crack linkage or any kind of a effect between the
7 three. We just worked with the worst case flaw here,
8 which is the 4" flaw.

9 The weld length is 37" and the diameter
10 of the weld area was 12" and 15 ID and OD
11 respectively.

12 And let me just say here that this is
13 what we knew at the time. We have some additional
14 information here in terms of the weld repair
15 history. But at that time all we had known about
16 this weld was that it had an extensive repair
17 history. And that's what we went with. And we had
18 to go from that and understand or choose some
19 assumptions that would give us some weld additional
20 stress. And I'll go into that.

21 Next. The last volumetric examination
22 was done in 1993. That was pre-PDI. So not much can
23 be taken from that.

24 And now we're on slide 10. These are the
25 assumptions that we took into our analysis. We

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 examined it, we had the loading conditions from the
2 site specific information. I'll go through that
3 first. And we had the deadweight pressure and
4 thermal expansion with no stratification. We
5 evaluated the time to rupture with the normal and
6 faulted operated conditions. And three weld
7 residual stress cases that we evaluated for this was
8 two bounding and then somewhere in between. The
9 least conservative would be the no residual stress
10 case. That, obviously, would be a bounding case.
11 And the other case on the other side, the more
12 conservative side, was a weld residual stress with a
13 repair well residual stress. And weld repair was a
14 15 percent ID axi-symmetric repair.

15 And we also looked at our middle case,
16 which is the weld repair. Oh, I'm sorry. Weld
17 residual stress. No weld repair.

18 The weld residual stresses that we
19 looked at here, the weld residual stress plus the
20 repair weld residual stress were derived from the
21 large break LOCA program with Batelle and EMC₂. And
22 we'll show that, actually right now.

23 You see here this line right here, the
24 purple line, is the weld residual stress that was
25 calculated from the large break LOCA program.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 This light pink or light purple dots are
2 also the calculations that were done for the 15
3 percent weld repair weld residual stresses. And this
4 was the fit, this darker blue purple line here is
5 the fit to that data. And we used this curve, this
6 purple curve and this lighter blue curve here as our
7 two cases for the weld residual stress and the weld
8 residual stress plus the weld repair residual
9 stress.

10 ACTING CHAIR SHACK: Dave, have you like
11 at the MRP-106 residual stresses for this case?

12 MR. RUDLAND: For this particular case,
13 yes, the trends are about the same for this size
14 diameter pipe. We've compared our residual stresses
15 for all the diameters, especially the smaller ones.

16 ACTING CHAIR SHACK: This is weld center
17 line section?

18 MR. RUDLAND: Well, you know this really
19 isn't. This is really in -- this is the highest
20 stress through the weld.

21 ACTING CHAIR SHACK: Okay. So this is a
22 slice actually somewhere through the weld to get the
23 highest?

24 MR. RUDLAND: Yes, that's right. That's
25 right. That's right.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIR SHACK: Okay.

2 MR. RUDLAND: So it's not weld center
3 line. Most of the time weld center line you end up
4 with a little bit more compression issues,
5 especially in the smaller diameter stuff. But, yes,
6 this --

7 ACTING CHAIR SHACK: We lost you, Dave.

8 MR. RUDLAND: I'm sorry. Can you hear me
9 now?

10 MR. CSONTOS: Yes. Can you repeat that
11 last part?

12 MR. RUDLAND: Yes. For this particular
13 surge nozzle the higher sources were in the butter.
14 So this cut through the butter.

15 ACTING CHAIR SHACK: I mean when I try
16 to compare it with the MRP-106 stresses, I find
17 their stresses are considerably lower. Now, again,
18 the only slice they give me is through the weld
19 center line.

20 MR. RUDLAND: Yes. And it's funny
21 because we did a similar analysis on a -- and we
22 found the same thing is that our stresses matched
23 their stresses at the weld center line, but they
24 were much lower in values.

25 They also did some cases in 106. They

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 showed the maximum stress in the axial direction.
2 And those stresses are always higher but they're
3 usually tending towards the butter.

4 ACTING CHAIR SHACK: Now do you also get
5 the results that they seem to get that the hoop
6 stresses are higher than the axial stresses?

7 MR. RUDLAND: Yes. Yes.

8 ACTING CHAIR SHACK: Okay.

9 MR. RUDLAND: On these weld repairs the
10 ID stresses are always higher.

11 ACTING CHAIR SHACK: The hoop versus
12 axial, which is --

13 MR. RUDLAND: Right.

14 ACTING CHAIR SHACK: The hoop is
15 consistently higher in your analyses also?

16 MR. RUDLAND: For the cases where there
17 is no weld repair, I would say yes. For the cases
18 of welding repair usually the ID stresses are higher
19 than the hoop stresses.

20 ACTING CHAIR SHACK: ID, you mean axial?

21 MR. RUDLAND: The axial stresses, I'm
22 sorry. ID axial stresses.

23 ACTING CHAIR SHACK: Okay.

24 MR. CSONTOS: All right. So that was the
25 methodology that we used. And this on slide 12 is--

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIR SHACK: Oh, one other
2 question. How did you handle the moment loads? I
3 don't see any gradient of stress in your analysis
4 for the K --

5 MR. RUDLAND: This is just weld residual
6 stress. This plot --

7 ACTING CHAIR SHACK: Yes. But in your K
8 calculation did you have a stress gradient from the
9 moment?

10 MR. RUDLAND: Yes. The influence
11 functions are set for each of the stress terms. And
12 there are moment-based influence functions also. So
13 those moment-based influence functions were used.

14 ACTING CHAIR SHACK: But on your long
15 crack tips when you got into the negative part of
16 the bending stress, you never got closure on the
17 track tip?

18 MR. RUDLAND: Yes. You know, you got to
19 realize these are idealized solutions that were
20 generated by Anderson. So there are some cases I
21 think where a crack closure would probably occur.
22 And that was one of the problems with this
23 particular set of analysis is that some of these
24 cracks when they got too long needed to be
25 extrapolated beyond the fields in which they were

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 generated. And in this little bit of study that we
2 did with the industry at the end of the year they
3 actually ran some cases and showed that in that
4 particular region for the very long cracks on the
5 small diameters, we were slightly high on the K
6 sections. Thus, we had to extrapolate.

7 ACTING CHAIR SHACK: Okay.

8 MR. RUDLAND: But overall, the results
9 were very, very close. It's just for the case of the
10 very small diameter very long where there were some
11 extrapolation issues.

12 MR. CSONTOS: And we were trying to get
13 this done. We did get these calculations done in
14 about two days. And so it was sort of quick scoping
15 analysis. And that was the purpose of it.

16 We may go back and reevaluate some of
17 this. When Ted talks and we can talk about that. But
18 for this result, for these results we were doing a
19 quick scoping analysis, and that was where --
20 there's also some other issues but I won't go into
21 those right now.

22 We're on slide 12 here. And now we'll
23 just go into the results. We've broken these down by
24 nozzle type. And what we're going to show here is
25 the time to leakage and when the leakage was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 predicted as well as to the time margin between
2 leakage and rupture.

3 And the color coded sections themselves
4 in these tables here indicate an arbitrary point for
5 us, and which that we knew that we had a of
6 uncertainties in our analysis. For those that
7 showed time margin between leakage and rupture to be
8 six months or less, we color coded in yellow, For
9 those calculations that showed a time margin between
10 leakage and rupture to be greater than six months,
11 we kept it as green. Obviously, just to show that we
12 know there's uncertainly but six months or greater
13 we felt sufficiently okay with our results in that
14 area or those cases.

15 So the leakage predicted to occur for
16 the surge line between 1 and 2.2 years after
17 discovery in October of '06. All the cases
18 indicated that you see here the time margin between
19 leakage and rupture was at least six months between
20 the onset of leakage and to rupture.

21 And what you see here is that we have
22 broken it down by the K driven crack growth results
23 and the constant c/a crack growth results for the
24 time margin between leakage and rupture.

25 We have the normal operating condition

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 as well as the faulted normal plus the SSE
2 condition. And you can see here what we have broken
3 down here is by the weld residual stress plus the
4 repair residual stresses, the weld residual stress
5 only and the no residual stress case. And only the
6 faulted constant c/a a ratio crack growth analysis
7 showed that we'd have the margin between leak and
8 rupture less than or at basically 6 months.

9 ACTING CHAIR SHACK: Just --

10 MR. CSONTOS: Go ahead.

11 ACTING CHAIR SHACK: -- when I go back
12 and I look at the prediction, you know in this model
13 it means all these cracks initiated about four
14 months before we found them. And they all sort of
15 grew just to the right depth in those four months.
16 That seems like a tremendous coincidence.

17 MR. CSONTOS: Are you referring the
18 initiation that's in the report?

19 ACTING CHAIR SHACK: Right. Appendix A,
20 table 2.

21 MR. CSONTOS: Yes.

22 MR. SULLIVAN: We decided not to carry
23 through into today's discussion because --

24 ACTING CHAIR SHACK: No. But it seems to
25 me to indicate something about your assumed crack

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 growth rates. I mean in your whole residual stress
2 model that, you know, it would indicate that if
3 cracks are growing as fast as you think they are,
4 then boy those suckers showed up just a few -- you
5 know, it's a good thing you didn't look six months
6 earlier or you wouldn't have seen anything.

7 MR. CSONTOS: Well, that's the problem
8 with the initiation. I think you mentioned at the
9 ACRS meeting as well is that to try to predict
10 initiation is --

11 ACTING CHAIR SHACK: Yes. But I'm not
12 even trying to predict initiation. I'm sort of
13 looking at from my crack growth model at when my
14 initiation occurred and the fact that all these
15 things occurred, three initiated at the same time.
16 You know, I go 20 years without a crack initiating
17 and then somewhere that week, bang, I get three of
18 them. It just, you know, doesn't the sanity check.

19 MR. CSONTOS: Yes. Well, that's why we
20 didn't add it in here.

21 ACTING CHAIR SHACK: Well, yes. But
22 then to me it reflects on your crack growth
23 assumption. You know, that if I have to make that
24 initiation assumption in order to get where I am
25 today and I don't like that history, why do I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 believe your future is my problem.

2 MR. RUDLAND: There's a couple of things
3 about that. I mean, the sizes of the cracks in the
4 smaller diameter pipes are suggesting that there
5 were multiple initiations that had occurred and in
6 lengths which could explain why the constant depth.
7 That you seem to think about the same depth. But
8 you had several flaws that were growing all about
9 the same rate and they link up and you end up with a
10 long semi-deep flaw. You know, and whether or not
11 you had one initiator on the circumference or
12 whether you had four or five initiator on the
13 circumference if they're growing about the same
14 rate, then you'll end up with several length flaws
15 with all about the same depth.

16 ACTING CHAIR SHACK: Well, I was going
17 to come up with that issue when, you know, you came
18 up with the conclusion that they're growing faster
19 in the length direction than we're predicting. And
20 that was sort of question: Is how do you know we're
21 not linking up a bunch of little cracks.

22 MR. RUDLAND: Oh. Well, you don't. I
23 mean that's --

24 ACTING CHAIR SHACK: Well, but you're
25 making the statement that they're growing faster

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 than we think.

2 MR. RUDLAND: If you take one crack and
3 base it cracks mechanics --

4 ACTING CHAIR SHACK: Right.

5 MR. RUDLAND: -- they seem to be growing
6 faster than that.

7 MR. CSONTOS: Here is our relief and
8 safety nozzle assumptions. So we will show the
9 relief and safety nozzle results separately. But the
10 assumptions are the same for both analyses.

11 And what we did here is the loading
12 conditions are the same. Well, the loading are the
13 same except that they're different loads because of
14 different pipes, But the weld residual stress
15 evaluated for this set of analysis was that, again,
16 the no weld residual stress case. And then we had
17 the ASME weld residual stress case based on the
18 30ksi and 40ksi yield of the weld metal.

19 The 30ksi, correct me if I'm wrong,
20 Dave, but 30ksi is what is used for the Alloy 600
21 yield strength data, and we'll show that some of the
22 word that Dave and folks down at Batelle and EMC₂
23 have showed the weld metal, through experimental
24 results, that the weld metal actually has a little
25 higher yield strength of that at 40ksi.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 So we evaluated the 30ksi case where the
2 ASME weld residual stress was normalized to that
3 yield stress. And the 30ksi yield stress and then
4 the 40ksi. And you'll see the three cases here as
5 well.

6 Slide 14 is derived from the ASME
7 Section XI and it's the weld residual stress for the
8 30ksi and then the 40ksi.

9 Dave, is there anything more you want to
10 say about this?

11 MR. RUDLAND: The way this was developed
12 was the experimental data was derived from IGSCC
13 cracking in the ASME code and from heat effect zoned
14 cracks. And so the experimental data that was there
15 was fit to a function or a multi-linear type of
16 function that was normalized by the yield strength
17 material at the time. So that's where this 30ksi
18 bit came from.

19 I knew from some past experimental data
20 that we generated in some of the NRC programs that
21 the actual yield strength of Alloy 182 at operating
22 temperature of a stress was more like about 55/54ksi
23 at operating temperatures. And so since I had a
24 little problem with the stress data a little bit
25 lower than that, I scaled this ASME relationship up

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 to have an ID axial stress of equal to the yield
2 strength of the material since we had no residual
3 stress calculations for this size pipe. So that's
4 where the calculations came from.

5 So the 40ksi basically is scaled up to
6 the ID axial stress is equal to the yield strength
7 of the way to -- at operating assumptions.

8 MR. CSONTOS: Okay. And --

9 ACTING CHAIR SHACK: Just to make one
10 remark about that. You know one thing about that
11 ASME stress is, you know, if you look at the data
12 that it came from if you actually compute the Ks for
13 each of those individual cases rather than sort of
14 eyeballing a fit to that cloud of data, you know you
15 find that this gives you fairly conservative K for
16 crack growth. And that's great for a disposition
17 curve. You know, you're driving the crack through
18 the wall faster, and in many cases that's what you
19 want; a conservative estimate of when this thing is
20 going to leak. It may well not be conservative from
21 a leak before break point of view where you want to
22 retard that through-wall growth a little bit and let
23 that sucker grow around the circumference.

24 And so you've got a curve that was
25 deliberately set up to be conservative to predict

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leakage, and it may not be conservative. You know,
2 there's certainly a question in using it when the
3 real question in mind is leak before break.

4 MR. CSONTOS: It won't effect a relief.
5 You'll see what I mean. The relief will show no
6 time. So we'll go into that.

7 For relief nozzle, this is the --

8 ACTING CHAIR SHACK: I'm sort of looking
9 to the most sophisticated analysis coming up.

10 MR. CSONTOS: Yes. Okay.

11 As you know --

12 MR. RUDLAND: Can I make a comment about
13 that, Bill. Your comments are very well taken. And
14 if you go back and actually look at the repair
15 history on this relief nozzle, you know I'm sure
16 that the estimate that we made is very poor for
17 residual stress. Because it was extensively
18 repaired both on the ID after the post weld heat
19 treat as well as on the stainless steel safe end was
20 also -- was built it. So there's a lot of stuff
21 going on there. And so , you know, your point's
22 well taken.

23 MR. CSONTOS: Yes. And we didn't learn
24 of that until weeks after we did this analysis.

25 ACTING CHAIR SHACK: And I'm not sure

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 what you would have done with it if you had known it
2 ahead of time.

3 MR. CSONTOS: Yes, I was going to say.

4 So we had one circumferential flaw from
5 the UT indications, and that was 7.7" 26 percent
6 through-wall with a 21 to 1 ratio, c/a ratio.

7 These are the dimensions. And, again,
8 extensive repair history. This is all we knew at the
9 time when we did the evaluation. And the last
10 volumetric examination was back in 2000.

11 So here are the results. Same kinds of
12 the green, yellow, red color coded case. Yellow,
13 again, is six months or less between the time to
14 leakage and rupture. And red is where we have no
15 margin.

16 So what we have here is the results show
17 that the leakage was predicted to occur between 1.9
18 and 2.6 years. The higher number -- well, I'll just
19 with that. You have some of the results and we can
20 go into that more if you want to. But for this case
21 the 10 out of 12 cases indicate that the leakage and
22 rupture occurred simultaneously. And initially we
23 had said 8 out of 12. I think Ted came in and
24 described 8 out of 12 in the previous meeting. The
25 two other cases that we have that showed that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 leakage rupture occurred simultaneously is because
2 the surface cracks stability wasn't there.

3 We did two calculations. One is the
4 through-wall crack stability and the surface crack
5 stability. The surface crack stability indicated
6 two additional cases where before it ever went
7 through-wall, it would have ruptured. That the
8 surface crack would have been critical. And so
9 that's why you have here, we have the 40ksi, 30ksi
10 well residual stress cases and the no weld residual
11 weld cases. And, again, 10 out of 12 showed no time
12 between leakage and rupture.

13 We knew that the idealized through-wall
14 crack evaluation where we said that the ID -- yes.
15 It's there, yes.

16 We initially assumed that the idealized
17 through-wall crack with the OD length equal to the
18 ID surface crack length projected radially to the
19 outside surface. And we knew that was a fairly
20 conservative analysis where we took, basically, this
21 line and projected out and said that's our through-
22 wall crack line. We knew that was conservative. We
23 went back and said let's do something a little less
24 conservative to try to do a sensitive analysis to
25 see what results would occur.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 We went and did this what we called the
2 equivalent through-wall crack size, which is we took
3 the area here and we reduced the length of the
4 through-wall crack down to what these black lines
5 are. Okay? So that gave a little bit more margin
6 that we thought between leakage and rupture it was
7 more realistic and we thought it would be a better
8 estimate to do these calculations.

9 We didn't do that for the surge lines
10 because we had plenty of margin for the surge line.
11 But for the relief and safety line, we went ahead
12 and did this analysis. And this was after the
13 initial results that we'd had.

14 And in this case it still showed that 10
15 out of 12 cases except for the no low residual
16 stress case and the K driven crack growth models
17 showed that we'd have no time between leakage and
18 rupture. So the results did not change by change of
19 this parameter.

20 We went to the safety nozzle now. And
21 for the safety nozzle you know that there is one
22 circumferential flaw. We treated it as a flaw. And
23 it was 2.5" long, 23 percent through-wall with an 8
24 to 1 aspect ratio. This is the weld dimensions.
25 Again, at that time we did not know anything about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the weld repair history. And, again, the volumetric
2 examination was back in 2000, pre PDI.

3 For this case slide 20 the results show that
4 we have leakage predicted to occur in 2.6 to 8 years
5 after the October discovery. And in this case the
6 same color coded cases, K driven, c/a, normal
7 faulted conditions and the three different weld
8 residual states. We have 8 out of 12 cases that
9 show no time between leakage and rupture.

10 For the case of the K driven with the
11 30ksi weld residual stresses, we have a couple of
12 months between leakage and rupture. In the no
13 residual stress case we had plenty of time.

14 That was for the idealized crack,
15 through-wall crack size. We then went ahead and did
16 the equivalent through-wall crack analysis for this
17 case. And in this case we found that we did have
18 margin. And we had a margin for a couple of months
19 and in the case of the no residual stress case, to
20 five years. So this is where we were on the border
21 there of leakage and rupture, rupture occurring
22 simultaneously. And by changing this parameter we
23 showed that there is some time between leakage and
24 rupture.

25 The leak rate analyses. We were asked

1 by NRR to determine how much leakage there would be
2 that would come through these through-wall cracks.
3 And so what we'll be presenting here is the leakage
4 analyses that was for the through-wall crack, the
5 equivalent through-wall crack size. The secondary
6 analyses to the safety and relief line.

7 We evaluated the equivalent through-wall
8 crack size as it went through. We did not account
9 for the time period between the pinhole to that
10 through-wall crack size. We just said that would be
11 the crack size after some period of time. And
12 that's what our calculation is showing for the
13 through-wall crack leakage.

14 And we used this NRC validated SQUIRT
15 code. Part of it is in our new PROLOCO code.

16 And the assumptions are, again, idealize
17 all the way through-wall, but it's an equivalent
18 through-wall crack. And we have a PWSCC crack
19 morphology parameter for the COD for in that SQUIRT
20 code. And it's calculated to GE-EPRI.

21 And here we evaluated for the super
22 subcooled liquid and the 100 percent steam case, and
23 you'll see where we used that.

24 And we did not evaluate the restraint of
25 pressure induced bending. We can talk about this

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 later. But we calculated leak size as a function of
2 crack size, the greatest function of crack size.

3 Slide 23. We broke the leakage results
4 down by the different size of nozzles, the surge,
5 release and safety. And the surge nozzle assumed
6 the subcooled water. We have an 8.1" leakage
7 through-wall crack size, equivalent through-wall
8 crack size and that presented us, we calculated 3.1
9 gallons per minute. And you can through and evaluate
10 and see the different cases. The residual stress
11 case showed the smallest amount of leakage.

12 The relief line, the difference between
13 here and the surge line is that the relief line
14 assumed 100 percent steam and in here we have
15 rupture occurring. We don't have any leakage
16 whatsoever except for the no weld residual stress
17 case.

18 And the safety line we do have leakage
19 and we have quite a bit of leakage with the weld
20 residual stress case, but not in the no residual
21 stress case.

22 These curves were for this leakage, the
23 leak rates are fairly steep. And so very small
24 changes in crack size give you a large change. So,
25 you know, when you see these cracks grow you do get

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 a lot of leakage occurring, as from this point.

2 MR. SULLIVAN: What was in the
3 calculation?

4 MR. CSONTOS: Well, we did not calculate
5 that, no. But we have the graphs, and if you want
6 to look at them, we have them. I don't think we
7 added them. That is a section that we may add to
8 the report. We are thinking about adding that
9 section to the report to show some of these graphs.

10 ACTING CHAIR SHACK: Of course, now
11 again, in a leak before break analysis I always want
12 a lower bound to leak rate?

13 MR. CSONTOS: Yes. And that's where--

14 ACTING CHAIR SHACK: And that gets
15 tricky.

16 MR. CSONTOS: Yes. Well, actually Dave
17 can fill you in on some of the assumptions that we
18 will need to evaluate. Because in the past this
19 SQUIRT code was used for another LOCA program. And
20 that conservative there was over predicting.

21 ACTING CHAIR SHACK: Right.

22 MR. CSONTOS: In this case we need to be
23 careful with under predicting or over predicting the
24 real rates. And so we need to go back and evaluate
25 some of those assumptions that we consider to be--

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIR SHACK: Conservative.

2 MR. CSONTOS: -- conservative. Now it's
3 not conservative. So, we'll go into that in the next
4 slide.

5 So, slide 24. The summary of our work.
6 We've broken it down by the nozzle types, again.

7 Leakage was predicted to occur 1 to 2.2
8 years after October of '06. And all cases showed six
9 months between leakage and rupture.

10 In the case for the relief line, well we
11 have 1.9 to 2.6 years; that's between October of '06
12 to leakage.

13 Twenty out of 24 cases leakage rupture
14 occurring simultaneously. And in that case the
15 surface cracks were unstable before they went
16 through-wall.

17 Safety nozzle, 8 out of 24 predicted
18 leak and rupture occurring at the same with the
19 leakage predicted to occur between 2.6 to 8 years,
20 depending upon which residual stress case you
21 evaluated.

22 Slide 25 is the leak rate summary. And
23 here we broke down, again, the leak rates .2 to 3.1
24 gpm for the surge nozzle depending on crack size and
25 weld residual stress and the idealized through-wall

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 crack equivalent size.

2 For the relief line we had 2.3 gpm for
3 the no residual stress case only. The remainder of
4 them, the cases predicted rupture and a break and
5 not leakage.

6 Safety nozzle showed anywhere between .3
7 and 10.4 gpm. And this is where if you want to talk
8 about some of those nonconservatisms that we are
9 looking into, there are these three. And the first
10 one is probably the more important one.

11 It's a pressure induced bending for long
12 cracks. And, Dave, do you want to say anything just
13 quick about it?

14 MR. RUDLAND: Yes. It's that we did some
15 work in a program a few years back that restraint in
16 the piping system can reduce the COD, and thus the
17 leak rate. And so that probably needs to be taken
18 into account.

19 The analyses that we do for calculating
20 COD are based on free rotation of the ends. So if
21 the piping system is stiff enough or restrained
22 enough, those CODs will be limited and that reduce
23 the leak rate.

24 MR. CSONTOS: And it could reduce it
25 significantly. Could.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIR SHACK: What is this piping
2 system? I mean the surge lines are kind of a long
3 flexible thing. That would seem relatively open.
4 What about the other lines?

5 MR. RUDLAND: The crack in the nozzle,
6 you know, you're pretty tight on one end, right?
7 Because you're up against the pressurizer.

8 ACTING CHAIR SHACK: Yes.

9 MR. RUDLAND: And the other end is
10 relatively free or much more flexible.

11 Again, I don't know how the hangers were
12 set up in there, so I don't know exactly what the
13 restraint is.

14 ACTING CHAIR SHACK: Yes.

15 MR. CSONTOS: So it is an assumption
16 that we need to evaluate in the next case. And the
17 same thing with the weld residual stress and also
18 the nonidealized through-wall crack. Those two are
19 secondary of importance to reevaluated than the first
20 one.

21 I think it's to you, David.

22 MR. SULLIVAN: Okay. And with that, I
23 would like to just go over a few points and we'll be
24 ready to turn the table over to industry.

25 What I've tried to do just for talking

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 purposes is indicate that with respect to this issue
2 of pressurizer nozzle welds, the PWRs fall in four
3 different categories. There are a number of plants,
4 I think that turns out to be about 19, that don't
5 have Alloy 82/182 pressurizer nozzle welds. Four of
6 those 19 are new pressurizers that have been
7 replaced in recent years.

8 And then there are a number of plants
9 that have already inspected or mitigated up until
10 this point. Because these inspections and
11 mitigations began somewhere in late 2005 time frame
12 and continued in and through 2006.

13 And then there are plants that planned
14 to inspect or mitigate in 2007 outages. At least one
15 of them is going on right now.

16 ACTING CHAIR SHACK: I mean, we should
17 get a big burst of data this spring, right?

18 MR. SULLIVAN: Not really.

19 ACTING CHAIR SHACK: Not really?

20 MR. SULLIVAN: No. Because most of the
21 plants really can't do these inspections. They're
22 going straight to the weld overlay mitigations for
23 two reasons. One is it's a good fix. And the other
24 is it makes the new configuration inspectable.

25 Wolf Creek was the anomaly. I mean

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 maybe I shouldn't say anomaly because, you know,
2 that might sound like I'm making a joke here. But
3 Wolf Creek was the exception. There aren't that
4 many plants that can actually do the inspections.

5 And there is a survey that was performed
6 by EPRI that Gary may have sent you, I'm not sure. I
7 think he did. And you can go through that and pretty
8 much where it says they're going to do a
9 premitigation inspection, my understanding is
10 they're the plants that actually can do it. And
11 there aren't very many of them. Really not going to
12 get information.

13 ACTING CHAIR SHACK: Shoot.

14 MR. SULLIVAN: Yes. It's too bad, but
15 that's the case.

16 And then there are plants that are going
17 to inspect in the fall. And then there are also a
18 number of plants remaining with respect to this
19 issue, this issue being pressurizer nozzle welds,
20 that have their outages planned for 2008. Now
21 fortunately they're all in the spring, none of them
22 are in the fall.

23 ACTING CHAIR SHACK: As I recalled the
24 conversation last time, it was like 9 through April
25 and there was one outlier in June?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: There were a couple of
2 outliers I think in the fall, but they've been moved
3 for a couple of different reasons. What one plant
4 decided to move their outage because it combined
5 nicely with addressing this issue and their desire
6 to shift the plant from 18 month cycle to two year
7 cycle. Something to do with, you know, using up the
8 fuel.

9 ACTING CHAIR SHACK: So our current
10 understanding is the last one will be something like
11 June 2008?

12 MR. SULLIVAN: Something like June 2008.
13 That's my understanding. But I need to flush that
14 out a little bit.

15 Because of the concerns that we've had
16 on this issue and the conclusions that we talked
17 about at the end of the meeting on February 2nd and
18 I opened with at this meeting, we worked with
19 industry to get agreements to move all these
20 inspections into 2007. And there's kind of a caveat
21 to that. And that caveat is at the bottom of page
22 27. And it may be spelled out a little bit more
23 fully on the next page on page 28.

24 And that caveat is that if industry's
25 advances analyses that they're going to talk about a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 little bit today I think, I don't think they're
2 going to go into real deep discussion; if those
3 analyses provide reasonable assurance to NRC staff
4 that PWSCC in these kinds of welds will remain
5 stable and not lead to rupture without significant
6 time from the onset of detectable leakage, then
7 those plants with the 2008 outages will not have to
8 shutdown in 2007. And these plants, these nine
9 plants, have all made commitments in commitment
10 letters that they shut down in 2007 pending these
11 analyses.

12 I think that Gary also provided you
13 copies of those commitment letters.

14 So the next slide, 29, just indicates
15 that we have agreements through commitment letters
16 and we're in the process of issuing confirmatory
17 action letters. And they'll be going out, we
18 believe, starting next week. That's our process for
19 handling this particular issues and those more
20 aggressive industry actions that NRC staff were
21 looking for.

22 So, at this point I'm done with my
23 presentation. If you have any questions, I'll be
24 glad to answer them. Otherwise, it's back to you,
25 Bill.

1 ACTING CHAIR SHACK: On your slide 28,
2 you know, as I read this it sounds as though you
3 want them to demonstrate that you're going to have
4 leak before break in these geometries. But what you
5 really want is does six months make a difference?
6 You know, I don't think these are good candidates
7 for leak before break. And whatever their finite
8 element analyses shows in the long term one wouldn't
9 accept these as candidates for a leak before break
10 kind of thing. But what's it really going to take
11 give them six months? Or is that's a discussion
12 you're working on?

13 MR. SULLIVAN: Yes, we're going to have
14 to work that out. As you may have noticed in the
15 letter that we sent yesterday, we've indicated that
16 we don't expect this type of work to be able to
17 provide the same sort of pedigree that we would
18 expect for licensing actions or rulemaking. We're
19 not looking for absolute assurance. We're trying to
20 get an increased level of assurance commensurate
21 with the time we're talking about. And we're going
22 to have work out what the acceptance criteria are
23 and so forth as we see this go on. It's going to be
24 a very, very complicated project.

25 Even despite the areas that we've

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 pointed out in that letter that we want to work on,
2 there's still going to be a number of simplifying
3 assumptions that industry is going to have to use.
4 So, it's kind of a work in progress in that sense.

5 ACTING CHAIR SHACK: Well, we're a
6 little bit ahead of schedule.

7 MEMBER POWERS: Well, there's something
8 I don't quite understand. Suppose you inspect these
9 plants in 2007 and find things? What implication
10 does that?

11 MR. SULLIVAN: Well, there aren't very
12 many that are going to be inspected. But when you
13 say "find things," Dr. Powers, you mean find bad
14 stuff like Wolf Creek

15 MEMBER POWERS: Yes.

16 MR. SULLIVAN: We could have to revisit
17 the whole issue.

18 MEMBER POWERS: Okay. So calculations
19 aside, I mean you say things change depending on
20 these calculations. If you find things and the
21 calculations are out?

22 MR. SULLIVAN: Well, if we find results
23 that are not as severe as Wolf Creek in those few
24 plants that are going to inspect, I think then we'd
25 say well that's more like the kind of results that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we would have expected.

2 If we find indications that are as bad
3 as Wolf Creek or worse, we may have to revisit this
4 whole issue and consider in the context of the
5 analyses that are being done.

6 ACTING CHAIR SHACK: Is every inspection
7 associated with a mitigation action? I mean the
8 guy's going to inspect and then he's going to
9 mitigate anyway no matter what he finds?

10 MR. SULLIVAN: I don't think so. I think
11 there's at least one plant, maybe industry could
12 answer this, that's planning to inspect in either
13 the spring or the fall and that plant is not
14 planning to mitigate. And that's a risk that they're
15 taking because if they find inspections, then
16 they're going to have to get a crew in to address
17 the problem with an overlay.

18 MR. HARRINGTON:

19 There are a limited number of the
20 plants.

21 Craig Harrington with EPRI.

22 There are a limited number of plants,
23 and it's a handful, that do plan or have completed
24 inspections and have no near term plans to do
25 mitigation. They may have plans three, four outages

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from now or something like that. But not any
2 immediate plans to do mitigation. But it's a very
3 small number.

4 ACTING CHAIR SHACK: Yes, but it's
5 greater than one?

6 MR. HARRINGTON: Something like two or
7 three.

8 ACTING CHAIR SHACK: Let's just go on
9 with the industry presentation, if that's okay.
10 Five minutes. Don't run away.

11 (Whereupon, at 1:54 p.m. a recess until
12 2:01 p.m.)

13 MR. REILLY: Good afternoon. My name is
14 Jim Reilly. I wanted to thank everybody for the
15 opportunity to brief you from what industry
16 activities we have going on with respect to this
17 situation and indications at Wolf Creek.

18 What we'd like to do today is make sure
19 everybody has the same background on how we got here
20 and what activities we're going to be taking on in
21 the time come. So we've broken up our presentation
22 as follows. On the slide you can see.

23 I want to talk to you a little bit about
24 the materials initiative. Some of you may have
25 heard of this, but it's an important aspect of what

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 we're doing in the industry, have been doing and
2 will continue to do over the short term.

3 A background on what the MRP is and what
4 they're doing. Some background on the MRP-139,
5 which is a guideline document that was being
6 followed at the time these inspection results came
7 in. We wanted to kind of reenforce the work that
8 went into the development of that guideline.

9 And then go from there to what was found
10 at Wolf Creek, what the industry's response to the
11 findings at Wolf Creek has been and what we intend
12 to do going forward. And at this point we'll be
13 talking more about an analyses that we're
14 developing. And as Ted indicated, at this point
15 we're at the very front end and we'll be, more or
16 less, outlining where we're going on this. We're not
17 going to be talking results or much detail on the
18 analysis.

19 So Dana Covill will be leading us
20 through most of the presentation.

21 Dana, if you want to take this from
22 here.

23 MR. COVILL: Yes. I'm Dana Covill from
24 Progress Energy. I was the LO-600 ITG chairman and
25 integrated pass group. And leader of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 development of MRP-139, just for background.

2 I'm not presenting anything new when it
3 comes to 139 as far as the staff is concerned.
4 Everything we're going to discussed as a background
5 os what we've been discussing over the past four
6 years. And then I'll get into what the future work
7 that we're doing.

8 For background, the industry's materials
9 initiative was formed, the commitment of the chief
10 nuclear officer level that we needed more structure
11 as an industry to respond to materials issues. This
12 combined several programs and provide a consistent
13 process as an industry prioritization, funding, et
14 cetera.

15 IT was approved unanimously by the CNOs
16 back in 2003. One of the most important elements of
17 it contains our guidelines that we can issue as
18 mandatory as a must implement needed categories in
19 the initiative and it should implement; good
20 practices review may implement.

21 We did include a structure and deviation
22 process to where we need, you know, a plant or a
23 company needs to deviate from the guidance, which is
24 similar in concept to the 50.55a relief requesting
25 it or alternative process.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. REILLY: May I add something there?

2 MR. COVILL: Sure.

3 MR. REILLY: This is Jim Reilly again.

4 Just want to make one point on the
5 initiative. I think it's pretty important. You noted
6 in the first bullet that it is a commitment at the
7 CNO level. First of all, it's an internal
8 commitment within the industry, but it's a very
9 important commitment. And basically the documents
10 that arise from the materials initiative or any of
11 our initiatives are expected to be followed by the
12 various licensees. And Dana outlined here this
13 different levels of requirement within these
14 industry documents ranging from mandatory needed and
15 good practice. Anything that appears in one of
16 these guidelines as mandatory or needed has to be
17 followed by all the licenses to which the guideline
18 is applicable. In this case it's the PWRs. Or they
19 have to go through a pretty strict process for
20 justifying deviation from them. As Dana pointed out,
21 there's parallels there with respect to 50.55. But
22 those deviation requests are subject to review by
23 third parties and depending on the level of
24 deviation and approval by the executive officers.
25 Because basically at that point if you're deviating

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 from what has been a CNO commitment, you're
2 basically changing that CNO's commitment. So these
3 are taken very seriously.

4 MRP-139 was issued as a mandatory
5 document or parts of it, the inspection parts of it
6 under the industry's initiative.

7 So thank you.

8 MR. COVILL: The next slide 5, these are
9 the industry programs that are covered by the
10 initiative. And you can see PWR MRP is part of it.

11 The next slide a little bit going
12 backwards in time. The MRP was formed in 1999
13 primarily based on the success of the steam
14 generator management program and the PWR vessels
15 internal program.

16 One of the big kickers was the strong
17 executive oversight and involvement. As an industry
18 on the PWR side we had not really engaged.

19 We're focusing on the primary coolant
20 system, less steam generators, of course.

21 Developing the tools to manage aging and
22 degradation.

23 And some of the items working on: Alloy
24 600, thermal fatigue, working forward to reactor
25 internals degradation and inspection guidance for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that especially covering license renewal terms and
2 reactor pressure vessel integrity, the PTS
3 rulemaking that's working its way through.

4 The MRP-139, this was issued in August
5 of 2005 and it provides mandatory guidance for
6 inspection of these butt welds.

7 We developed it using a structured
8 approach. The safety assessment, both deterministic
9 and probabilistic. We assessed margins between the
10 onset of leakage and critical crack size.

11 MEMBER POWERS: Just a quibble. The
12 safety assessments in 113.

13 MR. COVILL: I'm sorry?

14 MEMBER POWERS: The probabilistic and
15 deterministic safety assessment is in 113?

16 MR. COVILL: Oh, that's the roll up.
17 The individual reports went into that. So we had
18 deterministic reports. You can see that on the next
19 slide. The deterministic reports for both the Areva
20 and Westinghouse, CE units did one. And then we did
21 a probabilistic assessment rolling inputs from all
22 three along with several others. So MRP-113 is the
23 summary safety assessment report for all the work we
24 did before. The safety assessment, is the MRP-113
25 but it builds on the work that was done previously.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MEMBER POWERS: Just that I started
2 looking in 138 for the deterministic analyses and
3 probabalistic analyses and I didn't find it.

4 MR. COVILL: Oh. And that would be
5 correct.

6 And the other thing that we did consider
7 this was the previous industry and regulatory
8 guidance along lines of steam generators and, quite
9 honestly, Generic Letter 88-01 for the BWRs for
10 stainless steel pipe cracking and operating
11 experience.

12 The review and approval process was
13 extensive and challenging, I have to say. But this
14 went through probably the most rigorous and long
15 review of any inspection values I've been involved
16 with. So there was plenty of challenges, lots of
17 questions from all levels of the organization,
18 including the CNOs.

19 The bottom line was at the end it was
20 unanimous approval by the MRP Executive Committee.

21 The next page is 8. This shows all the
22 work we've done. And, again, I'm going to go
23 through all the details of each report. But this
24 spanned probably four or five years and a lot of
25 good work was done, a lot of thorough work. MRP-139

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 was not developed on the back of an envelope. It
2 shows a lot of thought was put into it.

3 The deterministic analyses that we did
4 to support MRP-139.

5 There's a safety significance of flaws
6 in the 82/182. The analyses was developed to
7 determine the critical flaw size rebounding, taking
8 representative nozzles, loads from each fleet.
9 Calculate a time to through-wall leak, time between
10 1 gpm and 10 gpm and failure. Leak rate is a
11 function of flaw size and margin between leak and
12 failure.

13 Now, we don't say leak before break here
14 because we wanted to separate regulatory leak before
15 break from this particular. Because, like you said,
16 you know most of these lines just wouldn't qualify
17 for leak before break under general design criteria
18 4 in the SRP guidance.

19 The results showed us axial cracks
20 limited to length of the welds, critical length of
21 axial flaws is greater than the length of the weld
22 and the safe end is applicable. So there were
23 several plants like CE and another plants having
24 Alloy 600 safe ends, but they're fairly short. In no
25 case the axial crack, critical crack size -- it was

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 longer than the combined length of the weld and the
2 safe factor.

3 Even though we expected axial cracks, we
4 did analyze for circumferential because we had seen
5 one in the field, and that was VC Summer.

6 Large critical arc length for through-
7 wall circumferential flaws, fairly similar to the
8 CRD and nozzle work on the heads.

9 More than 2 years from 1 gpm leak to
10 critical length for most locations. And we used 1
11 gpm as our so called detection limit in that that is
12 also our tech spec shutdown limit for PWRs. We see
13 1 gpm and identified leakage, we're in shutdown
14 mode.

15 And the last bullet for all but one
16 small diameter location, this was true. And these
17 were the small nozzles on top B&W units. And again,
18 that was primarily as we've discussed before it an
19 established mode. Use a small diameter very thick
20 walled nozzles. No surprise.

21 Some result sampling for large bore
22 piping. Primary loop nozzle welds, they have as
23 expected, large margins for leakage to rupture.

24 Pressurize nozzle time was less than 10
25 year ISI interval. That's ASME Section X1.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Smaller bore piping, and this would
2 count the surge line, the KE drop lines, shutdown
3 cooling lines in the CE units and the B&W units. In
4 some cases it was less than a 10 year interval.

5 Again, deterministic results were really
6 as expected, and they're primarily based on pipe
7 diameter and thickness.

8 On that work we started some
9 probabilistic analysis for several limiting
10 locations in all three designs. What we did was we
11 wanted to address a probability a flaw could go
12 through the wall and result in core damage. This
13 was performed by Westinghouse using their risk-
14 informed ISI models and approaches that have been
15 approved for risk-informed ISI implementation.

16 What we wanted to do was quantify the
17 probability of leakage from circumferential flaws.
18 Also looked at the contribution of axial flaws, and
19 that wasn't significant, again as expected. You
20 know, we got leakage but we did not get rupture.

21 Wanted to look at the change in core
22 damage frequency and assess various inspection
23 frequencies from a risk perspective. Now
24 frequencies, again, the code requires once every 10
25 years, 100 percent every years outside of risk-

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 informed ISI. What would we do if we made that once
2 every five years? What would the impact on core
3 damage be? I think we went down to one year, if I
4 remember right. And, again, we utilized
5 Westinghouse's approved methodology for this
6 approach.

7 These are the key inputs. One of the
8 conservatism we used is we assumed failure at the
9 initiation of a leak. Once it grew through-wall, we
10 assumed a failure of rupture. That's a
11 conservatism, did not account for any
12 circumferential growth of the flaw as it progressed
13 around the pipe.

14 Probability of leak initiating is higher
15 than the probability for small medium LOCA. And we
16 did perform some benchmarking.

17 Slide 14. The change of core damage
18 frequencies. We show the number there. And we
19 concluded that from a risk perspective the impact of
20 butt weld stress corrosion damage on core damage is
21 insignificant.

22 Changes in inspection frequency and
23 detection capability. And here what we did was we
24 assumed 50 percent detection of 25 percent flaw in
25 the initial analysis. We took that down to 50

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 percent detection of a 10 percent through-wall flaw.
2 Neither of those in going from no inspection at all
3 10 year ISI, 1 year ISI. And then once a year with
4 the improved detection capability. Again, no
5 insignificant impact on CDF.

6 So purely from a risk perspective, the
7 10 year ISI intervals were considered to be
8 adequate. So for the most part we concluded
9 deterministically for the big stuff the code was
10 fine. Most of the smaller diameters the code was
11 fine. The smallest diameters that we analyzed, which
12 were these nozzles on top of the pressurizer, 10
13 years was probably too long.

14 From a risk perspective we concluded no
15 impact. In spite of all that, we concluded we
16 needed to do something more than what the code
17 currently requires.

18 So from the safety assessment
19 standpoint--

20 ACTING CHAIR SHACK: Have you gone back
21 and looked at those analyses on the basis of Wolf
22 Creek? That is, would your models predict that you
23 would get circumferential cracks in 7 out of 41
24 nozzles? Would you predict the 155 degree crack?

25 MR. COVILL: No.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIR SHACK: So they're
2 inconsistent with experience?

3 MR. COVILL: Well, I would say they are
4 consistent with experience on known cracks, yes.
5 Clearly from the limited number of destructive
6 analyses that have been performed, our analyses and
7 conclusions are consistent. However, since we have
8 not pulled many samples in the recent past, what we
9 say is we conservatively treat them as real cracks.

10 ACTING CHAIR SHACK: But treated as real
11 cracks you still wouldn't predict them?

12 MR. COVILL: I don't think we would, no.

13 ACTING CHAIR SHACK: No.

14 MR. COVILL: I don't see anything in our
15 previous analyses that we should see more
16 circumferential cracks than we see axis, except with
17 the various finite analyses we have done we have
18 shown, as discussed earlier, that in some cases
19 depending upon the type of repair done you will get
20 some local areas where the hoop stress is less than
21 the axial stress or axial stress occurred in hoop
22 stress. And we experienced, we have confirmed
23 physically the one flaw in VC Summer. That was in
24 the butter cladding, so to speak, that terminated
25 once the -- steel nozzle.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Our conclusions were we expect axials,
2 never say never in this business, so we're going to
3 analyze for circumferentials, quite honestly, which
4 is why we spent most of our time looking at
5 circumferential flaws in terms of impact and what
6 happens.

7 The analyses we performed three years
8 ago 360 degree part-depth circ flaws are unlikely.
9 Through-wall flaws will leak 1 gpm at less than the
10 critical size except for one small diameter nozzle,
11 and not inconsistent with what we expected.

12 Part of the other work showed that
13 through-wall flaws and repaired welds are limited to
14 about the repair length. Again, based on the
15 analysis that we did.

16 All these welds greater than 4" are
17 inspected for Section X1. We are also looking at
18 these. We have performed visual inspections for
19 leakage and boric acid corrosion impacts.

20 One of the mandatory items we issued a
21 few years, mandatory needed, was put on a visual
22 inspection of all Alloy 600 components, including
23 82/182.

24 MEMBER POWERS: AT what frequency?

25 MR. COVILL: This is a one time. As we

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 were developing all this guidance, we had no
2 guidance at all out there, we issued a letter saying
3 okay within the next two outages at least do a 100
4 percent visual inspection. And that is due this
5 year, I believe.

6 So in terms of the code, Bill, right now
7 its visual inspection for leakage in accordance with
8 the code, which is not bare metal and look at the
9 insulation. Now when you're doing NDE on greater
10 than 1" nominal pipe size, you're doing PT, primary
11 penetrant testing, you have to do a visual for that,
12 too, obviously if you're looking at it. And then we
13 do the volumetrics for sizes greater 4" per the
14 code.

15 PRR, based on comments received on MRP-
16 139 from the NRC, we are evaluating expanding that
17 inspection, volumetric inspection requirement to
18 some pipe sizes less than some component that are
19 less the 4" nominal pipe size. And we should be
20 issuing guidance sometime this year.

21 Is that safe, Craig?

22 MR. HARRINGTON: Yes. IF we can ever
23 get past Wolf Creek.

24 MR. COVILL: Yes. And the NRC gave us
25 several comments that we've worked on over the last

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 year or so that were pretty close to resolving the
2 comments, I believe.

3 On safety assessments perspective, a
4 very number of leaks are 4, having VC Summer in a
5 hot leg -- 2 in a pressurizer similar to the Wolf
6 Creek on top, Palisades pressurizer but that was
7 Alloy 600 base metal and test reactor also had a
8 leak in the Alloy 600 base metal. That was the only
9 four we were aware of.

10 Probabilistic analysis shows the impact
11 of butt weld stress corrosion damage on core damage.
12 Frequency is insignificant. And the potential for
13 significant boric acid corrosion is considered low,
14 primarily as a result of the programs that we have
15 initiated after Davis-Besse or strength, let's put
16 it that way.

17 So when we developed MRP-139, which are
18 the inspection guidelines, we wanted to manage
19 potential degradation well in advance of any
20 structural integrity problem. And we wanted to
21 minimize the potential for leaks.

22 Unlike the IGSCC in the boilers, PWSCC
23 in the PWRs has been slower to initiate. The
24 disadvantage we have with the boilers, at least in
25 the stainless steel side, is we had a preferential

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 path. The head effect, sensitized heat effect.

2 The other thing we wanted to do was we
3 wanted accelerate getting that first examination of
4 dissimilar metal butt welds using Section X1
5 Appendix A qualified processes and techniques. We
6 prioritized it in order of temperature so it would
7 be pressurize hot leg and cold leg. And we
8 established aggressive implementation schedules to
9 get these first exams done using Appendix A
10 procedures.

11 Implementation delays would be addressed
12 to the Materials Initiative process, deviation
13 process that we discussed earlier and similar 50.55a
14 relief request and alternative in Section X1. These
15 would be documented in the site correction action
16 programs and executive approval for mandatory items
17 requires an independent expert review outside of the
18 utility.

19 And the deviation sent to the MRP for
20 peer awareness. If I remember right, the CNOs would
21 also review these once a year.

22 MR. REILLY: Well, up through a
23 reporting process. Yes. All the different IPs
24 review the deviations that come in just from a
25 general adequacy standpoint. It's not an approval.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 It's a review from a number of perspective. Does
2 the deviation seem to make sense from the
3 perspective of those that created guidelines? Does
4 the deviation say anything to us in the way of our
5 guideline adequacy? If we get a deviations that
6 appear to indicate that people can't follow these
7 guidelines, maybe the guideline needs change. We
8 need to communicate the results of deviations. And
9 that kind of review of what comes up gets passed
10 back through the executive levels by ways of a
11 report that just help people assess are people
12 following our guidelines, are our guidelines
13 appropriate, do we need to be changing anything. And
14 that's reported annually as I indicated.

15 MR. COVILL: Slide 18 is the
16 implementation schedule. On the first sub-bullet is
17 the end of '07, inspect all welds associated with
18 the pressurizer and exposed to those temperatures.

19 And then it progresses through smaller
20 diameter hot leg, larger diameter hot leg and
21 finally all cold leg.

22 ACTING CHAIR SHACK: We've already
23 decided you're missing that milestone, right?

24 MR. COVILL: Yes. With deviations
25 consistent with Section X1.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 ACTING CHAIR SHACK: So it's June 31,
2 '08?

3 MR. COVILL: Yes.

4 ACTING CHAIR SHACK: Or 30, however many
5 days there are in June.

6 MR. COVILL: I heard that very
7 discussion this morning.

8 Another key one for us in trying to get
9 ahead of this problem, the last one we expect
10 everybody to know what their butt weld
11 configurations are so they know if they're
12 inspectable or not or if we need more mock-ups for
13 the PDI program. The NDE center is getting all
14 these results and then the steering will get
15 together or has gotten together to see if we need
16 any more mock-ups in order to qualify the UT
17 processes and procedures.

18 MEMBER POWERS: How does the PDI process
19 mock-up a stress corrosion cracks in one of these
20 geometries?

21 MR. COVILL: I am not the one to answer
22 that. I don't have the true answer. I know that they
23 grow them and then implant them using -- pressure.

24 ACTING CHAIR SHACK: By HIP.

25 MR. COVILL: The challenge there was in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the early days you could see the interface.

2 ACTING CHAIR SHACK: Could see the HIP,
3 yes.

4 MR. COVILL: So, you know, they had to
5 revise that process. But fundamentally they're lab
6 grown.

7 Unlike BWRs where we had plenty of
8 samples to cut out with real cracks in them, plant
9 cracks we don't have that for PWR butt welds. Same
10 thing for steam generator tubes. We got a bezillion
11 samples of those. Unfortunately in the butt weld
12 where we just don't have any.

13 This is a summary of the Wolf Creek
14 pressurizer weld indications. These were done in the
15 fall of '06. These examinations were being
16 performed for MRP-139 requirements. Part of the
17 process, part of 139 says if you can demonstrate by
18 inspection that you have no PWRCC in your welds
19 before you put the overlay on, then the reinspection
20 requirements are different than if you were putting
21 an overlay on a cracked weld. And as discussed as
22 the staff said earlier, this is one of the handful
23 of plants that has an inspectable configuration.
24 When we say inspectable with code and MRP-139
25 require a specific volume on the ID, about one-third

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 through-wall, it has to be inspected with the
2 ultrasonic examination. You have to lay it out, do
3 all your angles. Because the configuration of a lot
4 of welds we just can't do that, get that inner one-
5 third coverage. Again, which is why most people
6 just put the overlays on to make them inspectable,
7 because the overlays inspection requirements for the
8 overlay plus the 25 percent of the original pipe
9 wall.

10 The next two slides are the pictures. I
11 don't know if you can see it on the handout, but the
12 indication on the safety relief nozzle is right
13 here. It looks somewhere between along the
14 interface between the original butter and the butt
15 weld.

16 Next one. Now the surge nozzle it's to
17 be right in the original butter.

18 MEMBER POWERS: And this is this
19 question they were raising before, whether you're
20 growing along the dendrites, across dendrites
21 depending on whether you're growing through the weld
22 or through the butter. And everybody just ignores
23 that.

24 MR. COVILL: I don't think anybody can
25 predict which way the dendrites are in any weld, to

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 be honest with you. Especially a repaired weld,
2 especially repaired weld because then they've gone
3 all over the place. And a lot of that depends on
4 whether you're welding in a deep cavity, narrow
5 cavity. I know in the shop we used to do all sorts
6 of configurations for repaired welds.

7 This is why we're using the MRP-115 for
8 the subsequent analysis. All the analysis we're
9 doing lately, and that's the latest expert panel
10 crack weld model.

11 Just a brief couple statements on the
12 performance demonstration initiative, PDI. This was
13 established back in the late '80s to qualify UT
14 procedures and personnel following the requirements
15 of Section XI, Appendix VIII, Supplement 10.

16 This is required by 50.55a to implement
17 by November 22, 2002.

18 So really in the PWR side of the
19 business for most if not all of these welds, these
20 inspections will be the we've seen in their
21 lifetime.

22 The challenge and the unfortunate part
23 about it is it doesn't allow us to compare to
24 preservice inspection results. That would be
25 fabrication related flaws, metallurgical conditions,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 interface. North Ana had from a PSI ISI standpoint a
2 couple of penetrations we pulled out that the NDE
3 people called circumferential cracking indications.
4 We found parts of all in that area. In fact, one of
5 them I think we saw five welds; it was the original
6 butter, the original partial pin weld, repaired one,
7 cut it out, a third one and a repaired one. And you
8 watch the grain structure change all the way across.
9 But we have nothing to compare to with ISI.

10 The procedure we used on these wells was
11 qualified for detection and length sizing but not
12 for depth sizing. In other words, they met all the
13 requirements of Appendix VIII.

14 One thing we're seeing on depth sizing,
15 we're not missing by much, a millimeter or two on
16 the standard deviation, but we cannot call it
17 qualified if we miss it.

18 This is a table of the indications. I
19 know I can't read it on my copy, but this is the
20 information I believe staff had and used for their
21 analysis.

22 The indications were assumed to be PWSCC
23 attributable to PWSCC as called by the NDE
24 personnel. And it did indicate some facets in
25 connection to the ID. And Wolf Creek and the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 industry there were no metallurgical specimens
2 obtained.

3 These are observations on our part.
4 Multiple circumferential indications, no axial
5 component is inconsistent with the stress date that
6 we calculate, as we discussed earlier again. I will
7 not call Wolf Creek an anomaly. And like I said
8 earlier, you never say never.

9 It doesn't seem likely that before the
10 five of these rapidly growing cracks would be about
11 the same depth. We discussed that earlier. The key
12 to us was the different sizes and the different
13 environments. And quite honestly, given all these
14 welds worldwide, we would expect a lot more leaks if
15 we had a lot more initiation associated with the
16 crack growth rates that we're using. And these are
17 possible explanations, however we are assuming these
18 are PWSCC. We have no evidence otherwise.

19 What we've done since then, we prepared
20 a white paper on the implications of the inspection
21 results with key safety assessment assumptions,
22 field experience and a review of those findings. We
23 complete the MRP implementation survey. There were
24 a couple of public meetings with the NRC and staff.

25 The implementation survey was -- I'll

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 show you. You'll find that all the numbers match
2 with respect to which plants are doing what and when
3 with respect these welds.

4 And, I'm sorry, Craig, this slide was
5 accurate in the beginning of January. There have
6 been one or changes since then?

7 MR. HARRINGTON: That's correct. That
8 was transmitted to the NRC. That was the result of
9 reviewing the survey. I spent some time on the
10 phone with Tim Lupold of NRR trying to sort through
11 and agree on how we bend each special case in the
12 list of nozzles. And as of January 1st that was the
13 status.

14 The one plant that shows fall of '08 for
15 a baseline inspection and mitigation, they have
16 moved their outage into '07. So there's a few
17 adjustments like that. But basically that's
18 reflective of the status of the plants.

19 The spring '08 plants it shows ten. That
20 number is now nine. One other plant moved into '07.

21 But generally that was accurate January
22 1st.

23 ACTING CHAIR SHACK: And the June plant
24 is still June?

25 MR. HARRINGTON: I don't know. I think

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the last plant is probably April of '08.

2 ACTING CHAIR SHACK: April.

3 MR. HARRINGTON: It's spring '08. I
4 don't think there's anything going in in June. I
5 don't know of anybody in June. No.

6 MR. COVILL: The conclusions that we
7 reached based on background of MRP-139, the
8 inspections that were being done and the impact of
9 Wolf Creek indications we have concluded the
10 acceleration of the implementation schedule is not
11 necessary.

12 From a risk viewpoint, there's
13 essentially no difference between now and the spring
14 of '07. We will monitor spring '07 and as Ted said,
15 we find some anomalies, some weird things that
16 happened, deep flaws or leaks, we may revise our
17 schedule.

18 As Ted had noted earlier we have
19 committed to enhanced leakage monitoring as a
20 compensatory measure until inspection/mitigation is
21 complete.

22 That takes up to today. Any questions?

23 Okay. We'll get into what we're doing
24 now or what we started doing, actually. I'm sorry.
25 Is going to the advance finite element analysis for

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 refined crack growth calculations.

2 Objective. Again, determine the margin
3 between the onset of leakage and rupture.

4 We want to provide reasonable assurance
5 that there is enough time between the onset of
6 leakage to support existing plans to implement the
7 first round of examinations for pressurizer welds.

8 When we say "examinations," that means
9 examinations of overlay welds because the existing
10 configuration is not inspectable. So this will be a
11 combination of inspection and/or -- with inspection
12 after the overlay is put on.

13 So the analysis that we're doing,
14 there's some conservatism with respect to the semi-
15 ellipse crack shape assumption that will remain
16 semi-elliptical as it grows through the field. We
17 refine any of this to a lot of the stress intensity
18 factor at each point along the crack front to guide
19 the development of the crack as it's growing.

20 We're going to repeat recent evaluations
21 we have performed with Wolf Creek indications. And
22 just with some comparison we did rerun some of the
23 analyses back in late December. And we got, you
24 know, roughly not exactly the same answers as the
25 staff did using those assumptions. Again, no

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 surprise.

2 We perform sensitivity studies and we're
3 also going to work with peer reviews, industry and
4 regulator.

5 The calculation we've sent to the NRC
6 and the white paper both consider the effects of
7 changing crack shapes in the crack area at the time
8 of through-wall penetration. They'll be compared to
9 the area that's calculated to result in rupture for
10 normal operating and faulted loads. We think that
11 this will give us a good comparison between more
12 refined analysis and the more conservative approach
13 of constant semi-elliptical shape.

14 We will investigate a wide range and
15 input assumptions for these items, as shown. It
16 will not calculate the time from through-wall
17 penetration to rupture, rather we will account for
18 the change in shape based on what the analysis shows
19 us at each node on the crack front.

20 And, again, the analysis will include
21 peer review by several experts in the industry and
22 the regulator.

23 ACTING CHAIR SHACK: It will be a very
24 interesting calculation. You know the difficulty I
25 see is is that you don't know what the residual

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 stress is. You have a range of residual stresses,
2 but you can't, I don't think, assess the probability
3 of any of those residual stresses.

4 You have a variety of initial crack
5 shapes and sizes. And again, your probabilistic
6 characterization of those is going to be difficult.

7 The one thing you can sort of count on
8 is your change in shape under the bending moment.
9 And then, you know, maybe that will be enough to get
10 past all the other uncertainties. But it will be
11 interesting.

12 The one concern I have is that, you
13 know, again as in all these calculations that what
14 we do to be conservative in one case may not
15 conservative in the other.

16 MR. COVILL: Absolutely.

17 ACTING CHAIR SHACK: And the bending
18 moments that we calculate from the code analysis are
19 always conservative from a strength point of view,
20 you know. But in this particular case we would like
21 to know how low the moment can go, not how high it
22 can go. You know, we have bounded that with the ASME
23 analysis. I'm not sure how you're going to convince
24 yourself that the moment is as low as it could go.
25 And that's the one of non-axisymmetry that you can

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 really count on.

2 MR. COVILL: Glen, do you have anything
3 to offer on that?

4 MR. WHITE: Sure. This is Glen White
5 Dominion Engineering.

6 I appreciate your comments. Tomorrow,
7 as you may be aware, we have a day long meeting
8 scheduled and in the afternoon will be public
9 portion of that portion. And these items we'll be
10 talking about in detail. We've prepared a large
11 handout, a 92 page handout to guide us in our
12 discussions for tomorrow.

13 And welding residual stresses, yes, we
14 have to assume a wide range of different possible
15 patterns. But we are of most of the nine plants at
16 issue here have been able to review their detailed
17 fabrication records, shop travelers, weld repair
18 records. And that information has been compiled and
19 is being made available to us. So there is some
20 information there that we can use to compare to
21 similar information that we compiled for Wolf Creek
22 to help us with developing appropriate welding
23 residual stress information. So we're not
24 completely working in the dark as far as welding
25 residual stress.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Regarding the moments, and yes we're
2 definitely cognizant of your point that what's
3 conservative in terms of one analysis may not be
4 conservative in terms of a through-wall leakage
5 prior to rupture. And so we're collecting
6 dimensional and load data for all 53 welds at issue
7 in the nine plants. So we're not just taking the
8 highest thickest to radius ratio and the highest
9 moment loads and just doing a bounding calculation.
10 We're collecting the full matrix of cases. And
11 we've automated in the software in the first stage
12 of the work so we can look at a large matrix of
13 cases, but we decreased the moments, increased the
14 moments and get all the sensitivities recognizing
15 that you can't up front decide what's the most
16 conservative set of inputs.

17 So we're very cognizant of that.

18 ACTING CHAIR SHACK: Crack shapes and
19 sizes?

20 MR. WHITE: Shapes and sizes, yes. We
21 need to look at a range of initial depth and shape,
22 aspect ratios depths and shapes to start out with.

23 Multiple crack initiation. That is
24 another issue. The staff has expressed their desire
25 to see that that's an important factor to consider.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we have several different paths to looking at
2 multiple crack initiation. So we will be in fact
3 looking at FEA models with more than one flaw in
4 them, looking at how they interact. We'll be
5 considering enveloping multiple flaws with a large
6 flaw, the standard ASME method. Looking potentially
7 at 300 --

8 ACTING CHAIR SHACK: No. Again, whether
9 that's conservative for this particular purpose is
10 another question.

11 MR. WHITE: Yes. And that's why we'll
12 also be looking at explicitly at the multiple models
13 in the FEA also.

14 ACTING CHAIR SHACK: In your white paper
15 there, your NRC expert had a sort of a comment on
16 your probabilistic distribution. And I'd go with
17 the expert.

18 You essentially put your thumb on the
19 scale with all those zero length axial cracks and he
20 wanted you to look at just the circumferential
21 indications. And that seems much more reasonable,
22 just as a comment.

23 MR. WHITE: Yes. That's a separate work
24 that people at Batelle the structural integral has
25 been leading. And, again, you made the point

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 earlier. I will just while I'm up here comment on
2 the fact that we have multiple indications reported
3 in multiple penetrations that are in different
4 nozzles. And they, having all similar through-wall
5 depths, appears to be inconsistent with all these
6 cracks growing at the crack growth rates that we
7 have been calculating. And we have a task included
8 in our project to do a relatively simple
9 probabalistic analysis to show how likely or
10 unlikely it would be to have that situation.

11 MEMBER POWERS: Why does a probabalistic
12 analysis work here? The probability of having this
13 situation as one at Wolf Creek. What probability
14 you going to do? I'm a little confused here.

15 MR. WHITE: What is the probability?
16 It's a hypothesis test we can look at. And the
17 hypothesis is the crack growth rates, at these
18 indications we're growing at crack growth rates of
19 multiple inches per year as we're calculating. How
20 consistent is that with them all being found within
21 a narrow range of depths?

22 MEMBER POWERS: Doesn't that just tell
23 you what the probability is your model is wrong?

24 MR. WHITE: It says what the probability
25 is that the real crack rates are lower than we're

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 assuming in our analysis.

2 MR. REILLY: That's highly driven by the
3 residual strength, right?

4 MR. WHITE: Yes.

5 MR. REILLY: It's difficult.

6 ACTING CHAIR SHACK: Yes, and the crack
7 growth rate here means the crack growth rate
8 combining the material crack growth rate and the
9 residual stress. You can really separate the two.

10 MR. WHITE: Yes.

11 ACTING CHAIR SHACK: But you're right. I
12 mean, all they can prove is that their model is
13 wrong. Overly conservative or it's predicting
14 higher growth rates than can occur is what they're
15 attempting to demonstrate. But you're right. I
16 mean the situation is one.

17 MR. COVILL: Thanks.

18 MEMBER POWERS: Could I ask one question
19 on this previous slide? Suppose that your analyses
20 with these tailored crack rates where you deviate
21 from the standard semi-elliptical shape showed
22 radically different behavior than when you have an
23 elliptical shape, what do you have to validate those
24 analysis?

25 MR. COVILL: You're on again.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. WHITE: Yes. So the question of
2 validation. That's one of the points that the staff
3 has emphasized and we've been emphasizing that point
4 also.

5 We'll be discussing this in detail
6 tomorrow and the expert review panel that we've
7 assembled will be assisting us with us. But we're
8 envisioning a two step process.

9 Number one: To validate the level and
10 residual stress inputs as we've been discussing,
11 since they're a key input. But number two: As best
12 we can based on whatever available data there is,
13 validating the overall model. And that means using
14 PWR past experience to the extent we have. We do
15 have some experience of VC Summer who has been doing
16 destructive examination work. And Ringhals in
17 Sweden, they left two indications in service for a
18 full year and got sizing information at the
19 beginning of the year and the end of the year in
20 some piping butt welds. And then destructive
21 examinations at the end. So that was a unique
22 opportunity where we had data on how the cracks grew
23 during that year of service.

24 Then there's other PWR experience also.
25 The Tsuruga experience in Japan. There's been a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 good amount of information that's been published and
2 made available to the industry.

3 Then we move over to the BWR experience.
4 And there is experience there that's been looked at
5 in detail. And, yes, the materials are different
6 but we will also use that information.

7 And then we move into a laboratory
8 testing. And there has been some MRP sponsored work
9 recently that's looked at how cracks and weld
10 material grow. So that's another source of looking
11 at how the influence of the stress intensity factor
12 on crack development in a laboratory situation.

13 And then we're also going to look at the
14 general literature with stress corrosion cracking
15 and weld repairs. And there's some information that
16 we'll also try to use.

17 MEMBER POWERS: In the end you will have
18 something that shows that I predict the crack
19 deviates from the semi-circular this way and,
20 indeed, that's what happens in either experiments or
21 in real situations?

22 MR. WHITE: That is the goal. In
23 practical experience what we see is that in weld
24 metal in particular we see that the crack growth
25 tends to have a finger like pattern that extends in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the through-wall direction with ligaments of
2 material that trail behind the crack front. So even
3 with a very simple loading a compact tension
4 specimen where nominally the stress intensity factor
5 is uniform across the cross section, when we test
6 this in the laboratory what we consistently see or
7 the usual case is we see that some areas of the
8 crack front extend beyond other areas and there are
9 areas of more resistant material. And Bechtel
10 Bettis on the Navy side of the industry has looked
11 closely at these sort of test results and concluded
12 that there are islands of more resistant weld
13 material due to differences in grain boundary energy
14 in the weld microstructure.

15 So this more real world situation what
16 we see is that in fact you would have ligaments of
17 material that would tend to add strength against
18 rupture while the fingers of crack growth extend
19 through-wall to give leakage. So we'll be comparing
20 to these sort of experience recognizing we can't
21 model that very detailed microstructural type
22 behavior, but we'll look at to what extent we can
23 credit for that as being more conservative and the
24 real situation being -- or the modeling being more
25 conservative than the real life situation with these

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 fingers of crack growth.

2 MR. COVILL: So in summary, our
3 materials initiative is effective. This was the
4 first guidance issued from the MRP. It was
5 mandatory.

6 And aggressive baseline inspection
7 program.

8 Seventy percent of these welds will be
9 mitigated by the end of this year, that's overlaid
10 or replaced.

11 Our inspection plan remains valid and
12 consistent with other guidance that's out there.

13 We are working with the NRC staff to
14 perform more analyses, as we just discussed, showing
15 reasonable assurance of leakage prior to rupture and
16 technical leakage prior to rupture, even considering
17 the indications such as Wolf Creek.

18 We're going to complete that analysis in
19 late June. And, as you've heard, we have our first
20 meeting with the staff tomorrow on this. And we did
21 receive the letter from Jim Dyer with some of their
22 questions, comments, recommendations and thoughts.

23 And that concludes MPR's part of the
24 discussion.

25 ACTING CHAIR SHACK: Any questions from

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the members? Then I suggest we take a 15 minute
2 break and staff will come back for some comments on
3 where they think the advance analysis is going.

4 Thank you.

5 (Whereupon, at 2:57 p.m. a recess until
6 3:16 p.m.)

7 ACTING CHAIR SHACK: Just as Ted walks
8 away, I bring us back into session. Ted, it's all
9 yours.

10 MR. SULLIVAN: Thank you.

11 So I indicated in my earlier remarks
12 that we provided a letter to industry, dated March
13 5th. And this was the letter that we sent to Jay
14 Thayer of NEI. And it was responding to a letter
15 that Jay Thayer send Jim Dyer of NRR, dated February
16 14, 2007.

17 And one of the things that we indicated
18 in that letter is that we do very much plan to be
19 actively engaging with the industry as they work
20 their way through this project.

21 In the attachment to this letter we
22 covered, I think, eight different areas that we
23 would be important areas for us to consider the
24 number of potential nonconservatisms and
25 uncertainties int he original calculations would --

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 let me start that sentence over again.

2 There were a number of potential
3 nonconservatisms and uncertainties in the analyses
4 that NRC did and which Al presented today. And we
5 wanted to point out the ones that we thought would
6 be areas that we thought need to be addressed for us
7 to be able to come to some satisfactory resolution
8 on this issue.

9 So the first one we included in that
10 letter had to do with benchmarking. And we're
11 talking about benchmarking the software that
12 industry is doing. And what we're indicating in the
13 letter and in this viewgraph is that NRC contractor,
14 specifically EMC₂ and Dave Rudland, are modifying
15 our fraction mechanic software or the software that
16 EMC₂ uses to basically parallel the kind of changes
17 that Dana was talking about to specifically remove
18 the constraint of the semi-elliptical flaw front.
19 And what we're basically saying with this second
20 bullet here is that the work that we're doing we
21 consider to be work that industry can use to
22 benchmark their software.

23 The area of validation I don't really
24 think I need to say anything more. There was a good
25 healthy discussion in the last presentation when

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Glen White got up to answer some questions. So if I
2 can, I'll just move on to the next one.

3 The next area that we pointed out was
4 safety factor. And basically what we point out in
5 the letter is that ASME requires the use of safety
6 factors. We gave an example. And we just indicated
7 that the NRC staff views that industry should
8 consider use of a safety factor to cover
9 uncertainties in the analyses, and also use of a
10 safety factor in their estimation of leakage.

11 MEMBER POWERS: That somewhat begs the
12 question of what size of a safety factor to use,
13 doesn't it?

14 MR. SULLIVAN: It does and we
15 unfortunately don't have answers to questions about
16 specifically what our acceptance criteria would be
17 in each of these areas. I think it's going to have
18 to depend on how the analyses unfold, how much
19 uncertainties we think really need to be addressed
20 with safety factors.

21 MEMBER POWERS: Now on many of the
22 phenomenological fields are moving to very
23 formalized uncertainly analyses, Monte Carlo, Latin
24 Hypercube Sampling and things like that. Do you
25 have anticipation that you would do such a thing?

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: I haven't thought about
2 it. I don't know whether Al or Dave might have
3 comments.

4 MR. RUDLAND: I think it's a good
5 possibility that we could do some of those types of
6 analyses. Again, I think our work scope is still in
7 the rough stages, but I think we've expressed to the
8 industry the need to take into account some of the
9 probabilistic aspects. And so of course we'll be
10 doing that as part of our studies. But we have a
11 working code right now for doing some of this type
12 analysis, however this type of nonidealized growth
13 is not incorporated in that analysis at this point.

14 MR. CSONTOS: And I think the safety
15 factor here will be related to what you talked
16 about, what kind of safety factors go in there will
17 depend upon what other uncertainties that we can
18 deduce. And it will be depend on what other areas
19 that we look at. And we'll go into those other
20 areas here. But that safety factor will be related
21 to what uncertainties we can diminish and be more
22 certain about, but still understanding that even
23 though you may change the methodology here, which is
24 changing the elliptical crack shape to a more just K
25 driven, that the uncertainties at the beginning of

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 analysis to the assumptions even though you change
2 the methodology does not make the answer more
3 certain. It still has that uncertainty. And we'll
4 evaluate that.

5 MR. SHANG: Yes. I just want add one
6 more comment.

7 What industry proposed and what the
8 prior analyses that the NRC is going to do is still
9 a deterministic analysis. So they're not
10 probabilistic approach.

11 What we are hoping for is that if we can
12 use some kind of a combination of safety over
13 reasonable number and then combine with some kind of
14 sensitivity study addressing all the major
15 uncertainties of parameters, then we could bond the
16 problem.

17 MR. CSONTOS: Just to dovetail on that.

18 We in Research have a program that's
19 trying to develop probabalistic fracture mechanics
20 model to address some of the uncertainty issues.
21 And through the analysis you were just talking
22 about. That's ongoing now. It will be ready in a
23 few years, not right now.

24 Parts of that is what Dave was talking
25 about that will may be able to pulled out of that

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 code to be used to address those uncertainty
2 analysis.

3 So we just have to see what is ready for
4 prime time now versus what we have to work on.

5 MR. SULLIVAN: Okay. The next area is
6 weld residual stresses. And I think the statement
7 that we put here is what we consider as kind of a
8 summary statement. We believe that industry needs
9 to demonstrate that the results would not be
10 significantly effected by other reasonable residual
11 stress distributions that could be assumed. And I
12 think it's industry's intent to do a number of
13 sensitive studies around weld residual stresses.
14 And we're just going to have to work amongst
15 ourselves and work with industry to see if we are of
16 the same mind as to the cases that are being
17 analyzed.

18 Multiple flaws and flaw sizes, I think
19 we had some discussion on that earlier in the
20 presentation. We think it's important to bound the
21 types of flaws, bound at Wolf Creek but also account
22 for the possibility of multiple crack initiation and
23 linkage. And that's about all I really wanted to
24 say on that.

25 Crack growth rates. Different crack

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 growth rates can result in different crack profiles.
2 And what we indicated to industry is that we
3 believe they need to address the effect of crack
4 growth variability on the crack profile.

5 The next area is predicting growth by K.
6 There is evidence that in-service growth of stress
7 corrosion cracks does not match fracture mechanics
8 predictions. There's a number of possibilities for
9 these differences that I've listed in the second
10 bullet. And what we're pointing out is that this is
11 an issue that we believe industry needs to work on.
12 And we'll be actively discussing this issue also.

13 MEMBER POWERS: It seems to me that one
14 of the ancillary side comments that were made
15 industry was talking about some sort of a fractal
16 distribution of resistance to crack propagation in
17 the material. I mean, is this some sort of
18 percolation model of crack propagation emerging from
19 this kind of a discussion?

20 MR. SULLIVAN: I wasn't part of that
21 sidebar. Do you mean during the break?

22 MEMBER POWERS: No. During the
23 presentation in response to a question. There was a
24 suggestion --

25 MR. RUDLAND: I think he's talking about

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 when Glen was talking about the fingers of crack
2 growth. Is that correct?

3 MEMBER POWERS: That's correct.

4 MR. RUDLAND: Yes.

5 MEMBER POWERS: Does that argue for some
6 sort of a percolation model of crack propagation.

7 MR. SULLIVAN: I am not sure what that
8 is, a percolation model.

9 MR. RUDLAND: I think it lends -- you
10 said studies and to how crack growth rate variation
11 along the crack front changed the crack profiles.

12 MEMBER POWERS: I don't know how a
13 sensitivity study would come up with fingers, other
14 than by a percolation kind of modeling.

15 MR. RUDLAND: Yes, I'm not sure either.
16 I think this is a good point for our technical
17 discussion tomorrow for sure.

18 Does Glen have some ideas about that?

19 MR. WHITE: I would just add that, yes,
20 that's the sort of thing that we expect to discuss
21 tomorrow, what are the limitations of a fracture
22 mechanics-based crack growth rate regime. And what
23 do we need to do to consider those sort of effects.

24 There is the ability in the software
25 that we're using to use different crack growth rate

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 equations at each point on the crack front. So
2 that's something --

3 MEMBER POWERS: That I understood.

4 MR. WHITE: -- that we'll potentially
5 want to look at it. But I don't think that it's not
6 realistic to model the detail microstructure. But we
7 will have those microstructural effects that might
8 lead to these finger growth and percolation crack
9 growth. But we will have to consider these things in
10 our project and put together written discussions
11 about how this effects the results and how we need
12 to -- and other issues involved in the limitations
13 of fracture mechanics there.

14 MR. CSONTOS: But in terms to be done by
15 June 30th.

16 MR. WHITE: A large amount of work was
17 done on the crack growth rates, MRP-115 was the
18 work. Bill Shack was involved in that work at the
19 beginning.

20 MEMBER POWERS: Is that a recommendation
21 for the work or is that what you have to overcome?

22 MR. WHITE: No recommendation. We had
23 very good expert participation from the national
24 labs and international participation under EPRI's
25 direction. So we thought that was a very good -- a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 successful project. And a lot of these questions
2 have been looked at that expert panel. So we'll
3 build on that work. We're not recreating that work.

4 MEMBER POWERS: Never invent when you
5 can steal, that's --

6 MR. SULLIVAN: Okay. The last of these
7 eight points that we made is probably a pretty
8 obvious point. But what it has to do with is that
9 the crack stability methodology that are
10 traditionally used for plates either assume semi-
11 elliptical or constant depth surface cracks. And
12 we're talking here about having different crack
13 shapes. So we're just pointing with this that for
14 the crack stability part of these analyses that the
15 stability of nonidealized surface cracks and
16 through-wall cracks will have to be included in the
17 analysis for accurate leakage and rupture
18 predictions.

19 MR. CSONTOS: And that's from the
20 analysis I showed on the slide that showed, that it
21 said 8 out of 10 cases that led from leakage to
22 rupture, the margin, it was actually 10 out of 12
23 because two of the cases the surface crack stability
24 was not there. And so that's where we're going with
25 this.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. SULLIVAN: Okay. So I just wanted to
2 transition here to some summary conclusions.
3 Basically what the analyses indicated and what
4 caused us the certain with this whole issue of Wolf
5 Creek was that we found no margin between leak and
6 break. Very little margin actually for the relief
7 line and even for the safety line there were a
8 number of cases where there was no margin between
9 leak and rupture.

10 So we reached the conclusions that, as
11 it's stated, inspections or mitigations need to be
12 accelerated for some plants. What that really
13 translated into is that we felt that all the
14 inspections should be completed in 2007.

15 We also concluded that to address
16 possible leaking flaws that it would be important to
17 have enhanced RCS leak monitoring frequency action
18 levels and actions put in place.

19 And as I indicated earlier, the effected
20 licensees, which I think turns out to be basically
21 40 licensees, have agreed to those actions. The
22 reason it's 40 as opposed to some of the other
23 numbers that we may have been throwing around, is
24 that there are some plants that have inspected and
25 that are only going to inspect. And one of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 things that I actually didn't get into in here is
2 reinspection frequency.

3 We also asked licensees to reinspect
4 these welds on a four year frequency. So some of
5 the plants that provided us commitments only needed
6 to address the reinspection frequency.

7 And then as I've been discussing in the
8 last few minutes, industry is pursuing additional
9 analyses. We're going to follow that work closely.
10 And if we conclude that reasonable assurances
11 provided from that work, the plants with outages in
12 2008 will be able to avoid the 2007 outages that
13 they've committed to.

14 That ends my presentation.

15 Now as per request that we received from
16 ACRS, Matt Mitchell has agreed to join us and
17 present some information on Duane Arnold. If there
18 aren't any more questions, we'll transition to a
19 short presentation from Matt Mitchell.

20 ACTING CHAIR SHACK: I think we asked
21 this question, you know, is there any consideration
22 to going back to Wolf Creek and taking a sample.

23 MR. SULLIVAN: I think industry would
24 have to answer that question.

25 MR. MARION: This is Alex Marion. NEI.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Could you repeat the question, please?

2 No, seriously. There has been
3 discussions with Wolf Creek's senior management over
4 that possibility and the discussion are continuing,
5 is all I can say at this particular point in time.

6 ACTING CHAIR SHACK: Well, I imagine you
7 get the -- reception.

8 MR. MARION: It gets all kinds of
9 responses, I assume you.

10 MEMBER POWERS: I guess the essential
11 question that comes up is if you argue that Wolf
12 Creek is an outlier, something unusual, something
13 very different how do you agree that even based on
14 calculations of the norm that plants should be
15 allowed to defer until 2007? I mean, aren't they as
16 likely to be outliers as Wolf Creek?

17 MR. SULLIVAN: How do we argue that
18 plants should be allowed to go as late as 2007, is
19 that --

20 MEMBER POWERS: 2008. Suppose you do
21 your calculations that say, you know, things are
22 pretty much like we thought they were and that Wolf
23 Creek is something unusual, then why is reasonable
24 to let those other plants to go to 2008? I mean,
25 they're as likely to be outliers as Wolf Creek, I

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 would presume.

2 MR. SULLIVAN: I mean the best thing I
3 can say is that there's a lot of uncertainties. And
4 when you have uncertainties, or when the staff has
5 uncertainties we tend to try to err on a more
6 conservative side.

7 MEMBER POWERS: Then you be forced to
8 then do a 2007 no matter what your calculations
9 showed?

10 MR. SULLIVAN: Well, that's essentially
11 what the agreements that we've got from the licensee
12 is to inspect in 2007 pending these results.

13 MEMBER POWERS: I mean I don't see how
14 the results change that decision to inspect in 2007.
15 I don't see the mechanism by which I derive anything
16 out of the results that causes me to change the
17 inspection in 2007.

18 MR. SULLIVAN: What's caused our concern
19 is the possibility that rupture would occur without
20 prior evidence of leakage and that the point of
21 these calculations is to try to demonstrate that
22 there is margin between leak and rupture.

23 MR. CSONTOS: Enough to detect leakage
24 and enough leakage to detect in a short enough
25 period of time so that actions can be done. And

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 that's where through these calculations show that
2 there is a finite period of time with uncertainty
3 and sensitivity analysis done to legitimately say
4 and have a basis to say that there will be some
5 period of time when we can detect and ensure action.
6 Then that's where the analysis could help us with
7 that decision. Well, your decision.

8 ACTING CHAIR SHACK: Yes, I mean I think
9 that you're going to have demonstrate that for what
10 you think are reasonable residual stresses or
11 reasonable range of crack growth rates or reasonable
12 range of loadings and a reasonable range of crack
13 sizes considering what you found at Wolf Creek and
14 the possibility that others or even -- will still
15 give you a reasonable probability that you're going
16 to have this, then you come to that conclusion.
17 Now, just how you're going to get there is a
18 different question.

19 All those have to be considered,
20 obviously.

21 MR. CSONTOS: Well, from the difference
22 between what we've done in the past in our analysis
23 to what we know how, we know a lot more about the
24 weld repairs and we know a lot more about some --

25 ACTING CHAIR SHACK: Not interested just

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 in Wolf Creek.

2 MR. CSONTOS: No, that's right.

3 ACTING CHAIR SHACK: It's the weld
4 repairs that could have taken place anywhere.

5 MR. CSONTOS: But part of the task that
6 we involved, I believe and tell me if I'm wrong, but
7 there is an effort by industry to go and look at the
8 history of whatever those nine outlier plants are to
9 find out what their weld repair history is. And we
10 can then look at those in our analysis, in our
11 parallel analysis, use some of that work to define
12 what the appropriate range of weld residual stresses
13 and what's the range of weld repair residual
14 stresses that we evaluate specific to those that's
15 past.

16 ACTING CHAIR SHACK: Unless there's any
17 other questions, we can move on to Duane Arnold,
18 everybody's favorite.

19 MR. MITCHELL: Yes. An oldie but a
20 goodie.

21 ACTING CHAIR SHACK: An oldie but a
22 goodie.

23 MR. MITCHELL: I thank Ted for the
24 introduction. Yes, I'm Matthew Mitchell, Chief of
25 the Vessels and Integrity Branch.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 And we were invited to come over. I was
2 invited to come over and give you at least a couple
3 of slides with regard to the situation that has
4 arisen at Duane Arnold since about the middle of
5 February when the cracking that was found during
6 this last outage was reported. So I will proceed
7 what will be a very short presentation, but I
8 anticipate that there may be more time for questions
9 and less time for presentation at this point.

10 ACTING CHAIR SHACK: Just what the jet
11 pump riser at Duane Arnold? Ten inches in diameter?

12 MR. MITCHELL: This particular location
13 the ID is 11", wall thickness is about 1.1". For
14 the OD it's about 13.2. That was the most recent
15 information that we'd gotten from the licensee. And
16 in this case we're talking about actually an Inconel
17 600 safe end welded to the low alloy steel reactor
18 vessel. So there's an Inconel 82/182 weld obviously
19 connecting the two pieces.

20 ACTING CHAIR SHACK: It's just not a
21 sensitized Alloy 600 safe end, is it?

22 MR. MITCHELL: I believe based upon
23 their experience in the middle to late 1970s that
24 the safe ends that are in there now are improved,
25 yes. They did away with the original safe ends in

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 about '78 or '79 when they did a safe end
2 replacement project based upon the earlier cracking
3 event at Duane Arnold.

4 So I'll just proceed down the slide. And
5 I think a lot of this information has been given to
6 the Committee, because I provided Gary with some
7 packages of information that we had been developing
8 for our management. So if this seems redundant, I
9 apologize.

10 But as we just covered, the general
11 configuration of the location, the cracking that was
12 discovered in two of these safe end-to-reactor
13 vessel weld locations has been characterized as
14 being roughly 6" to 7" long and roughly 55 to 75
15 percent through-wall. That's the best
16 characterization the licensee has given us based
17 upon their 2007 ultrasonic test data.

18 The licensee has gone back and looked at
19 data from prior examinations of the two welds in
20 questions. And one of the welds had been inspection
21 in 1999, 2005 and then again in 2007. The other one
22 had been inspected in '99 and now again in 2007.

23 And based upon relooking at their former
24 UT data, they have reported that they believe that
25 they could see an indications of these flaws in the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 prior ultrasonic data. The flaws were not called
2 when the data was originally taken in 1999 and 2005.
3 But now that they know that the flaw is there and
4 they know what to look, they feel that they can
5 actually indications of it.

6 There were reports that if we talk about
7 the N2F nozzle, which was the original one that was
8 discovered to be cracked and the one that was
9 inspected in 1999 and 2005, the licensee identified
10 that there were some complications with those
11 inspections. The '99 inspection was done with the
12 weld crown still in place, which may have impeded
13 their ability to get complete coverage and to find
14 this flaw if it were in existence at that time. The
15 2005 data in the vicinity of the flaw, which is on
16 essentially dead bottom center of the weld, they
17 reported that there was indication of transducer
18 lift-off. Apparently the automated system sort of
19 pulled away from the pipe from the weld location and
20 was giving them sort of an intermit signal, which
21 may have interfered with their ability to detect
22 this particular flaw.

23 The staff is very interested in having
24 our own independent experts look at this data. We
25 have already requested all of the ultrasonic data

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 files from the licensee from the '99, 2005 and 2007
2 examinations. And we're putting the appropriate
3 contracts in place with our friends out at Pacific
4 Northwest National Lab, Steve Doctor and Mike
5 Anderson to do an independent assessment of the
6 licensee's UT data to try to confirm that in fact
7 these flaws were visible from the prior data and
8 that the prior data supports the conclusion that the
9 licensee has come to, which is that in effect the
10 flaws do not show significant amounts of growth
11 between those prior inspections and what was found
12 in 2007.

13 That is the basis that we're working on
14 at this point of time based upon the work that has
15 been done by the licensee, their UT vendor and EPRI
16 to look at the current and past UT data and to
17 better understand the situation at Duane Arnold.

18 MEMBER BONACA: They were not
19 characterized or recognized. Isn't that in and of
20 itself a concern? I mean what all the measurements
21 or examinations taken by the other licensees? I
22 mean, you know is the story we hear about VC Summer.
23 The flaws were there, they were not recognized. And
24 when you say that it raises the question about the
25 other plants.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MITCHELL: The answer is absolutely.
2 And that is exactly the perspective that the staff
3 is looking at the information from Duane Arnold.
4 We're right now looking at it from a, if you will, a
5 personnel performance issue standpoint. And we have
6 challenged the industry via the BWR Vessels and
7 Internals Project to go back and communicate with
8 the entire BWR fleet and to have them now that we
9 know about the Duane Arnold situation, to go back
10 and look at old UT data files to make sure that they
11 do not have a situation similar to what was
12 experienced at Duane Arnold.

13 MEMBER BONACA: Okay.

14 MR. MITCHELL: To understand whether
15 they had any inspections that may have been subject
16 to a lift off concern of the transducer, if they
17 might have had any indications for example that they
18 called a subsurface flaws that were just not able to
19 discriminated as surface connected at the time the
20 inspection was made. They should go back and look
21 at those indications more suspiciously. That it may
22 be indicative that they do actually have a
23 relatively large surface breaking flaw in place.

24 So that is certainly part of the message
25 that has been carried back to the industry through

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 the BWR VIP. So, yes, that is precisely our
2 perspective on the Duane Arnold experience.

3 And I'll say part of that perspective
4 comes from, I think, my second sub-bullet under the
5 second main bullet, which is that the cracking
6 observed at Duane Arnold is in effect consistent
7 with what we have from prior BWR experience. I think
8 everyone in the room knows that the BWRs have a very
9 long history of stress corrosion cracking flaws
10 going back to the early 1980s even, in sensitized
11 stainless steel and Inconel materials.

12 So the difference I would draw between I
13 think the story you heard earlier today about Wolf
14 Creek and the story about Duane Arnold is that Duane
15 Arnold appears to be not greatly different from
16 things that we are already well familiar with. If
17 indeed the current reinspection of the ultrasonic
18 data suggests that this flaw was in fact not growing
19 at an otherwise unexpected crack rate based upon the
20 fact that Duane Arnold has been operating under
21 hydrogen water chemistry since at least 1987, it
22 does not appear to be indicative of certainly a new
23 phenomena, not something that we are not already
24 familiar with. And we do take some comfort from
25 knowing that, although objectively speaking the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 flaws in question here appear to be significant, and
2 they are. But it does not appear to be a new
3 manifestation or a new degradation mechanism with
4 which we are not already familiar.

5 And that is essentially the proviso that
6 we are operating under at this point in time as we
7 approach the overall problem and the generic
8 implications of it.

9 I'll add that with respect to trying to
10 put these flaws into perspective, the licensee has
11 done, although the staff has not reviewed, a margins
12 analysis with respect to the significance of these
13 particular flaws. They reported that they
14 postulated a hypothetical through-wall flaw of 100
15 degrees in arc length and could demonstrate,
16 although such a flaw would obviously be unacceptable
17 because it's a through-wall flaw, that such a flaw
18 would have code margins under all licensing basis
19 loading conditions. That's just sort of a point of
20 comparison with respect to the sizes that the flaws
21 actually were they were discovered at Duane Arnold.

22 Next slide. Thanks.

23 So again, going back to both the Duane
24 Arnold specific questions that could be raised and
25 the questions about general implications of the

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 industry, we really pursuing both questions. One is
2 to continue looking at the Duane Arnold data
3 further to understand what happened in those prior
4 inspections and to whether this is indicative of a
5 performance deficiency on the part of Duane Arnold
6 and/or their vendors who were performing the prior
7 UT exams.

8 The other question is to go out to the
9 fleet. And the BWR VIP issued a letter, dated I
10 believe it was -- well, I've got the letter with me.
11 If I can find it in this stack. It was dated on a
12 recent Friday. And it went out the 23rd. It went
13 out to all the licensees for urgent action to:

14 (1) Particularly for those plants in
15 spring '07 outage to reassess their plan for doing
16 inspections if Inconel welds and whether or not the
17 Duane Arnold data should effect their plans in their
18 immediate outage. And for them to provide
19 information to the BWR VIP regarding the inspection
20 history of all the plant's welds, what had been
21 found, what it had been called as, et cetera, so
22 that the BWR VIP could assemble a fleet-wide
23 database for these particular welds and report back
24 to the staff.

25 From talking to Robin Dyle of the VIP

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 this morning, the latest information was that they
2 expect to get all the answers back now by either the
3 end of this week or very early next week. There are
4 a few stragglers that will be coming in in just a
5 bit. And the BWR VIP plans to be ready to talk to
6 the staff by the end of the month regarding the
7 overall set of data that they've acquired from the
8 fleet regarding the inspection of these welds.

9 And the staff will based upon that
10 information and based upon the additional
11 information that we can extract from what we know
12 about Duane Arnold, then consider what generic
13 actions may or may not to be taken in light of the
14 inspection program which is already being
15 implemented either ASME code requirements and/or
16 through the BWR VIP requirements for the inspection
17 of these welds under VIP 75. And that goes back to,
18 of course, Generic Letter 80.01 as well.

19 So with that, I certainly would be happy
20 to take any additional questions.

21 MEMBER BONACA: I had a question
22 regarding the previous slide. Bottom, the last
23 bullet, the flaws had substantial margin to failure.
24 Could you expand a little bit? One of them was 6"
25 long, 74 percent through-wall.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 MR. MITCHELL: Okay. This goes back to
2 the point I had mentioned where they had done an
3 analysis to show that if you had considered a flaw
4 that was a 100 degrees in arc length and completely
5 through the wall, such a flaw would still have ASME
6 code margins to failure. So there you are talking
7 about if you put it in terms of percent area cracked
8 of the cross section, that flaw that's obviously 100
9 degrees long -- a 100 degrees in arc length and all
10 through through-wall is about 28 percent roughly of
11 the cross sectional area. The largest flaw that was
12 found, even if you assume the 7" long flaw was 56
13 percent through-wall over its entire length, that's
14 about 5 percent of the complete cross sectional
15 area. An Alloy 82/182 type location is generally
16 going to fail it a limit load mode. So you can draw
17 a lot of conclusions based upon the remaining cross
18 sectional area that's available to carry load.

19 So in that regard, at least, there would be
20 substantial margin.

21 And all of that is also predicated on
22 confirming the fact that the crack is not growing at
23 an exceptional rate. In general, obviously, if you
24 believe in effective hydrogen chemistry at this
25 location and the differences in temperature between

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 certain very warm locations in a PWR versus the BWR
2 temperatures, you'd expect a generally much lower
3 crack growth rate in the PWR environment as well.
4 So you have to kind of keep that in mind when you're
5 starting to compare what the story about PWR
6 cracking potentially in the pressurizer surge line
7 or a hot leg versus cracking in a BWR in a location
8 like this. They're --

9 ACTING CHAIR SHACK: I mean hydrogen
10 water chemistry doesn't necessarily give you a whole
11 lot of comfort here. Because Alloy 182 certainly
12 can crack in low potential environments. But the
13 temperature is a big help.

14 MR. MITCHELL: The temperature, yes.
15 Yes. Yes. I don't think anyone would suggest that
16 for this material that even the hydrogen water
17 chemistry is a panacea. It can slow things down, but
18 it --

19 ACTING CHAIR SHACK: Well, I'm not sure.
20 It might even speed them up. I mean Alloy 182, like
21 all nickel, is wonderful. It cracks at high
22 potential, low potential. I'm not sure where the
23 optimum potential for that would be.

24 MR. MITCHELL: At least based upon my
25 conversations with our colleagues in Research, and

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 Dr. Cullen in particular, we take some comfort at
2 that at least. But, you're right. It's not the
3 complete answer to stopping these cracks
4 necessarily. But like you say, the temperature
5 difference is significant.

6 MEMBER POWERS: Why is cracking being an
7 uranous temperate dependent?

8 ACTING CHAIR SHACK: Since I don't
9 really understand the mechanism of PWSCC, I have a
10 hard time answering that question, except to say
11 that it seems to do it.

12 MEMBER POWERS: It's not obvious to me
13 why it sound.

14 ACTING CHAIR SHACK: No. But the
15 experiments seem to indicate that it does.

16 MR. MITCHELL: The experiments are
17 modeled with a temperature dependence that's
18 reflective of the data.

19 ACTING CHAIR SHACK: Is this standard
20 construction for BWRs that they do have the 182
21 dissimilar metal welds or some of them 182 and some
22 of them are 308?

23 MR. MITCHELL: I can't say that I know
24 whether it is standard or not. That will be part of
25 the information that we will get from the BWR VIP.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 I have no reason to think that Duane
2 Arnold is a substantial outlier in this regard in
3 terms of how it was constructed. I have no reason
4 to think that it was unique in any way, shape, form
5 or fashion in terms of the materials chosen or the
6 processes used in the construction.

7 ACTING CHAIR SHACK: It's that we have
8 variability in PWRs.

9 MR. MITCHELL: Of course, you also have
10 variable reactor vendors as well.

11 ACTING CHAIR SHACK: But even within a
12 single vendor in the PWR world.

13 MR. MITCHELL: Yes. Yes, that's true.

14 So we will know more definitively the
15 answer to that question when we get the VIP survey
16 originals back. We have not, to my knowledge, ever
17 accumulated a specific database on that fine point
18 in the past.

19 ACTING CHAIR SHACK: Thank you very
20 much.

21 MR. MITCHELL: You're welcome.

22 ACTING CHAIR SHACK: I guess what we
23 need to consider is -- how much time do we have at
24 tonight's meeting?

25 MR. HARRINGTON: About an hour and a

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 half.

2 ACTING CHAIR SHACK: About an hour and a
3 half.

4 MR. HARRINGTON: An hour and 45.

5 ACTING CHAIR SHACK: People have
6 suggestions on what we should have presented at the
7 main Committee.

8 MR. SULLIVAN: Well, one question is do
9 you want Matt Mitchell to come back.

10 ACTING CHAIR SHACK: I think on Matt's
11 case, no. I think we're okay on that. You know,
12 we'll let that one just ride for a while. You know,
13 I'll mention it in a Subcommittee report,

14 But on the essentially Wolf Creek
15 situation?

16 MR. HARRINGTON: Obviously, we need to
17 cut our presentation down somehow.

18 ACTING CHAIR SHACK: Yes.

19 MEMBER POWERS: Well, it seems to me,
20 Bill, that I would orient it more to a factual --
21 just an information briefing to the full Committee,
22 wouldn't you?

23 ACTING CHAIR SHACK: Well, we've
24 actually had that. I was going to almost start with
25 just where we're at at sort of almost slide 27. You

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 know, what the regulatory action at the moment and
2 how everybody plans to move forward.

3 MEMBER POWERS: Yes.

4 ACTING CHAIR SHACK: And, you know, you
5 could give a brief introduction, Ted. But I think,
6 then let industry talk about their plans to go
7 forward and then you come back with your comments on
8 their plans to go forward. And it might not even
9 take the hour and a half.

10 You know, we've had the sort of factual
11 briefing, I think. And I think it really is at this
12 point what the actions that have been taken and the
13 actions that are planned that are of the greatest
14 interest.

15 MR. SULLIVAN: Not to be contrary --

16 ACTING CHAIR SHACK: No.

17 MR. SULLIVAN: But on February 2nd there
18 were some questions about leakage, and I don't
19 remember who was asking those questions. But it
20 might have been somebody who wasn't here today.

21 ACTING CHAIR SHACK: Well, that's a
22 distinct possibility.

23 MR. SULLIVAN: So we didn't cover
24 leakage in the last presentation, but we did in this
25 one. So an alternative, again not to be contrary,

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 is to start on page 22 instead.

2 ACTING CHAIR SHACK: That's fine. I
3 just didn't want to go over things that we had gone
4 over, and I want to make sure that we get in. But I
5 don't think there's any trouble in covering that in
6 the time that we have.

7 MR. SULLIVAN: Yes. It's still only like
8 14 slides or something.

9 ACTING CHAIR SHACK: Yes. That should
10 not be a problem.

11 MR. SULLIVAN: Okay. Thanks for the
12 advice.

13 MR. MITCHELL: Dr. Shack, I hate to
14 interrupt. Could I offer one correction to what I
15 said earlier in answer to Dr. Bonaca's question. I
16 believe I said that when I made that comparison
17 between the hypothetical through-wall flaw it was 28
18 percent versus 5 percent. It's actually 28 percent
19 versus 12 percent. The flaws that were found that
20 were about 12 percent of the cross section.

21 IT was 5 square inches. I misread my
22 own note. That's about 12 percent. It's still a
23 sizeable amount, but I just wanted to make sure I
24 told you the right story.

25 ACTING CHAIR SHACK: But you're pretty

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 close to the code 75 percent through-wall?

2 MR. MITCHELL: Oh, precisely. Completely
3 different criteria there, but yes.

4 ACTING CHAIR SHACK: Different criteria,
5 right.

6 MR. MITCHELL: And in fact both of these
7 flaws are being well overlay repaired by the
8 licensee prior to go back to service. So I wanted
9 to make that clear, too. That they are weld
10 overlaying these.

11 ACTING CHAIR SHACK: Not dispositioning
12 by analysis, huh?

13 MR. MITCHELL: No. And they have
14 actually gone in. They expanded their inspection
15 scope. I think I did not mention that. To inspect
16 all of the rest of nozzles of similar configuration
17 before going back to service as well.

18 ACTING CHAIR SHACK: Anybody have any
19 other comments they'd like to make?

20 PARTICIPANT: (Off microphone)

21 ACTING CHAIR SHACK: Well, I did make a
22 suggestion. And I guess they can take it or leave
23 it, which was to focus on your plans to go forward.
24 The finite element, yes. If that's acceptable to
25 you, that seems reasonable to me.

NEAL R. GROSS

COURT REPORTERS AND TRANSCRIBERS
1323 RHODE ISLAND AVE., N.W.
WASHINGTON, D.C. 20005-3701

1 PARTICIPANT: It won't take up much
2 time.

3 ACTING CHAIR SHACK:

4 We don't need to fill time.

5 MEMBER KRESS: Dr. Shack, the guy over
6 here doesn't know what's going on. He can't hear
7 it.

8 ACTING CHAIR SHACK: Okay. The question
9 was what industry should present at the full
10 Committee meeting. They accepted my suggestion that
11 we focus on the advanced finite element analysis is
12 the way forward to address the NRC questions.

13 I think we can go off the record now.

14 (Whereupon, at 4:03 the meeting was
15 adjourned.)

16

17

18

19

20

21

22

23

24

25

