

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

- - -
BRIEFING ON 10 CFR 50.59
REGULATORY PROCESS IMPROVEMENTS

- - -
PUBLIC MEETING

Nuclear Regulatory Commission
One White Flint North
Rockville, Maryland

Monday, March 10, 1997

The Commission met in open session, pursuant to notice, at 10:35 a.m., Shirley A. Jackson, Chairman, presiding.

COMMISSIONERS PRESENT:

SHIRLEY A. JACKSON, Chairman of the Commission
KENNETH C. ROGERS, Commissioner
GRETA J. DICUS, Commissioner
NILS J. DIAZ, Commissioner
EDWARD McGAFFIGAN, JR., Commissioner

2

STAFF PRESENT AND PRESENTERS SEATED AT THE COMMISSION TABLE:

JOHN C. HOYLE, Secretary of the Commission
KAREN D. CYR, General Counsel
JOE CALLAN, EDO
THOMAS MARTIN, Director, Division of Reactor Program Management, NRR
EILEEN MCKENNA, Senior Reactor Systems Engineer,
NRR
FRANK MIRAGLIA, Deputy Director, NRR

3

P R O C E E D I N G S

[10:35 a.m.]

CHAIRMAN JACKSON: Good morning, ladies and gentlemen. The purpose of this meeting is for the Commission to be briefed by the NRC Staff on proposed regulatory guidance related to the implementation of 10 CFR 50.59 changes, tests, and experiments.

The Commission approved making publicly available the recent Staff paper addressing this subject, which I understand is also available today at the entrances to this meeting. The Commission is considering the Staff's request to seek public comment on the paper.

In the fall of 1995, I directed the Staff to perform a systematic reconsideration and reevaluation of the regulatory framework that authorizes licensees to make changes to their facilities without prior NRC approval.

Staff work to date is summarized in the paper, highlights of which will be discussed today. The paper proposes regulatory guidance that first reaffirms existing regulatory guidance; second, clarifies Staff positions in

certain areas; third, establishes new guidance where none existed; and fourth, briefly discusses some policy issues related to potential rulemaking for 10 CFR 50.59.

As I stated last month at the Millstone Lessons Learned meeting, I believe an honest assessment from the NRC

.
4

would indicate that the implementation of 10 CFR 50.59 has been long overdue for improvement.

That regulation, which was originally promulgated in 1962, is an important regulation, the applicability and use of which has expanded over the years. Recent lessons learned from Millstone and other reviews, coupled with the fact that the industry guidance document, NSAC 125, is being used by the nuclear industry to implement 10 CFR 50.59, while not having been formally endorsed by the NRC because there were certain differences between that document and 10 CFR 50.59, indicate that the time is ripe to resolve the issues, to clarify guidance, and to get Commission policy input on any proposed rule change.

The Commission is very interested, therefore, in the proposed regulatory guidance and policy questions being presented in today's meeting. The Commission recognizes that the industry has in the past taken significant steps, as I have indicated, to formalize their own guidance for performing 50.59 evaluations.

The industry, for example, recognized early that plant changes should be evaluated against more than the final safety analysis report. However, it is clear that a consistent, thorough approach has not always been taken by all licensees.

Additionally, 10 CFR 50.59, as I have indicated,

.
5

has become more important over the years simply because of the expanding scope of the rule. Licensees are evaluating additional topics and significant plant changes under the provisions of this rule.

It is not too late to make the necessary improvements and to insure that NRC's program for assessing changes, tests, and experiments conducted under the rule is a more thorough and consistent program. However, the time to do it is now.

I understand that copies of the Staff's presentation are available at the entrances to the meeting, and if none of my fellow commissioners have any additional opening comments, Mr. Callan, you may proceed.

And I'd like to add a parenthetical comment, Mr. Callan. I believe the Commission will be well-served by any examples or insights that you may from the regional perspective with respect to any difficulties that the resident inspectors or region-based inspectors may face in this area. So we would appreciate any comments you might have as we go along.

MR. CALLAN: I will have plenty of examples, probably limited only by time.

Good morning, Chairman, and --

CHAIRMAN JACKSON: That's why we put it before lunch.

.
6

MR. CALLAN: The NRC Staff is here today to brief the Commission on the results of its review of implementation issues related to 10 CFR 50.59.

With me at the table are, to my right, Frank Miraglia, the Deputy Director of the Office of Nuclear Reactor Regulation; to my immediate left, Tim Martin, the

Director of the Division of Reactor Program Management in NRR; and to his left, Eileen McKenna of his Staff.

Chairman, you covered in your opening remarks several of the points that I was going to make, so I will immediately turn the discussion over to Mr. Miraglia, who will now provide his opening remarks and then Mr. Martin will then discuss the details of the Staff review.

MR. MIRAGLIA: Thank you, Joe. Good morning, Madam Chairman, commissioners.

Just to set the stage a bit, on February 19th, we briefed the Commission on the Millstone Lessons Learned Part 2, and if everyone recalls, there were six questions that we addressed that came from that lessons learned, two of which directly related to 50.59, the subject of today's meeting with the Commission.

As with the Millstone Lessons Learned, there are some short-term actions and long-term actions that we believe should be considered in order to move forward with the improvements in the 50.59 process.

.

7

The paper articulates the current Staff position and interpretations of 50.59. As you have indicated, Madam Chairman, for the most part, those Staff positions are reaffirmations or clarifications of longstanding interpretations, and in a few instances, they represent new positions.

Therefore, we believe it is an important first step in evaluating what changes need to be made in terms of rulemaking to get public comment on the proposed Staff position, and that's why the short-term recommendation is for receiving public comment on the Staff positions as presented in the paper.

A number of these questions have been addressed by the Commission in the past and, in addition, are related to some of the issues raised by NEI in their communications with the Commission in October regarding principles of conducting licensing basis reviews and for which the Commission responded in early February. So the positions then are consistent with communications with the industry and NEI, which are also a matter of public record.

With those opening remarks, I would like to have Tim walk us through the presentation and then we stand ready to receive any questions.

MR. MARTIN: Thanks, Frank. May I have the first slide, please?

.

8

[Slide.]

MR. MARTIN: 10 CFR, section 50.59 establishes a process for licensees to make changes to their facility or procedures described in the safety analysis report or to perform tests and experiments not described in the safety analysis report without prior NRC approval if those changes do not involve an unreviewed safety question or changes to their technical specifications.

Therefore, it establishes a regulatory threshold beyond which prior NRC approval is required before implementing a change or performing a test or experiment.

The purpose of this briefing is to present the results to date of the Staff's 10 CFR 50.59 action plan and recommendations for short-term improvements in regulatory guidance.

Clearly the 10 CFR 50.59 process has been a significant element for the framework for nuclear power

plant regulation since promulgated in 1962 and provides licensees the needed structure and flexibility to make changes that do not erode the basis for NRC's licensing decisions.

Based on the Staff's review, we conclude that when properly implemented, the 10 CFR 50.59 process has been and continues to be successful in preserving the design basis and safety margins at operating plants.

.

9

However, as a result of the Staff's analysis and experience, we have identified areas where implementation of the process would benefit from additional clarification or guidance. As a result, we conclude that existing regulatory guidance should be clarified to further reduce differences in interpretation of rule language and expectations of the process.

May I have the next slide, please.

CHAIRMAN JACKSON: Before you go, since we are talking about clarification, in the paper you submitted to the Commission, you discuss at least two other options when it comes to dealing with degraded or nonconforming conditions, and specifically, there's 10 CFR Appendix B, or section 16, the generic letter 9118, which explicitly deals with that subject.

Now, you don't have a viewgraph in here about that, but it appears that there is some blurriness in the boundaries between these different approaches or methodologies.

Can you expand for the Commission's benefit on what the various processes are, and do you think that licensees have a clear understanding from us as to when one is to be used versus another?

And then the related obvious question then is, is this part of what you're going to be addressing in talking

.

10

about clarification?

MR. MARTIN: Chairman, as one of the items on the implementation issues, that is a specific and, to be quite frank, a lengthy discussion of the handling of the discovery of degraded or nonconforming conditions, the applicability of 50.59 to that process, what guidance is out there in the form of the generic letter 9118, and how we believe that there may be some additional interpretations and guidance that we need to put out there.

If I can, I would like to hold off until that part since we have covered those major issues.

CHAIRMAN JACKSON: You're going to explicitly discuss these three?

MR. MARTIN: Yes, ma'am, I will.

CHAIRMAN JACKSON: Okay. I will hold off.

MR. MARTIN: May I have the slide, concerns about the 50.59 process?

[Slide.]

MR. MARTIN: The Staff's principal concern is that improper implementation of the 10 CFR 50.59 process could lead to a temporary reduction in the level of safety of a plant. Specific implementation problems can usually be placed in one of three bins.

First, the rule applies to facility or procedures as described in the safety analysis report. To the extent

.

11

the facility or procedures are not so described or are not perceived to be described, then the plan change may not be subject to the 10 CFR 50.59 process.

Second, questions of interpretation of the rule's language have led to ambiguity about when a change, test, or experiment requires an evaluation and when an unreviewed safety question is involved.

Third, because the rule as written addresses proposed changes, ambiguity exists as to its application to discovered conditions which are different from those described in a safety analysis report.

May I have the next slide, please.

[Slide.]

MR. MARTIN: Our proposed approach to resolution of these implementation concerns involves two parallel paths: first, by improving implementation of the rule as currently written by reaffirming existing regulatory positions and practices for which there is general agreement, clarifying existing regulatory positions where interpretations may vary, establishing new regulatory positions where none previously existed to assure uniform implementation expectations and enhancing NRC inspection guidance and oversight; second, by identifying additional opportunities for improving implementation of the 10 CFR 50.59 process, such as through rulemaking.

. 12

Because the latter issues are inseparably linked to policy issues discussed in the Millstone Lessons Learned Report, Part 2, we intend to carefully examine the options for additional actions, evaluate the consequence, their implementation, and come back to the Commission with an integrated set of recommendations.

May I have the next slide, please?

CHAIRMAN JACKSON: Before you go, the ones that you're talking about that are under the heading of "enhancing implementation of the rule as written," are all of your recommended positions such that they can be implemented in the short term, and are any of them subject to back-fit consideration, or are they -- because they are implementation of existing rules, they are not?

MR. MIRAGLIA: In terms of some of the issues, Madam Chairman, where we feel that they're reaffirmations, the answer would be no. In terms of some of the clarifications, we need to put it through the process to make sure that it's not a new interpretation, and that could be done in the short term by generic letters or other kinds of communications and issuances, and that's true of also some of the new issues.

The longer term would be, given this experience and given those improvements, should we take the next step and codify all of that through a rulemaking process once we

. 13

take the short-term --

CHAIRMAN JACKSON: Is there concurrence between the Staff, technical Staff, and OGC with respect to that position?

MR. MIRAGLIA: I think in the short term with the guidance, the first step would be to get the public comment and that would establish the basis for issuing that in a generic kind of sense, but perhaps Karen would like to add to that.

MS. CYR: No. I think we're in agreement with the Staff on the approach they've laid out.

COMMISSIONER ROGERS: I think there is an issue, though, as to the separability of these policy issues from what you're proposing to do on the short term. It may very

well be that some of your short-term proposals in fact represent policy issues that ought to be reviewed as policy issues.

So we'll have to see what this all amounts to, but I'm not so convinced that it's easy to separate short term, what you might call short term, from policy issues.

CHAIRMAN JACKSON: I think that what they're calling policy issues relate to policy issues related to rulemaking because all of them are policy issues in the end.

MR. MIRAGLIA: I think that that would be fair.

In the terms of a generic communication, we would have to

.

14

come through process, would have to come to the Commission saying, this is the generic communication the Staff intends.

COMMISSIONER ROGERS: I understand that, but I think the question I'm raising is whether, by reaffirming something as a policy issue that later on in fact ought to be addressed through rulemaking and changed, it is something that we ought to be very mindful of that, that possibility.

CHAIRMAN JACKSON: Do you know enough at this point -- relative to the potential rulemaking, have you done enough of a consideration to say whether there's anything that you would be moving toward in that line that would conflict with what you're calling the shorter-term considerations?

MR. MIRAGLIA: I have not thought about that question. I'll give an answer. With all the considered thought that I've given it, probably not. I think if one goes back to the concerns about the 50.59 viewgraph, the issue of scope is one that we're leaving until later.

That's clearly outside.

What the intent would be is that the clarifications in the short term that we would be providing would be to the scope of 50.59 as now described in the rule. So I don't believe anything in the short-term guidance is going to expand the scope. That question would be clearly later.

.

15

In terms of the ambiguity, we would try to be clarifying concerns relative to margin and consequences and changes in probability, again, to apply it to 50.59 as described. We are not intending to change the scope of 50.59 within the context of the short-term lessons learned.

COMMISSIONER ROGERS: Well, I have to say that I think those are issues that are going to be policy issues.

MR. MIRAGLIA: Those latter two?

COMMISSIONER ROGERS: Yes.

MR. MIRAGLIA: Yes, and I think what we tried to present to the Commission here is what Staff practice has been and what the clarification has been and a reaffirmation. Certainly the Commission can provide us guidance in that area, either now or as for further briefings on that.

The clear intent of the Staff, Commissioner Rogers, is to put a reference out there that -- in terms of public comments so there could be an understanding of how it's being viewed and how we think is a fair implementation of the process within the scope of the rule as defined right now.

And I would agree, there are certain issues that are kind of hard to parse one to the other. I think we've tried to characterize long-term standard Staff practice, Commission practice in the past, and what we're saying is a

.

16

reaffirmation. Certainly if the Commission feels that we've gone further than that, we need to hear that from the Commission.

COMMISSIONER ROGERS: I don't want to delay the whole procedure here, but I do think in the first place, the SECY is an excellent piece of work and I think it really lays out the history and the issues, but when you read it very carefully, you see a lot of inconsistencies.

And so when you say, you know, we're going to reaffirm something, that reaffirmation is going to be dealing with some things that, in my view, have been dealt with in a rather inconsistent fashion and an unclear fashion.

CHAIRMAN JACKSON: Is that the clarification part of it, dealing with the inconsistencies?

MR. MIRAGLIA: I think that's what we felt we were trying to articulate, those various pieces, and I think if it would be helpful for the Commission to get more details as to what falls in what bin, we can endeavor to do that.

CHAIRMAN JACKSON: I think what's going to happen is, obviously, the Commission is going to be reviewing this paper, and depending upon its response to what you're calling a reaffirmation versus a clarification versus establishing some different regulatory position, therein is the guidance.

17

So we have the paper and so it's up to us to act on it.

MR. MIRAGLIA: That's fair.

MR. MARTIN: Chairman, in further amplification in response to your question, we have thought about whether this guidance that we're proposing would be sustained even with rulemaking.

Clearly, a number of the pieces of guidance we have there would be superseded by any rule change and abdicate the need for some of the clarifications that we put forward.

But a number of the guidance, we believe, would be sustained, would continue even after the rule would be modified, if that's the decision.

May I have the implementation issue slide?

[Slide.]

MR. MARTIN: Chairman, this is the meat of the presentation and the slide is short, but the discussion is long.

CHAIRMAN JACKSON: I was going to ask you for all your backup viewgraphs for all these bullets, but since I know you're going to talk very slowly and carefully.

MR. MARTIN: The 10 CFR 50.59 task group developed a compilation of guidance on a wide range of topics related to 10 CFR 50.59 implementation which was presented as an

18

attachment to our Commission paper.

Of the 22 implementation guidance issues identified, the five shown on this slide were the most significant or potentially controversial.

The first issue has potential impact on subsequent 10 CFR 50.59 evaluations because the scope of the current rule is tied to as described in the SAR, or safety analysis report.

The question raised is whether licensees can remove information from the safety analysis report when not specifically linked to a change to the facility or

procedures. Current regulations and regulatory guidance define information that must and should respectively be placed in the safety analysis report.

We recognize that current safety analysis reports contain information that may not be used in future safety evaluations in licensing decisions. Further, the content and level of detail of individual safety analysis reports differs considerably based in large part on the vintage of the original license.

However, there is no established policy or guidance on the question raised by this issue. Until the Staff develops guidance in this area, it is the Staff's view that licensees may not remove material from the safety analysis reports unless the material is changed as a direct

. 19

result of a change to the facility or its procedures.

The next three issues involve the determination of whether or not the proposed change, test, or experiment involves an unreviewed safety question. As a reminder, 10 CFR 50.59(a)(2) states, "A proposed change, test, or experiment shall be deemed to involve an unreviewed safety question, one, if the probability of occurrence or the consequence of an accident or malfunction of equipment important to safety previously evaluated in the safety analysis report may be increased; or, two, if a possibility for an accident or malfunction of a different type than any evaluated previously in the safety analysis report may be created; or, three, if the margin of safety as defined in the basis for any technical specification is reduced."

It should be noted that a determination that the proposal involves an unreviewed safety question does not necessarily mean the proposal is unsafe or unacceptable. It only means that the licensee can't make the change or conduct the test or experiment until the NRC decides it's safe and approves the amendment.

The issue of margin of safety involves two questions: what is meant by "as defined" in the basis for any technical specification, and how do you determine whether the margin of safety has been reduced.

Technical specifications are derived from the . 20 analysis and evaluation included in the safety analysis report. Technical specifications bases statements often do not present margins of safety; therefore, the Staff concludes the safety analysis report should be used as the basis for any technical specification.

It should be noted that industry guidance recommends that documents other than the tech spec bases be reviewed when text spec bases are not explicit. However, we should also note that this guidance has not been uniformly adopted by licensees.

The margin of safety is generally not explicitly defined in the safety analysis report or otherwise in documents; however, the safety analysis report does present limits within which the licensee proposes to operate the facility and which the NRC accepted during review of the licensing application.

Therefore, NRC's acceptance limits for approving the operation of the facility are the values the licensee proposed in the safety analysis report unless different values are explicitly established as the basis for the licensing action in the license, technical specifications, or the NRC safety evaluation report.

CHAIRMAN JACKSON: Let me ask you a question. If

we do broaden this issue of the basis for any tech spec to include the safety evaluation report, do we run into any

. 21

problems with respect to enforceability?

MR. MIRAGLIA: I think in the long term, this is an issue that needs to be clarified and relates to some of the discussion we had a few weeks ago regarding commitments and what regulatory processes are required to change and to keep track of commitments in terms of a future fit and also a back fit. So there is that type of relationship.

I think what we're trying to say within the context here -- I think the intent is a little narrower; perhaps we can expand on that -- in order to define and answer the margin question, what we're saying is that the basis for determining margin should not just be the basis of technical specifications as defined in the regulation, but the basis is for significant licensing documents that would provide an answer to the question, what margins were there and what was approved. And I think it's a bit narrower in that kind of sense.

CHAIRMAN JACKSON: Again, is there concurrence between yourselves and OGC in terms of this broader definition of the basis for any tech spec, or is there some rulemaking space?

MS. CYR: No. I think the OGC supports the Staff.

CHAIRMAN JACKSON: Commissioner McGaffigan.

COMMISSIONER MCGAFFIGAN: I think this is on the same point. In the letter to Mr. Colvin, we talk about the

. 22

SER, the safety evaluation report. And on the end of a long paragraph, it says, "In order to be binding, these commitments must be reflected in supplements or amendments to the FSAR, tech specs, or license conditions."

If the SER has a higher limit than the FSAR and the licensee wants to use that higher limit for something, is that the sentence that tells them that in order to get the SER higher limit, that they had to somehow get it reflected in supplements or amendments to their FSAR?

Or how does that process work where there's a difference between the SER and the FSAR?

MR. MIRAGLIA: I think in terms of enforceability of commitments, if it's not in the FSAR or other appropriate licensing documents, such as condition of license or the like, then the licensing basis would prevail, and I think what -- if you look at the -- where we're talking about margins in this particular case, much of that is inferred when you read. We're not that clear as to what the margin and what the acceptability of margins are.

For example, the clearest case is where one says code and they're going to meet the code. Then it's -- but the code is cited, but even the margin's not inferred. You have to go back and find the trail. And I think we're looking at this as -- in this case as the SER providing guidance as to what is the scope of the margin type of

. 23

question and we weren't looking at it in terms of commitments to follow-up.

And these are ambiguities that need to be cleaned and cleared up. I think that in the previous briefing, we talked about what we were trying to do in terms of commitment, commitment tracking, and to follow those kinds of things.

So there is a nexus and a relationship to the

short-term actions here and short-term actions that we discussed several weeks ago.

CHAIRMAN JACKSON: Commissioner Diaz.

COMMISSIONER DIAZ: The same point. Am I hearing -- maybe I'm not hearing right, but are you saying that the new guidance will say that if the safety evaluation report, the SER, has an acceptance limit that is higher than the licensee has in his SAR, that we will accept the higher limit as a -- you know, as a guide to changes? Is that what we're saying?

MS. MCKENNA: That's correct.

COMMISSIONER DIAZ: So we --

MR. MIRAGLIA: That would be an articulation that we haven't articulated. That's one of the -- that's a new interpretation that we have to put out there and get reaction to.

COMMISSIONER DIAZ: But is that fair? If we have

. 24

a guidance document that the licensee did use, used a lower level, we have a document that says, this higher level is acceptable, I think we should address whether we will accept the higher acceptance limit. I think that's really what we need to make clear.

MR. MARTIN: Commissioner, let me set it up for you, the problem we're trying to address. A licensee may propose an operating limit here. They know we have a standard review plan that would say we would have accepted anything up to here.

COMMISSIONER DIAZ: Right.

MR. MARTIN: But in reviewing the entire application, we may have decided that a lower limit is the right one. If we explicitly state that because it is below this lower limit, it is acceptable, then that was the basis for our licensing action.

Licensees would like to sometimes go all the way up to the standard review plan level and, in essence, violate the basis upon which we license that plant. And so we're saying that if there is no explicit articulation of what the Staff used as its basis for this, then it's what the licensee proposed to operate at, the SAR value.

COMMISSIONER DIAZ: I understand. And my question goes right at that issue, that I guess it's a new present knowledge and a new analysis, is that being considered if

. 25

actually the standard review plan established a higher limit and we license a lower limit? Would it be possible to consider that the higher limit is the one that should be applied?

MR. MIRAGLIA: Only if the SER said it was okay to go to the higher limit.

MR. MARTIN: Let's assume that we conclude that they are above our licensing limit. All they have to do is come into us and propose the change and get a license amendment if it's a safe thing to do.

So this only determines whether they've exceeded the regulatory threshold and have to get our buy-in before they can implement it. As long as it's safe, we could approve it.

COMMISSIONER DIAZ: Yeah, you could. The issue is that that requires a significant amount of work on the part of everybody, the licensee and us, and I was wondering whether there's been additional clarification of this issue or we are going to stick with our previous definition.

In other words, are we addressing the issue now

whether --

MR. MIRAGLIA: I think there's a short-term fix that we're talking about, is just to clearly understand where we're at, and that it's going to take a longer period of time to evaluate these changes and the changes we .
discussed in the past.

26

I think what we're trying to do is just establish the playing field and saying, here's our views and positions. Clearly, if the SER clearly spoke to a limit and it's in there, then that's one case.

I think what you'll find is that, in most cases, one can infer and it's not explicit, it's implicit. And in those cases, what the guidance would be, if you can't point to explicit material in the SER, as Mr. Martin just said, come to us and we'll evaluate the amendment and go on the basis.

It's clear that 50.59 is a regulatory threshold.

CHAIRMAN JACKSON: So let me make sure I understand something. Are you basically arguing the following way, that you have the standard review plan, the standard review plan is not plant specific?

MR. MARTIN: That's correct.

CHAIRMAN JACKSON: And, therefore, when you finally license the plant, you have to do plant-specific evaluations?

MR. MARTIN: That's correct.

CHAIRMAN JACKSON: And that plant-specific evaluation has things either documented in the safety -- the Staff's safety evaluation report, or it might not.

MR. MARTIN: That's correct.

27

CHAIRMAN JACKSON: And you're saying that if it does not, then what's been proposed and what's in the SAR is what governs?

MR. MARTIN: That's correct.

CHAIRMAN JACKSON: But if it has been explicitly stated in the SER, then that is what you say or want to say governs?

MR. MARTIN: Could be stated in the license or tech specs or the SAR.

CHAIRMAN JACKSON: I know, but explicitly stated somewhere. But you also want to include that explicit statement to be what's in the SER?

MR. MARTIN: I don't know that I understand.

CHAIRMAN JACKSON: Well, suppose something is not in the licensing, not in the licenses, not a license condition, but in fact it is something that's referenced in an SER. Are you saying that you -- that the Staff's position is that what's in that SER is what should govern?

MR. MIRAGLIA: If the SER had one limit and the SAR had another limit.

MR. MARTIN: Unfortunately, this is the way 50.59 is written right now. If it is not described in the SAR, then the fact that we discussed it in the SER, it's still outside the potential scope of 50.59 controls.

CHAIRMAN JACKSON: Correct. So what is your fix

28

. to that?

MR. MARTIN: The question that we ask in the policy area is: should we change the scope to encompass additional things beyond what is described in the SAR?

CHAIRMAN JACKSON: If that scope was the current

licensing basis, would that address the issue?

MR. MARTIN: I believe it would; however, we have not done the integration of the issues that came out of Millstone and explored the consequences of that conclusion. So I am not yet ready to make a recommendation.

COMMISSIONER DIAZ: Following on Commissioner Rogers, this seems to be one of the crucial issues as far as implementation and is probably a policy issue that we should decide.

MR. MIRAGLIA: In the short term, I think what we're saying is that this is how we're looking at it, and if you want to take credit for something in the SER that's not in the SAR, you need to come for an amendment in the short term.

In the longer term, we'd have to decide how would we change that type of policy, and it's integrated and it's linked to commitments and other issues that we discussed, so that's why we need to take a step back and say, "How do all these pieces fit together?"

The scope of the FSAR -- I mean, the scope of the rule is the FSAR.

29

CHAIRMAN JACKSON: So that's the scope of the existing rule. And what you're basically trying to say is that to reference anything else requires an explicit action? To do it in the broad-based sense requires a rule change?

MR. MIRAGLIA: And I think the other -- I think that's correct, and I think the other thing we're trying to illuminate is the question of margins and saying that, when one looks at the margins question, you need to look at the entire thing to come in and make the kinds of judgments. If they want to take credit for that, then the margins need to be examined.

CHAIRMAN JACKSON: Commissioner McGaffigan.

COMMISSIONER McGAFFIGAN: I think two people are trying to -- Karen, do you want to go first?

MS. CYR: I just wanted to clarify something. If you're talking about the standard review plan, which is not referenced anywhere else, yes, then that's something new you're introducing. But if there is a number in the Staff's SER, then that's really the bases for the tech spec.

I was trying to clarify something that Tim said that I thought was -- that's what he said originally, and I thought he said something differently, and I just --

CHAIRMAN JACKSON: So the SER is part of the basis for the tech spec?

30

MS. CYR: Right.

COMMISSIONER McGAFFIGAN: I'd like to follow up because I think the key word or adjective or adverb that we're using is explicit versus implicit, explicitly versus implicitly. When one looks at an SER, and I haven't, is it clear when the Staff has explicitly set a different number between the FSAR and the standard review plan number?

Is it always clear or is it ambiguous? Would one have to induce implicitly that we meant to do that? How often are these documents ambiguous?

MR. MIRAGLIA: I would say then, in more cases, it's not as explicit as it should be. I think that's one of the lessons learned in how we're looking at stating commitments and evaluating SERS.

But there are cases where the differences are articulated. After a period of time, deviations from the standard review plan need to be documented. So there's a

range.

In terms of one of the things that we have, the regulatory process has been an evolving one with time. In some of the evolutions, there were conscious decisions made. The variability FSAR is one where we have some plans with three or four volumes of SARS, and some are considerably more.

So I think there's a variability in the types of

. 31

SERS and what plants review the SRPs. The SRPs were not available prior to 1975, and many of the plants even -- that received licenses shortly after '75 were not reviewed against the SRP because it was an evolving kind of review plan at that point in time. So I think you would find that variability in the SERs as well.

MS. MCKENNA: I just wanted to follow up on your comment about -- that's why -- the reason we're saying explicit, because if you can't -- if you have to go deduce it, you really should be falling back to what was in the SAR because, in essence, what you're really trying to find is what was reviewed by the Staff, defining unreviewed, unreviewed safety question.

If you can determine from the SER explicitly what the Staff considered their application against, we're saying that's what you can look to. But if you cannot explicitly figure out what that was, you need to fall back on what was in the SAR because that's what was on the record as to how they proposed to operate their plant, presuming, if we issued the license, that that was the basis on which we accepted it.

So that's where we came to the explicit statement kind of language.

CHAIRMAN JACKSON: Why don't you go on, Mr. Martin.

. 32

MR. MARTIN: Okay. Given the discussion, this is probably redundant, but it is still worth saying. The Staff concludes that a reduction in margin of safety has occurred and an unreviewed safety question is involved when a change, test, or experiment would result in no longer meeting a license-specific acceptance limit.

The issue of probability of occurrence or the consequences of an accident or malfunction of equipment important to safety both involve the question of what was meant by the phrase "may be increased."

Unfortunately, probabilities may not have been quantified during the original licensing action. Further, the methodology to quantify probabilities and uncertainties has improved substantially. Without these tools, the determination of whether the probability of occurrence may be increased would necessarily be qualitative.

The Staff interprets the phrase "consequence of an accident or malfunction" to mean radiological consequence. Further, given the rule language, the Staff position is that any increase or even uncertainty about a possible increase in the probability of occurrence or consequence of an accident or malfunction of equipment important to safety previously evaluated in the safety analysis report would involve an unreviewed safety question.

COMMISSIONER ROGERS: I think that's a fundamental

. 33

policy question, that interpretation. Because when the rule was written, as you just said, we were not talking about

quantitative measures of probability. And now we have quantitative tools.

But to apply those now to a rule which was written with something totally different in mind seems to me is a very fundamental change, not a simple change at all, not an implementation change; a very fundamental change, as has been pointed out in this SECY.

So I think that's an issue of the type I'm talking about that I don't think, one, you just take that step comfortably, you say, well, probability, now we can measure it so we're going to start measuring it. And if it's an increase, however small, an increase is what the word said and we cannot -- we have to interpret it in that light.

I think you just have to go back to 30 years ago, try to figure out what was the intent. And the intent at that time, as far as I can see, was a more qualitative evaluation of probability than we are able to use today through PRA, but once you start doing that, you're in a totally different type of evaluation.

CHAIRMAN JACKSON: Well, it's the Commission's prerogative to decide if the interpretation of the rule as applied in '62 when it was promulgated is still relevant today, subject to the various kinds of considerations and so

. 34

on and whether there's some other way of interpreting increase in probability or increase in consequence. And that's precisely why the Staff was asked to bring the paper to the Commission, and so we're going to have to work our way through that in responding to this paper.

I mean, it's the Commission's prerogative to decide in any of these things what is policy and what is a change in that interpretation or implementation and what is not, and so, in that sense, I think this is a useful discussion.

MR. MIRAGLIA: I think -- and again, this may get to the area that Commissioner Rogers brought up in the beginning; some of these are hard to parse.

I think what we're trying to say here is we're going to interpret the rule very conservatively saying, if there's any chance of an increase, come to us, and that would mean qualitative or quantitative. That's where we were looking at the rule.

It's not an inference that you have to use PRA kinds of techniques. In fact, there is a -- what we tried to do in the Commission paper is point to the Commission, within the context of the PRA implementation plan, has asked the Staff to develop what areas and how to do it and to quantitate it.

So I think we were trying to look at it to say, we . 35

were trying to be -- take the word "any" or "any increase" very literally and have more issues come to the Staff as opposed to not come to the Staff.

COMMISSIONER ROGERS: Yeah, I understand that, and I think if we're just talking about the single issue of whether the licensee has to come to the Staff or the Commission, that's not really what concerns me.

What really concerns me is the fundamental interpretation of any increase in probability, because now that can have application elsewhere in our regulations, not just here.

And so I think that that's the concern that I have, not that now people have to come to us. Well, if they do, so be it. That's not giving me any heartburn by itself,

but what is giving me a lot of trouble is simply choosing to make that a new definition of increase in probability.

CHAIRMAN JACKSON: Commissioner McGaffigan.

COMMISSIONER MCGAFFIGAN: I'd like -- we don't have to see a marker at the table, but can you all tell me anything about the history of this interpretation?

I recall from some previous briefing that the review group ran into this when they were looking at -- in the early '90s looking at items to proceed on and items not to proceed on in the large list that they looked at. This word "any" came up in that context and we ended up only

. 36

making regulatory changes that provided no change in safety, and there was a larger group of potential regulatory changes.

So I know it goes back at least to the early '90s and I wonder whether -- since this rule has been put on the book since '62, how has -- has the Staff interpretation changed on this over that period, to the best of your knowledge?

MR. MIRAGLIA: I think the issue has been looked at in a number of different contexts. I think what we are discussing here is within the 50.59 context, we describe and define a USQ, which is perhaps a narrower kind of thing, but the issue has come up.

In fact, the Commission, in dealing with the PRA implementation plan has just spoken to how to look at increases in terms of the probability and has given the Staff some guidance, and that's a refinement that reflects the evolution of the technology and the processes and the procedures.

I think we're trying to describe it in terms of the regulatory threshold. The issue came up in terms of the review group. It's come up in the marginal safety improvement program. I think one of the fundamental issues as to why we haven't fully endorsed the NSAC 125 document are these very, very issues, as to whether they are too

. 37

rigid of an interpretation and, given today's technology, how should we define it?

And we've taken the position that any change, any increase would --

COMMISSIONER MCGAFFIGAN: For at least a decade or --

MR. MIRAGLIA: I believe that's the case, although I think Commissioner Rogers raises an issue that perhaps I was coming at it from one direction, but Commissioner Rogers raises another one.

I think the intent is clearly within the language of establishing new thresholds for review by the agency before implementation, and I don't believe we were using it as a tool to foster new and improved and advanced PRA methods without -- and in front of the existing Commission guidance as to how we should do those and apply those. It should be in that context is what our intent was.

COMMISSIONER ROGERS: Well, you see, the problem I have here, and you put your finger on it because you said "in the context of," and that's what the problem is, that issues like this have been looked at in the context of a particular application.

Basically, we have not had a consistent point of view, and that I think when we go back to the point that Commissioner McGaffigan was talking about, whether -- when

we were considering tech spec changes and things like that and we didn't want to allow any increase in -- or decrease -- any decrease in safety, that was sort of an intermediate position. That was a clear one we could deal with right away. We postponed what would happen if there was a slight decrease and never dealt with it.

But I think that we're facing here the problem that we have had interpretations in the context of a particular question and they have not been entirely consistent. I think this is the time to get at these and try to establish what we mean by something when we say it. Does it mean the same thing in every different context? It should, in my view.

CHAIRMAN JACKSON: Go on.

MR. MARTIN: The last implementation issue involves the applicability of the 10 CFR 50.59 process to the discovery of degraded or nonconforming conditions.

CHAIRMAN JACKSON: This is my favorite topic. Before you get to that, let me talk about -- let me ask you a question in terms of difficulty in getting to the fourth bullet. Some of what we've said relates to this.

But I note in the Staff's paper, the Staff concludes that for those calculated in the SAR should be considered as the threshold for when an increase in consequences and thus an unreviewed safety question results.

Is the content of the SAR definitive enough currently for all analyzed accidents in those calculations for that to be the threshold?

MS. MCKENNA: I hate to say all in anything. I think, in general, the FSAR would have the accidents evaluated and the consequences that resulted from them. I wouldn't say necessarily that all accidents.

A question came up. Sometimes if an accident, as an example, was a fuel handling accident, that was not considered originally in the FSAR and at a later time the Staff asked questions of the licensee about it, whether they would have put that information in the FSAR.

It may be a bit of an open question, but to the extent that the accidents are in the SAR, I think you will find what the accident was, some information about assumptions and some information about what the consequences of that accident are.

And what we're saying is that whatever that set of information is, that's what you look to to see whether the change that you're making is -- involves an increase in consequences.

MR. MARTIN: Madam Chairman, as a subsidiary issue, the tools for calculation of radiological consequence have also improved, and frequently we're finding that some of the requests for amendment are done with the new

techniques of calculation against a conclusion of a much less sophisticated calculation in the past, and we have had to go back and redo the calculations using the old tools and the new tools to check to make sure that it is in fact safe and stays within the envelope. But here's another case where technology has caught up with us.

CHAIRMAN JACKSON: So is it fair to say you're trying to trigger, let's call it, a review at the appropriate point in a consistent way of whatever the safety question is that allows you to do this kind of analysis, whether it ends up meaning you have been more conservative

in some instances or not? I'm trying to understand where you want to go.

MR. MARTIN: Where I want to go, where we want to go is to end up where, if we have made a license decision based upon a certain issue, certain facts, and what is being proposed is less conservative than those facts, we just want a bite at the apple. We want a chance to review and approve.

And this establishes -- this process establishes a threshold where the licensee recognizes that they need to come to us and propose their change and we get to determine whether it's acceptable or not, so that we consistently review and approve the licensing basis for that plant.

MR. MIRAGLIA: I think what you said is a fair

. 41

summary, Madam Chairman, in the context of, there hasn't been consistency, and it's -- what we're finding in some cases, licensees may be taking those, and then we have to look at the 50.59 to find those.

What we're attempting to do with this articulation of the Staff position in terms of reaffirmations, clarifications, and new positions is to say, here's how we're going to be examining these things to get consistency across the board within the context of what the intent of 50.59 as written and as it applies to the FSAR was, to provide flexibility within the context of 50.59, and that's all we were trying or attempting to do to articulate in these areas.

It's obvious, based on some questions, that perhaps we can be even clearer, but I think that was the intent of the position, was such that everyone understands that's what we're going to be looking at and we'll be asking questions as to 50.59, 50.59 evaluations with this clear laying out of the playing field, so to speak.

MR. MARTIN: The last implementation issue involves essentially two questions: When is a licensee expected to conduct a 10 CFR 50.59 evaluation, and what is required if the evaluation identifies an unreviewed safety question?

Degraded and nonconforming conditions involve the

. 42

discovery of situations adverse to safety or quality or safety -- of safety or safety supports, components or systems to meet requirements of regulations, conform to applicable codes or standard, or satisfy licensing and/or design basis.

The licensee is expected to promptly insure public health and safety. However, once that task is fulfilled, the licensee must determine whether the plant can continue to operate in conformance with its license, make the necessary reports, and implement prompt, corrective action per 10 CFR, Part 50, Appendix B, Criterion 16, to resolve the condition and prevent recurrence. The process we expect the licensee to follow is described in generic letter 9118.

Up to this point, there is no role for the 10 CFR 50.59 process; however, the Staff has identified three situations under which the 50.59 process must be invoked.

First, when the licensee implements compensatory measures different than those described in the final safety analysis report to establish conditions for continued operation until a final resolution can be implemented.

Second, when the licensee intends to implement a final resolution different than as described in the FSAR.

And third, when the final resolution is not implemented at the first reasonable opportunity.

With regard to the second question raised by the

. 43

issue, the Staff position is that a plant currently operating with a condition involving an unreviewed safety question would not normally be required to shut down, provided that the licensee has determined that all necessary equipment is operable, that regulatory requirements are met, and that the licensee expeditiously submits its application for a license amendment. We're saying one to two days.

However, as a matter of regulatory prudence, the Staff would not allow a plant to start up with an unreviewed safety question unless the condition is corrected or the Staff has approved the change.

CHAIRMAN JACKSON: Now, if I understand, in a certain sense, wouldn't your previous point allow for a notice of enforcement discretion or enforcement discretion with an unreviewed condition?

MR. MARTIN: It could. There is a possibility for that, but even that -- if they are different than what is described in the FSAR and you have measures in place that are different, then we expect them to have evaluated those with the 50.59 process to determine if there is an unreviewed safety question involved, and if so, even though we might grant them enforcement discretion for a particular regulation or something of that nature, there's an enforcement action that we have to consider later on and there's also the question of whether we need to issue them

. 44

an amendment.

Next slide, please.

[Slide.]

MR. MARTIN: During the Staff's review of its experience with implementation of the 10 CFR 50.59 process, we identified two areas specific to the process where it was felt that rulemaking could be effective in further resolving some of the identified implementation concerns. Those two areas were the scope of the rule and the criteria that defines an unreviewed safety question.

The policy question associated with the scope of the rule centers on whether, in referring only to the safety analysis report, does the rule sufficiently include all information that should be subject to the regulatory control of the 10 CFR 50.59 process?

Adding to this issue is the concern that the requirements for periodic updating of the safety analysis report are not -- were not always implemented in a manner to insure the effects that all new analysis were included in the updated final safety analysis report.

The policy issue concerning the content and use of the final safety analysis report are discussed in further detail in the Millstone Lessons Learned, Part 2 report.

The policy question associated with the unreviewed safety question threshold is whether the definition should

. 45

be revised to, for instance, reduce ambiguity on when an unreviewed safety question is involved, facilitate the use of probabilistic safety analysis techniques, or eliminate the need for NRC review of negligible changes in probability or consequence as the industry has proposed.

As previously indicated, the Staff will be evaluating a number of policy issues identified during this and other lessons learned efforts in an integrated fashion

to develop a sound set of regulatory proposals for presentation to the Commission.

May I have the next slide, please.

COMMISSIONER ROGERS: Just before you leave policy considerations, you didn't use the word, and it may be implicit in either the first or the second bullet, but I really think that a good deal of clarification is called for in what we mean by "margin."

The SECY offered a definition of margin in one place that I found rather difficult to agree with because it didn't seem to me that in fact it dealt with what -- the way the term is used in other contexts. So I think there's another issue, and that is, what do we really mean by margin?

And that's come up here of how do we define margin? What do we cite for something to give us a clue as to what is meant by margin? Well, if you have some numbers

.

46

that say this is the margin, then that's the margin.

But if you're trying to define margin, that's a different -- when you don't have those, then that's a different matter and I think that's something we've got to come to grips with because I don't think it's clear.

MR. MIRAGLIA: And I think it can reduce the ambiguity. It does include that issue in the broader sense because we discussed consequences, probabilities, and margin in that kind of context.

I think, again, what we were attempting to do would be to say that that's an issue that needs to be examined closely. And in terms of saying where should you look for margin and that description of margin, we were saying that the bases that should be looked at should be broader than just a bases of tech specs as defined in 50.36, but you should look for insights in other places in terms of establishing how could you point to explicit margin kind of statements.

So we were trying to narrowly focus to that kind of thing, but your questions are understood and that wasn't our intent. But perhaps we can make it even clearer than that.

MR. MARTIN: Can we have the last slide, please?

[Slide.]

MR. MARTIN: At this time, we recommend the

.

47

Commission approve issuance of the proposed regulatory guidance related to implementation of the rule to solicit public comment.

CHAIRMAN JACKSON: Let me ask you a question. Why not the entire paper?

MR. MARTIN: We certainly have no objection to releasing the entire paper. We had not completed our integration of the issues in the Millstone Lessons Learned report, Maine Yankee studies.

We need to think through the consequences of the proposals there and we did not want to foreclose any options for the Commission.

MR. MIRAGLIA: Clearly, I think three weeks ago I indicated the 50.59 issues can move in parallel, but there is a nexus to some of the other issues. Clearly, the scope issue, the scope of 50.59 beyond the FSAR is linked to some of the lessons learned from Part 2, and that has the nexus -- the content of the FSAR issue is another one that that raises through.

Clearly, as I indicated last time, we can move in parallel, but we need to keep an eye on those relationships. If subsequent decisions need to modify, then we'd have to codify.

And what we were thinking of doing is taking a step back and saying, what are the short-term activities

. 48

that we're proposing? What's the nexus of each of these activities to the other questions? And is there some way that makes more sense in an integrated way to stagger these things or have them related, or, if we do move in parallel, to know what -- how they impact on each other. If the Commission decides to put the policy questions out at this time, we would not object.

CHAIRMAN JACKSON: Would not public comment help to inform your process?

MR. MIRAGLIA: Given that all of the issues are out, including the Millstone Lessons Learned, perhaps so.

CHAIRMAN JACKSON: They're all out there?

MR. MIRAGLIA: They're all out there, yes.

CHAIRMAN JACKSON: What kind of time frame were you -- it seems like this whole business, you've been studying the issue now for over a year, and so the question is, maybe this is a way to spur you along.

MR. MIRAGLIA: Clearly the time frame in terms of the Staff position on 50.59, we asked for a 60-day comment period. In the memorandums that forwarded this paper and the previous paper to the Commission, we said 90 days subsequent to the Commission moving on the paper, we would come up with an integrated plan that we could indicate what actions we have taken and what are underway, how they relate to one another, and perhaps specific schedules for some of

. 49

the other actions. So that was the time frame we had been thinking and discussing.

CHAIRMAN JACKSON: I'm going to change the order so the newer commissioners don't always get left at the end, so Commissioner McGaffigan.

COMMISSIONER MCGAFFIGAN: I've asked the questions as I've gone along. I guess just on the timing.

If we go to rulemaking at some point to resolve these big issues, how quickly do you see that rulemaking moving forward in completing? Just sort of ballpark.

It's probably not in any six-month plan that you give us at the moment because it's a gleam in someone's eye, but --

MR. MIRAGLIA: I think what the intent, Commissioner McGaffigan, would be, in the 90 days, we would indicate where we are for the initiation in that process and how it could proceed. I think the nominal rulemaking process is -- is a two-year from start to finish. I'm getting some nods of the head.

CHAIRMAN JACKSON: Doesn't have to be.

MR. MIRAGLIA: It doesn't have to be, and we have looked at ways of expediting those kinds of issues.

CHAIRMAN JACKSON: But you would -- as a follow up, when would you come forward with the rule, if there were such?

. 50

MR. MIRAGLIA: Well, in terms of some of these, I think that based upon the public comment, and again, if we can clearly define what the -- what's within the scope in terms of policy, 60 days comment period, and we'd need some time to advance those in terms of moving ahead just on the

50.59 piece without taking on the other issues of scope and commitments and all those kinds of things, we could probably move out faster than that, perhaps, what, next fall we say? Sixty days from today for comments?

COMMISSIONER MCGAFFIGAN: Not to put words in your mouth, but late '99, we should hope for this to be resolved. Is that -- for rulemaking, if necessary, to sort of get to finality on --

MR. MIRAGLIA: Come with a proposed rule and then the proposed rule would have to go out for comment and go through that process.

CHAIRMAN JACKSON: You mean '99 for the rule to be done?

COMMISSIONER MCGAFFIGAN: Right, yeah.

CHAIRMAN JACKSON: Not for the rule to be --

COMMISSIONER MCGAFFIGAN: Late '99 for the process to end. That would be sort of ballpark, given past history. That sounds reasonable.

CHAIRMAN JACKSON: Commissioner Diaz.

COMMISSIONER DIAZ: This is a great opportunity.

. 51

Thank you.

CHAIRMAN JACKSON: No; thank me. I was doing that but I was trying to be nice.

COMMISSIONER DIAZ: I just wrote a series of things in here. Some of them are interesting. I think they all go to the heart of the problem. Quoting Chairman Jackson, she says, "the time is now to change this or to define it."

I think we heard from Commissioner Rogers and everybody else on the inconsistency and some lack of definition, and I put kind of a phrase in here, going back to my work, that really what we're trying to do -- if not, please tell me; we're trying to reduce the uncertainty in the application of these rules, having in mind the safety goals, and to apply some risk criteria to it.

Is that --

MR. MIRAGLIA: I think as a long-term, overall objective, I think the answer to that is yes, but to try to get something done in the short term, given the linkage of all the other policy issues that makes, that may be too big a goal to try to attempt.

COMMISSIONER DIAZ: And that was my next comment, is that, you know, to change this rule -- it really should be changed. It's 30 years old and we know a lot more now than we knew then. We really have to consider a lot of the

. 52

basic questions that we could comment about all of the time.

There is no doubt -- and I spent some time going to school this past weekend, and I went through the entire thing.

For example, tied into 50.59 is the definition of what a basic component is. That's in 50.2, define what a safety component is, and a safety component is a definition that is broad. It takes any, you know, structure, system, and component, and then you define specifically, what do you want those things to abide by. But, really, it doesn't say when.

Then we came and defined in '96 safety related. Safety related, the last three paragraphs are the same as basic component, but the first paragraph of safety related comes and tells you, this only applies to systems that will prevent or mitigate the consequences of events it postulated

in the assigned basis.

I was joking this morning that you take that definition of safety related that says it's only those systems that are involved in a postulated event. We could probably rule out the reactor coolant pumps because they are not in the definition, but they are in the basic component definition.

That brings us back to where all these things start, okay, which is something we started very nicely and

. 53

abandoned through the years, and that was Appendix A and Appendix B. Appendix A and Appendix B are the nexus to 50.59 and to the definitions of safety related.

Appendix A is the only component that I know in what we have written that defines what is important to safety. It's the only one, and they defined it in such broad terms at the time that it was almost unusable, and therefore we decided not to go by it.

But if you look at it, it clearly says those structures, systems, or components, okay, that are important to safety will be included. And which are those? Those are those structures, systems, and components that are necessary to provide assurance of adequate protection. It's very broad. No place else is that really defined.

Then Appendix B picks it up. Appendix B starts talking about safety related and then it goes on and talks about importance to safety, the fact. It's a very, very classic thing. Appendix B is to be applied to structures, systems, and components consistently important to safety.

Even in 1970, we were establishing that our regulation, our Q list, was to be graded to the importance to safety of the components. What was the problem? The problem is that we never redid, although we promised that we would do, Appendix A.

Appendix A should have included all those systems

. 54

and components that even were not part of your safety system, will have an impact. They should have clear definitions, and we promise in the rule we are going to come in and improve Appendix A, we're going to make it better, and we're going to make it what it should be: a guide. We never did.

We do patchwork like we could do now. I think the time is now. The time is now to put all of these things together so they mean the same thing, so they actually address the same issue, and the issues are very clear, okay? We need to have and maintain the level of safety while the licensee is able to operate according to his license, and we need to define that well so we provide him with the necessary vehicle so they can do their work.

And that can be done, but it only can be done if we integrate all these things. We cannot leave safety related. This afternoon, we're going to come safety related in 50.65. Read the definition, okay? It only applies to structures, systems, and components that are going to prevent -- or actually, they practically say are going to mitigate, okay, and dealing with postulated events.

In other words, leave the reactor coolant pump out. I'm sure you didn't mean that. I'm sure you didn't mean that. But if you are legalistic and you go through it, that's where you come out, and it is the time to put all of

. 55

these things together and say, do we really need to change 50.59 or do we need to change Appendix A and Appendix B

together? And I believe that that is what we should do. We should go that way.

In the short term, I think that zero increases, okay, are not what the rule meant. It also really clearly meant not significant increases, okay? But there is a range of safety here from zero to what is risk critical, and that is what the Staff should comment on.

CHAIRMAN JACKSON: Commissioner Dicus.

COMMISSIONER DICUS: No, thank you.

CHAIRMAN JACKSON: Commissioner Rogers.

COMMISSIONER ROGERS: I agree with Commissioner Diaz. Let me just say that I'm not going to add any details here. I think what we've heard is very well worth listening to, but I just wanted to say that I thought the SECY was an excellent job. It provides us with the basis for really looking at some of these questions, and I complement the Staff for producing such an excellent document.

I also raise the question that the Chairman has raised, why not circulate the whole document? It seems to me the policy issues are very critical. It would be very helpful to get public comment on those as soon as possible and I would certainly have no problem with circulating it in its entirety.

. 56

CHAIRMAN JACKSON: So this has all been structured to give me the last word.

On behalf of the Commission, let me thank the Staff for presenting to the Commission the results of your evaluation and recommendations for improvement in the regulatory guidance in this area.

The Staff's paper to the Commission and today's presentation have helped to illuminate the picture for the Commission on the various areas that are in need of further implementation, and I think net/net, the Commission is very interested in correcting the identified deficiencies.

As I stated at last month's Lessons Learned Commission briefing -- we've been having a lot of these -- the industry and the NRC have recognized the importance of 10 CFR 50.59 but yet have struggled with providing adequate guidance, and so we need clear guidance on a firm regulatory basis.

A 50.59 process that is not properly implemented could result in an unacceptable reduction in the level of safety at a plant. But conversely, it could be implemented in a way that would tie licensees' hands so much that they could never make any changes to the plants without coming to the NRC beforehand. And that's not our intent, but we have to be clear on what we mean by maintaining safety, appropriate safety levels.

. 57

So I commend you for the detailed presentation of the issues in the SECY paper. I tie this back to our previous briefing. If the Commission requires implementation of 50.71(e) as we discussed in the previous briefing so that FSARs are updated to correct past omissions of changes to the design bases and effects of other analyses that have been performed since the original licensing but have not been included in the updated FSAR, and include such information in the future, we will have a more complete description of the licensing and design basis information in the FSARs themselves, which is then controlled by 50.59.

The Staff should, in addition, consider additional information, what additional information is within the

licensing basis, such as some commitments to the NRC that would not be included in these FSAR updates, how significant that information is, and provide recommendations for how it should be controlled.

The industry should be provided the opportunity to comment and to verify that the industry and NRC are accurately communicating with each other on implementation guidance for the rules and, as such, the Commission will soon decide on the publication of that paper, most likely the full paper, for public comment.

And since it's proposed that the -- part of the paper you were proposing for a 60-day comment period, we

. 58

would do the whole thing, but I believe it would benefit the Commission then to hear back from the Staff, again, in approximately 90 days.

And I would ask you to cull through the existing paper and to lift out all of the questions that would have to be addressed to promulgate appropriate changes to 50.59, but I'm going to make a comment to link to Commissioner Diaz's comments in a second, because I think the Commission wants to be clear to know exactly what the questions are.

If there have to be policy decisions, we should just give them in an expeditious manner and then you can use that as the basis for any rulemaking, coupled with the comments that you would garner in the comment period.

Referencing something that Commissioner Diaz said, there is a need more broadly for clarification. I can remember a year to a year-and-a-half ago talking about what the difference was between safety related, important to safety, safety significant, and risk significant. We have never cleaned that up, and people apparently have stepped up to the abyss, which is my favorite word, and stepped back.

And I think it's not going to all be done immediately as part of improvements to 50.59 itself because it is such an important rule, we need to get on with it. But I do think that you need to come back with an integrated plan in terms of how we can effect greater clarification

. 59

throughout our major rules with regard to these inconsistencies in definition.

I think we have an opportunity to do that now. I think this Commission is interested in it, and I think we would like you to do it in a timely manner.

So if there are no further comments, we're adjourned.

[Whereupon, at 11:57 a.m., the briefing was adjourned.]