

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3 ***

4 BRIEFING BY
5 NUCLEAR WASTE TECHNICAL REVIEW BOARD (NWTRB)

6 ***

7 PUBLIC MEETING

8
9 Nuclear Regulatory Commission
10 One White Flint North
11 Rockville, Maryland

12
13 Monday, March 30, 1998

14
15 The Commission met in open session, pursuant to
16 notice, at 2:00 p.m., Shirley A. Jackson, Chairman,
17 presiding.

18
19 COMMISSIONERS PRESENT:

- 20 SHIRLEY A. JACKSON, Chairman of the Commission
- 21 GRETA J. DICUS, Commissioner
- 22 NILS J. DIAZ, Commissioner
- 23 EDWARD McGAFFIGAN, JR., Commissioner

1 STAFF PRESENT AND PRESENTERS SEATED AT THE COMMISSION TABLE:

- 2 JOHN C. HOYLE, Secretary of the Commission
- 3 KAREN D. CYR, General Counsel
- 4 JARED L. COHON, Chairman, NWTRB
- 5 DEBRA S. KNOPMAN, Member, NWTRB
- 6 RICHARD R. PARIZEK, Member, NWTRB

1 P R O C E E D I N G S

2 [2:00 p.m.]

3 CHAIRMAN JACKSON: Good afternoon, ladies and
4 gentlemen. This afternoon, the Commission is pleased to
5 welcome Drs. Jared Cohon, Debra Knopman, and Richard
6 Parizek, from the U.S. Nuclear Waste Technical Review Board.

7 The Board members will brief the Commission on the
8 status of their evaluation of the technical and scientific
9 aspects of DOE's work at the Yucca Mountain repository.

10 The Commission is very pleased to have the three

11 of you here.

12 It has been nearly two years, namely July 30th of
13 1996, since the Technical Review Board last briefed the
14 Commission about the Board's activities and its perspective
15 on the Department of Energy's program to manage high level
16 radioactive waste.

17 Much has changed in that period. I recognize that
18 the makeup of the Board itself has changed considerably in
19 the last couple of years, but the makeup of the Commission
20 itself is different, and that this will be the first
21 briefing that Commissioners McGaffigan and Diaz will have
22 had with the Nuclear Waste Technical Review Board, and all
23 of us have been looking forward to it.

24 So since the last briefing, DOE has completed the
25 25-foot diameter tunnel into Yucca Mountain and DOE

4

1 continues to prepare a viability assessment for determining
2 the technical suitability of the Yucca Mountain site.

3 Here at the NRC, the staff is developing
4 site-specific regulations for Yucca Mountain and continues
5 to conduct pre-application review activities of the DOE
6 program.

7 As we are all aware, Congress currently is
8 considering legislation that could significantly alter the
9 existing high level radioactive waste program. It is clear
10 that that program has been and continues to be in a state of
11 flux.

12 The Commission believes, therefore, that this
13 briefing is very timely is particularly interested in
14 receiving the views of the Nuclear Waste Technical Review
15 Board on the state of DOE's civilian radioactive waste
16 management program.

17 So unless my colleagues have any comments, Dr.
18 Cohon, please proceed.

19 MR. COHON: Thank you, Chairman Jackson,
20 Commissioners. It is a pleasure for us to be here today.

21 As you heard, my name is Jared Cohon. I'm the
22 Chairman of the Nuclear Waste Technical Review Board. All
23 of our members serve part-time and most of us have other
24 full-time jobs, our day jobs, as it were. In my case, I'm
25 President of Carnegie-Mellon University and my area of

5

1 technical expertise is environmental water resource systems
2 analysis.

3 Accompanying me are two other Board members who
4 will make part of our presentation today. Dr. Debra Knopman
5 is Director of the Center for Innovation in the Environment
6 of the Progressive Policy Institute here in Washington. Her
7 expertise is in hydrology, environmental and natural
8 resources policy, systems analysis, and public
9 administration.

10 Dr. Richard Parizek is a Professor of Geology and
11 Geo-Environmental Engineering at the Pennsylvania State
12 University. His expertise is in hydrology and environmental
13 geology.

14 We will pretty much stay to the remarks that we
15 submitted to you in advance, but we may stray from them from
16 time to time, if you will permit us to do so. We do so in
17 the name of time, in order to save plenty of time for
18 discussion.

19 As you noted, Chairman Jackson, it's been some
20 time since we briefed the Commission and had the opportunity
21 to meet with you. In light of that, I'd like to take a
22 moment just to acquaint the Commissioners with who the Board

23 is.

24 We were created by Congress in the 1987 amendments
25 to the Nuclear Waste Policy Act. We were charged with

6

1 evaluating the technical and scientific aspects of DOE's
2 high level nuclear waste management program. This includes
3 site characterization activities at Yucca Mountain and
4 activities relating to the packaging and transport of high
5 level radioactive waste and spent nuclear fuel.

6 The Board is an independent agency within the
7 Federal Government. We are not part of the DOE or any other
8 agency.

9 The Board is authorized to have 11 members, who
10 are nominated by the National Academy of Sciences and
11 appointed by the President. I have served as a member since
12 1995 and became the Board's third chairman last year.

13 Drs. Knopman and Parizek were two of eight new
14 members appointed to the Board last year. With this many
15 new members joining the Board, as Chairman Jackson noted,
16 we've had a very busy year playing catch-up and, I will tell
17 you, it's been a lot of fun. This is a very active, dynamic
18 group, a very sharp group of members that we have.

19 Today in our prepared remarks, as indicated in the
20 slide, which I hope will appear -- this is a test.

21 [Slide.]

22 MR. COHON: As you can see, we want to emphasize
23 certain things, things that we view as key developments
24 during 1997, which will be the year that we focus on.

25 We will also briefly discuss our views of the

7

1 upcoming viability assessment, which we expect to be the
2 focus of much of the Board's activities throughout 1998.

3 Our presentation draws heavily on the Board's 1997
4 summary report, which we hoped would have been delivered to
5 you before now. Unfortunately, final editing and printing
6 of the report have taken more time than we expected, but you
7 should be receiving the report within the next few days.

8 As I mentioned, we look forward to some collegial
9 discussion with the Commission at the conclusion of our
10 remarks.

11 Let me turn now to the viability assessment, which
12 the Chairman noted in her introduction. As you know, the
13 DOE is required to provide to the President and Congress a
14 viability assessment, or VA, as we will refer to it, of the
15 Yucca Mountain site, no later than September 30 of this
16 year.

17 The VAs include the four elements shown on the
18 slide, the repository and waste package design. I want to
19 emphasize that's both for the repository and the waste
20 package. Total system performance assessment; a plan and a
21 cost estimate for the remaining work required to complete a
22 license application; and, an estimate of the cost of
23 constructing and operating the repository in accordance with
24 the design concept.

25 Much of the Board's activity during 1997 involved

8

1 preparation to review the VA, which, in light of the Board's
2 mission, will focus on design and performance assessment,
3 the technical issues.

4 In 1998, we will continue our preparation and we
5 look forward to reviewing the VA later this year.

6 Let me summarize for you the Board's current views
7 on the four components of the VA.

8 First of all, design. The Board believes that the
9 design activity of the Yucca Mountain project saw several
10 major accomplishments during 1997. They include refinement
11 of the designs for repository surface and underground
12 facilities and for the waste package, further integration of
13 spent fuel owned by the DOE into disposal plans, continuing
14 studies of criticality control issues, and improved
15 integration of engineering and performance assessment.

16 There are, however, continuing needs to adopt a
17 more robust engineered barrier system and to thoroughly
18 explore different integrated repository and waste package
19 designs that may offer the promise of better performance,
20 lower costs, reduced uncertainty, or simpler operations.

21 Let me emphasize here, we are not criticizing the
22 design that DOE has developed. We're simply emphasizing the
23 importance of looking at alternatives.

24 With regard to repository surface facilities,
25 these facilities would be located on an 80-acre site at the

9

1 repository's north portal and would consist of more than 15
2 structures and a small rail yard. These facilities would
3 receive waste and package that waste for disposal.

4 Except for the final closure welds and inspections
5 of the waste packages, the Board considers all of the
6 technology of the repository surface facilities to be
7 commercially demonstrated and available.

8 However, the Board does have some remaining
9 concerns about the design basis, including questions about
10 the assumed peak in placement rate, which may be
11 unrealistically high; the possibility of transferring some
12 waste packaging operations to nuclear power plant sites,
13 with potential cost savings; and, the potential benefits of
14 using multi-purpose canisters as part of the overall waste
15 management system.

16 These concerns are discussed in more detail in the
17 Board's 1997 summary report, which the Commission will be
18 receiving shortly.

19 Let me turn now to the repository underground
20 facilities. You will see on the monitors a schematic
21 drawing of the proposed repository. Let me take you through
22 this very quickly, just to acquaint, especially the new
23 Commissioners, with the envisioned layout.

24 First, you see the repository footprint itself.
25 That's it. Excellent. Also shown is the main access, which

10

1 is the same thing as the exploratory studies facility that
2 the arrow is following right now. This is the tunnel that
3 the Chairman referred to before, the 25-foot diameter tunnel
4 that was dug, that was completed just about one year ago.

5 This facility, the exploratory studies facility,
6 has been the crucial experimental facility for providing
7 data about the mountain at the level of the repository and,
8 in addition, as I said, it will serve as the main access,
9 one of the main access points to the repository.

10 Also shown in this diagram is the proposed ECRB
11 or, as the Board has referred to it in the past, the
12 east-west drift. That proposed tunnel is intended to
13 actually go through rock similar to the repository block
14 itself to gain firsthand access to the environment in which
15 the waste would be placed if this repository opens.

16 DOE is now finalizing plans and starting, I
17 believe, the construction of that tunnel.

18 Finally, let me just point out the surface
19 facilities referred to earlier, shown at the north portal,

20 the beginning of the ESF.

21 By the way, this whole area is approximately 300
22 meters below the surface of the mountain.

23 Let me point out, also, that the current concept
24 is that the emplacement drifts -- that's an emplacement
25 drift. The idea is that as these are dug, they would be

11

1 filled with waste and as filled, they would be closed off
2 with doors, limiting human access to them.

3 Let me turn now to the waste package. The
4 referenced waste package design is a double-shelled
5 cylinder, nearly two meters in outside diameter and five
6 meters long, with a two-centimeter-thick inner shell of
7 corrosion-resistant alloy C-22 and a ten-centimeter-thick
8 outer shell of carbon steel, a corrosion allowance material.

9 The waste package will be emplaced on its side on
10 pedestals in the emplacement drifts. Data obtained from the
11 exploratory studies facilities, which you just saw on the
12 slide before, within the last two years, clearly show that
13 the repository will be wetter than thought as recently as
14 just three years ago.

15 This discovery has triggered examination of
16 enhancements to the existing design. Examples of such
17 enhancements are drip shields that keep water off the
18 packages and backfill. The Board is particularly interested
19 in seeing studies of additional design options that might
20 include smaller shielded waste packages, a waste package
21 design using two corrosion-resistant materials rather than a
22 corrosion-resistant and corrosion-allowance material, and
23 ventilation of the repository tunnels.

24 The DOE is actively identifying and evaluating
25 enhancements to the reference design. These are features

12

1 that are added to or changed in the design without altering
2 the fundamental nature of the design itself. We recommend
3 that the descriptions and approximate cost of enhancements
4 be included in the VA and that their effects on long-term
5 repository performance be included in the TSPA VA
6 sensitivity studies.

7 I am pleased now to turn the presentation over to
8 my colleague, Dr. Knopman.

9 MS. KNOPMAN: Let me pick up the second element of
10 the viability assessment, which is the total system
11 performance assessment, or TSPA. TSPA is the principal, but
12 not the only method of evaluating the ability of the
13 proposed repository to contain and isolate waste. It is, of
14 course, important that we also look at solid conceptual
15 models, good data, field work, and use the TSPA,
16 particularly the sensitivity analyses, as a way to gain
17 insight into the uncertainties of this program.

18 TSPA is essentially a predictive computational
19 model of repository performance over time. DOE is charged
20 with carrying out a performance assessment that emphasizes
21 the probable behavior of the proposed repository.

22 This past year, DOE has devoted significance and
23 laudable effort to achieving the goal of a credible TSPA.
24 The emphasis on probable behaviors resulted in a division of
25 TSPA into two parts, a base case calculation and a series of

13

1 sensitivity tests.

2 The base case concentrates on probable or expected
3 performance and the sensitivity studies concentrate on what
4 if scenarios for alternative parameters and design features

5 and various disruptive events, such as volcanic activity and
6 earthquakes.

7 Extensive workshops have increased the interaction
8 within the program and have given the DOE substantial expert
9 input from outside the program. These expert elicitation
10 have brought together field and laboratory scientists,
11 modelers, performance assessment experts from within the
12 program on many important topics.

13 Some of these workshops primarily from outside the
14 Yucca Mountain project have helped to better define the
15 conceptual and parameter uncertainty of the elements that go
16 into TSPA.

17 DOE also took an important step in 1997 by forming
18 an external TSPA peer review panel to delve into important
19 aspects of the TSPA VA. The Board is very encouraged by the
20 strong and independent comments being provided by the TSPA
21 peer review panel.

22 Let me turn to the third element of VA, which is
23 the plan and cost estimates for license application.

24 The Board is going to focus its review on this
25 particular element, on the plans for an estimated cost of

14

1 technical activities supporting a license application. In
2 particular, the Board believes the data from the new ECRB
3 program, I still want to call it the east-west crossing, and
4 other studies, among other planned studies, are vital for
5 the Secretary of Energy's decision on the suitability of
6 Yucca Mountain.

7 This decision precedes submittal of a license
8 application to the NRC. There are many other ongoing
9 technical activities; for example, long-term corrosion test
10 program, there is what is called drift scale thermal tests,
11 and some other additional hydrological tests and wells, and
12 in the exploratory studies facility, that also must continue
13 to support licensing.

14 The Board is going to want to insure that those
15 activities are included in the license application plan and
16 cost estimates.

17 The fourth and final element of the VA is the
18 repository cost estimate. Because the Board's purview is
19 technical, we will confine our review largely to those
20 aspects of the cost estimate that involve technology
21 development.

22 For example, the Board would be interested in
23 techniques, allowances, contingencies used in the cost
24 estimate to reflect the costs of technology development and
25 to reflect current technical or engineering uncertainties.

15

1 Another cost issue that the Board will explore is
2 how potential enhancements to the repository design that are
3 not part of the reference design case are handled. The
4 Board was very pleased to learn that an independent review
5 of the cost estimate for the mined geologic disposal system
6 will be performed for the VA by a major U.S. engineering
7 construction firm.

8 It is important that the DOE clearly define for
9 the cost estimate reviewer the construction process and the
10 contracting basis that will be used to construct the
11 repository.

12 Let me turn now to a very brief discussion about
13 regulations, standards, and the environmental impact
14 statement.

15 During 1997, the Board reviewed and commented on
16 two aspects of the regulatory requirements for a geologic

17 repository; siting guidelines and DOE's interim performance
18 measure.

19 With regard to the siting guidelines, in April of
20 last year, the Board submitted comments on DOE's draft
21 revisions of its siting guidelines. That's 10 CFR 960. In
22 the draft revisions, the determination of whether the Yucca
23 Mountain site is suitable for development a repository would
24 depend no longer on several individual criteria. Instead,
25 DOE's draft suggested that a suitability determination would

16

1 be based solely on whether the repository system's both
2 natural and engineered barriers can meet a post-closure
3 risk-based standard that will be specified by EPA.

4 In the draft revisions, DOE proposed using the
5 TSPA methodology to support this determination. In effect,
6 the former multiple criteria standard would be integrated
7 and subsumed into a single performance standard.

8 In the Board's April letter, it indicated that the
9 proposed revisions were, in fact, a step in the right
10 direction, in our view, but the letter also expressed some
11 concern that the revised guidelines might be perceived as
12 changing the rules in the middle of the game and
13 strengthening the fears of some that performance assessment
14 may be manipulated to support any conclusion that's desired.

15 To deal with that concern, the Board offered
16 several suggestions for strengthening the proposed
17 revisions. One, preserve the principle of defense-in-depth;
18 two, require that a repository system complies robustly with
19 the standard; three, specify the level of confidence that
20 must be reached before making a site suitability
21 determination; four, make performance assessments
22 transparent; and, five, use a public process to decide
23 whether the Yucca Mountain site is suitable.

24 With regard to DOE's interim performance measure,
25 the second regulatory issue that the Board commended on, in

17

1 the absence of environmental standards from EPA, the DOE has
2 developed its own interim performance measure, and this is
3 for DOE's own use in guiding its technical program and
4 communicating with others about the potential performance of
5 the repository at Yucca Mountain.

6 The interim performance measure will be discarded
7 if and when EPA sets standards for Yucca Mountain. The DOE
8 did follow the recommendations and at least take into
9 account the recommendations of the National Research
10 Council's '95 report, referred to as the technical basis for
11 Yucca Mountain standards.

12 The DOE's interim performance measure emphasizes
13 protection of individuals living within the vicinity of
14 Yucca Mountain; specifically, the annual dose to an average
15 individual in a critical group living 20 kilometers from the
16 repository, not to exceed 25 millirems per year for 10,000
17 years.

18 Both the form of this performance measure and its
19 level of safety are similar to many other existing radiation
20 protection standards. With one exception, from the Board's
21 point of view, this interim performance measure seems
22 appropriate for DOE's use. The exception is the inclusion
23 of children from the definition of the critical group.

24 The Board recommended that the DOE should estimate
25 the disclosed likely variation in doses for alternative

18

1 candidate critical groups, characterized by different

2 locations, ages and lifestyles. In particular, the Board
3 suggested the potential doses to children should be compared
4 with doses to adults within each candidate critical group.

5 I'll now turn to the environmental impact
6 statement. Assuming that the site is determined to be
7 suitable, the DOE plans for the Secretary of Energy to
8 recommend to the President in the year 2001 that the
9 President approve Yucca Mountain as a site for a repository,
10 and that recommendation must be accompanied by an EIS.

11 Many of you know that much of the work on the EIS
12 was deferred in 1996, a response to reduced appropriations.
13 In 1997, DOE resumed work on the EIS in earnest.

14 The DOE's EIS contractor mobilized staff,
15 familiarized them with the project, as necessary, and began
16 to assemble and analyze the data.

17 In 1998, the Board will be devoting some of its
18 time to understanding the organization and content of the
19 EIS. In particular, the Board believes the selection and
20 characterization of the no-action alternative is critical to
21 the technical success of the EIS process. Indeed, the
22 delineation of each of the alternative actions is critical
23 to the EIS.

24 The Board strongly endorses development of
25 alternative repository and waste package designs and

19

1 believes that the EIS process is an appropriate venue for
2 exploring these alternatives.

3 Let me next turn to transportation. During 1997,
4 the Board reviewed the transportation of spent nuclear fuel.
5 The Board's review concentrated on Federal regulations
6 governing the transportation of spent fuel, analyses of the
7 risks of transportation, and transportation practices and
8 experiences.

9 The Board reached three conclusions, which I will
10 just quickly highlight for you now. The Board continues to
11 believe that the risks associated with transporting spent
12 fuel are low based on current experience. However, if there
13 is a large increase in the scale and operational complexity,
14 as might occur when spent fuel is shipped to a repository or
15 an interim storage facility, a heightened safety program
16 will be needed to maintain a good safety record.

17 The existing capability to transport spent fuel in
18 the U.S. is small and much preparatory work needs to be done
19 before fuel can be transported in large quantities. More
20 transportation casks with larger capacities are needed.

21 The transportation infrastructure at some sites
22 will need to be upgraded to allow moving heavy loads and
23 substantial institutional planning is needed.

24 Finally, the third conclusion of the Board with
25 regard to transportation is that certain measures, such as

20

1 the use of dedicated trains and full-scale testing of casks,
2 may enhance the perceived level of safety. Because the
3 risks of transporting spent fuel are low based on current
4 experience, it is unclear whether such measures would be
5 justified solely for risk reduction, but they may increase
6 confidence in the safety performance of the transportation
7 system.

8 MR. COHON: Dr. Parizek will now continue.

9 MR. PARIZEK: Chairman Jackson, it's an honor to
10 address the Commission. I am on the Board for one year and
11 I think perhaps the new Commissioners struggle with catching
12 up to speed on very complicated technical issues, so we
13 share some common anxiety in this regard.

14 But I've been watching the progress of the Yucca
15 Mountain project for a number of years and, off the record,
16 there has been a considerable effort made in the last
17 several years and the whole program has ramped up, resulting
18 in some very exciting technical findings.

19 The completion of the exploratory studies facility
20 being one point. I think many of you may have seen a film
21 of the breaking out of the tunnel, boring machine, last
22 April, that would be on the 25th of April. That's about a
23 five-mile long tunnel and about 26 feet in diameter, and it
24 took achievement to complete that goal.

25 As anticipated by the Board, the excavation of

21

1 this tunnel provided a wealth of anticipated and
2 unanticipated data on the geological and hydrological
3 character of Yucca Mountain. It was a very valuable
4 learning opportunity for the Yucca Mountain project in
5 performing contractor oversight, managing construction, and
6 understanding the value of seeking independent counsel from
7 construction industry experts.

8 Some of the lessons learned are listed below, one
9 being the type of construction contract is important.
10 Underground construction worldwide uses competitive
11 processes, normally including fixed-price contracts.
12 Cost-plus contracts, such as used by DOE for the ESF, have
13 no known precedent in underground construction and probably
14 little, if any, incentive for efficient or cost-effective
15 construction.

16 Secondly, the contractor knows how to manage risks
17 associated with equipment design and performance. So
18 design, procurement, and disposal of construction equipment,
19 including tunnel boring machines, are normally left to the
20 construction contractor.

21 Specifications for such as the hydraulic spill
22 mitigation, dust control and safety requirements can be
23 defined and enforced without telling the contractor how to
24 accomplish those objectives.

25 Industry expertise is important and accessible.

22

1 In 1995, they experienced several difficulties in excavating
2 the ESF. DOE, in conjunction with the contractor,
3 established a consulting board. This was largely through
4 roof falls and broken rock conditions which made the startup
5 of the tunnel difficult.

6 This Board was very effective in achieving
7 improvements and the DOE is commended for involving outside
8 expert consultants.

9 Large diameter tunnels are more expensive and
10 time-consuming to construct than smaller diameter tunnels.
11 The design for Yucca Mountain repository includes large, a
12 7.6 meter diameter tunneling, for service tunnels and
13 exhaust drift. Smaller tunnels would be affected much less
14 by the highly fractured nature of the rock. You would have
15 less risk for rock falls and require less support, and it
16 would be much more constructable than the large proposed
17 tunnel.

18 So there have been some strong views by the Board
19 on these issues.

20 The east-west tunnel is something the Board had
21 recommended the importance of doing some years back. The
22 Board previously recommended this excavation at an elevation
23 at the repository level parallel to an emplacement drift,
24 and DOE decided to place the exploratory tunnel facility

25 above it and on a diagonal to it, in order to maximize

23

1 information with different rock units to be penetrated by
2 the tunnel and also to provide an opportunity for doing
3 experiments above the experimental tunnel facility that's
4 already there.

5 The principal focus of this tunnel would be to
6 obtain data to reduce the uncertainty of the
7 hydro-geological environment within the repository. The
8 DOE has accepted this recommendation in general, but has
9 expanded the scope, which is known as the enhanced
10 characterization of repository block program, which consists
11 of the tunnel and two bore holes to be drilled from the
12 surface and all excavations, including three alcoves off the
13 tunnel, will be completed by about January 1, 1999.

14 The next slide would be helpful in showing where
15 the present ESF is located. You see in the diagram it's
16 east-west orientation and you see the north ramp, comes to
17 the point of the little round circle, having gone through
18 the Ghost Dance Fault, and then that turns southerly and
19 continues south parallel to the Ghost Dance Fault, before
20 breaking back out to the mountain on the southern ramp,
21 which you saw, I guess, the film, Breakout, pictures.

22 Above it, you'll notice the east-west tunnel rises
23 up above and continues in a southwesterly direction,
24 penetrating the Solitario Canyon Fault on the west of the
25 block. Again, there's the importance of knowing what the

24

1 rock conditions and the hydrologic conditions are like in
2 that repository environment, because the original idea of
3 maybe you would use the block to the east of the Ghost Dance
4 Fault is not currently in the planning, as we understand it.

5 Notice that the emplacement drifts, the black line
6 is located well below the east-west tunnel. The purpose
7 here would be to give DOE a chance to do experiments,
8 percolation type testing, to perhaps force water flow
9 between the east-west crossing in the tunnel to understand
10 better how water moves in the mountain.

11 So what we have then is this block, which, without
12 this tunnel, you wouldn't have any idea about the faults.
13 You don't see them at the surface, but if they're there, you
14 need to know about this and this is one way to learn about
15 it.

16 The Board supports a decision by DOE to excavate
17 the east-west tunnel expeditiously, although the
18 hydrological testing may not start until 1999, observations
19 and mapping and limited data on chlorine-36, which would
20 indicate possible flow paths for water moving through the
21 mountain, and available -- would be available ahead of the
22 VA.

23 This is important because the chlorine-36 is the
24 main indication of fast water flow through portions of the
25 mountain that you're familiar with.

25

1 The thermal testing program is also in an
2 important stage right now. One of the primary functions of
3 the ESF is to provide access to the strait in which the
4 repository is to be located and to conduct thermal testing,
5 especially the effects of repository heat on movement of
6 water within highly fractured and unsaturated rock.

7 The data from the thermal testing will be useful
8 for validating the various hypotheses and assumptions used
9 in developing performance models in the current repository
10 design.

11 Two tests are being conducted in ESF, a
12 single-heater test and a drift scale test. The
13 single-heater test has been in a cool-down phase since May
14 1997 and all testing was to be completed by the end of
15 January 1998. Post-test analyses within this portion of the
16 ESF are planned and the information should be available for
17 incorporation in the viability assessment.

18 And the single-heater test is placed in the block
19 of rock surrounded by essentially tunnels on several sides,
20 and, again, it's a limited period and a limited heat source.

21 The drift scale test, on the other hand, is
22 located in a about a 156-foot long test area and it's
23 equipped with heaters that simulate the thermal conditions
24 of a waste package in a repository. On December 3, 1997,
25 the heaters were turned on and data collection was begun

26

1 from sensors in the surrounding rock mass. There are
2 thousands of measurement opportunities that are being taken
3 and will continue to be taken through the duration of the
4 experiment.

5 The heating phase is planned to last approximately
6 four years, with normally four years for cooling afterward.
7 The DOE is to be really complimented and commended on
8 implementing this extensive and important thermal testing
9 facility. It was ahead of schedule and required a
10 considerable effort.

11 The large block test is an additional thermal test
12 being conducted on the surface near Yucca Mountain,
13 unexcavated outcrop of welded tuft. It was designed to
14 promote formation of reflux or heat pipe zones, as heat is
15 applied to the bottom of a large block of fractured rock.
16 The heat pipe is more or less the concept by which water
17 flow returns back through a boiling zone as a water
18 condensing somewhere up above in an emplacement drift.

19 Water mobilizes as vapor and then is expected to
20 be driven out of the pores of the rock and to flow upward,
21 where it will condense in cooler regions of the rock. The
22 condensate then will return as reflux to the above-boiling
23 zone.

24 On February 28, 1997, the heaters were turned on
25 and the test was nearing completion at the end of 1997.

27

1 Our major concern would be what happens when
2 radionuclides might actually reach the water table. In late
3 1997, the Board visited Yucca Mountain and nearby Amargosa
4 Valley for field observations about the flow of ground water
5 between Yucca Mountain and the Amargosa Valley region, how
6 ground water conditions varied in the past as the climate
7 varied and how radionuclides -- radioactive material was
8 released to ground water might in the future enter the human
9 biosphere through seeps or springs or withdrawal through
10 wells.

11 Estimates of the concentrations of radioactive
12 materials entering the environmental south of Yucca Mountain
13 repository will be highly uncertain.

14 The saturated zone is highly fractured and faulted
15 and caused ground water flow to be channelized or there's a
16 chance of having sort of like a fast-path type of flow
17 rather than kind of a diffuse mechanism of flow. So we
18 would have this chance of having these more transmissive
19 zones.

20 Within these zones, ground water movement will be
21 faster than the average ground water flow rate through the

22 saturated zone and retardation of radionuclides may be less
23 than average, mixing of ground water-containing
24 radionuclides and the radionuclide-free ground waters within
25 the saturated zone will dilute radionuclide concentrations,

28

1 but demonstrating the degree to which mixing would occur in
2 a channelized flow system may prove very difficult.

3 An important and perhaps greater source of
4 dilution may be mixing at a well head or a spring, where
5 ground water leaves an aquifer and enters the biosphere.
6 This depends on the specifics of the well withdrawal.
7 Dilution by flow and transport in the saturated zone is
8 difficult to quantify because of its significance in
9 determining the relevant importance of different factors
10 affecting dilution and an early definition of well
11 withdrawal scenarios could provide an important focus for
12 studies at Yucca Mountain.

13 The fate of radionuclides after the end of the
14 biosphere and as they enter food chains and potentially
15 cause radiation doses to humans must be projected. The use
16 of generic data and models of the transfer of radionuclides
17 through the food chains may cause large uncertainties in
18 estimating radiation doses, perhaps as much as three or four
19 orders of magnitude.

20 Part of this is the specific nature of conditions
21 at the site. With that climate, it may make the pickup of
22 radionuclides different than what might appear in the
23 standard data tables that support this.

24 Thank you.

25 MR. COHON: Thank you, Dr. Parizek. I have one

29

1 last issue that I would like to cover in our prepared
2 statement, and that is the use of experts from outside of
3 the DOE, an important topic, we think, and one that we know
4 that the NRC has focused on in the past.

5 The DOE is to be commended, as you heard already,
6 especially from Dr. Knopman, in their stepped-up and
7 effective use of experts from outside of DOE.

8 They have two very important standing panels that
9 they have used extensively; the TSPA peer review panel,
10 which has been very active recently, and the mine geologic
11 disposal system consulting board, which has been very
12 effective, first, in the completion of the ESF and, more
13 recently, in planning for the ECRB.

14 In addition, the DOE has become more active and
15 very extensively so in the last two or three years in the
16 use of experts who are not part of one of these existing
17 panels, but from whom opinions are sought in a formal
18 process.

19 This seems to have worked very well. We, the
20 Board, consider this to be an important activity for DOE,
21 especially in areas where there is great uncertainty, which
22 is to say much of what they're working on in Yucca Mountain,
23 and before all of the relevant data can be in hand, which is
24 also much of what they're working on at Yucca Mountain.

25 Some notable examples of successful application of

30

1 successful use of outside experts are in estimating seismic
2 and volcanic hazards, unsaturated zone and saturated zone
3 flow, and waste package degradation.

4 The Board has pointed out and I want to emphasize
5 today that there are continuing issues that the DOE must
6 deal with in the use of these outside experts. In
7 particular, we remain concerned about those situations where

8 there are very few experts and those experts sharply
9 disagree. This is a difficult problem, certainly not unique
10 to DOE's use of experts or, of course, to Yucca Mountain,
11 but nevertheless a problem that must be dealt with if their
12 information is to be used effectively.

13 Let me conclude by saying that, as I said at the
14 beginning, this has been a very busy and eventful year, both
15 for the Board and for the program at DOE, and, if anything,
16 the future seems even more eventful, as we look forward.

17 As we know, the VA will be issued later this year,
18 a time when the Board will be expected to comment, and that
19 will be a key milestone as DOE moves to siteability
20 determination approximately in the year 2001 and all that
21 comes after that.

22 That concludes our remarks. We look forward to
23 your questions. Thank you, Chairman.

24 CHAIRMAN JACKSON: Thank you. Let me begin by
25 asking you a couple of questions and I'm going to wade right

31

1 in to a couple of quasi-controversial topics.

2 Given what you talked about vis- -vis the
3 possibility or likelihood of channelized flow, with possibly
4 limiting dilution and retardation, possible dilution as the
5 water is withdrawn, perhaps via well, does the Board have a
6 view on what that might -- whether that necessitates having
7 a separate ground water protection standard?

8 MR. COHON: You did say you wanted to get right to
9 controversial issues.

10 CHAIRMAN JACKSON: Right.

11 MR. COHON: And congratulations, Chairman Jackson,
12 you did just that. Do either of my colleagues want to take
13 this one to start?

14 MS. KNOPMAN: Why don't you start?

15 MR. COHON: Now we know it's controversial. They
16 refused.

17 Indeed, this a very sensitive topic, sensitive in
18 the sense of having big impact on the estimates for probable
19 doses. As the Chairman pointed out, there are two key ways
20 in which dilution may occur. One is in the saturated zone
21 that is below the water table after the waste migrates to
22 that point and then when the water is withdrawn. Dr.
23 Parizek referred to these, as well.

24 On the first point, while we have heard what we
25 have listened to the experts say, and this was a case where

32

1 DOE appealed to outside experts and they had superb people,
2 by the way, on their expert panel. Where the experts felt
3 there was considerable uncertainty about the effect of
4 dilution in the saturated zone, that, if anything, they felt
5 it was more probable that significance dilution would not
6 occur. Channelization would occur, as you said.

7 That we should expect the plume to stay fairly
8 much intact rather than spreading out greatly. That's their
9 expectation.

10 Dilution at a well head offers -- could be very
11 large. I guess the big difficulty here is whether one can
12 count on that. It is possible to sink a well and take water
13 just from one strata and, therefore, get no dilution, no
14 significance dilution. That may be a low probability event,
15 but it's possible. I think the key question, of course,
16 will be, as the Chairman put it, what the standard says.

17 Now, colleagues, do you want to expand or subtract
18 from what I said?

19 MS. KNOPMAN: No. You did an excellent job. I
20 would just add that in thinking about these different well
21 withdrawal scenarios, you could get the substantially
22 different result if you were, say, looking at a well field
23 rather than an individual well and you were looking at total
24 pumping rate from a well field, let's say a water company,
25 and then the mixing of all those waters prior to delivery to

33

1 the population.

2 That would produce a different, substantially
3 different dilution than what would get from looking simply
4 at single-well withdrawals that either may intercept
5 multiple layers, in which case you could get substantial
6 dilution, or a single layer at a direct hit rate into the
7 center line of a plume.

8 So there is tremendous variation within the well
9 withdrawal scenarios from the kind of result that you might
10 -- the kind of dose that you might be delivering to the
11 population.

12 MR. PARIZEK: I have a feeling that the ground
13 water is a part of a system and even if you didn't want to
14 take any credit for the ground water system by saying
15 nothing can be released to the water table below the site,
16 you lose some sense of reality.

17 Materials in time do reach the water table. There
18 can be some forgiveness there. There are faults and there
19 are fracture zones, but not all of the rock mass is
20 necessarily that way and a certain amount of the flow paths
21 from the unsaturated zone reach the rock mass below and
22 there would be a tie-up or hold-back of some portion of the
23 water.

24 The question is what percentage of that would be
25 in the diffuse part of the system and what portion in the

34

1 fast-path part.

2 So the idea is that there would be some
3 retardation. There is bound to be some diffusion and matrix
4 diffusion from the fracture zones and fault zones, and there
5 could be benefit.

6 There is also alluvium, which is present to the
7 south of the site, the exact location of where the saturated
8 zone alluvium versus bedrock occurs. It's not too well
9 known. It's an area generally of data deficiency. But
10 alluvium would give us a slowing down of the flow rates,
11 much higher chance for retardation than might be possible in
12 the fractured rock. So there's benefits to be received
13 there.

14 On the other hand, to say that you will base all
15 of it on dilution to protect the human health, maybe at that
16 point, if dilution of the well head is your last part of the
17 calculation perhaps, you hit some credit, but it makes a
18 difference whether there's one well or groups of wells or a
19 large well field. That's a future that may be a little bit
20 hard to characterize.

21 So I say you should give some credit to the ground
22 water system. More can be learned about the ground water
23 system and more is underway to be learned about it by some
24 of the deep drilling that's being planned, is underway at
25 the Yucca Mountain site.

35

1 CHAIRMAN JACKSON: Are you looking at or do you
2 feel that DOE needs to look at, for lack of a better
3 terminology, whether it makes any sense to talk about
4 institutionally controlled use in design?

5 MR. COHON: Institutional control of the water, is
6 that what you're talking about?

7 CHAIRMAN JACKSON: Let me make sure I make myself
8 clear. Just as you talk about engineered barriers, you
9 raised -- you said the key question is what the standard
10 says, but leading up to that, can one count on dilution at
11 the well head and there is one way one could answer that
12 within the context of -- or try to answer it probably using
13 expert opinion or judgment.

14 There is one way one can try to get at that
15 vis- -vis coming at some best estimate of what the natural
16 environmental would allow or suggest and to what extent one
17 could make some predictive statement down the line.

18 The second part of it that this flows into, but
19 not unlike the whole issue of engineered barriers is to what
20 extent can one -- or does it make sense to talk along that
21 line, design in institutional controls? Because if you're
22 talking looking down the line, the issue of institutional
23 controls in terms of organized society is something that you
24 can't talk about.

25 MR. COHON: Right. Chairman Jackson, I remember

36

1 vividly appearing at the House hearing on the legislation,
2 on a panel with you, and a member of the committee asked the
3 question that was not unlike this, though he was looking in
4 the future.

5 He was talking about human intrusion into the
6 repository, which has always been a very difficult issue to
7 deal with. And what I said then, which I'm not sure if it
8 came back to haunt me or not, but it still might, was that
9 based on the study by the other NRC, that we basically
10 considered those kinds of issues not tractable or not
11 ponderable, things that were beyond us.

12 Now, I wonder if the issue the Chairman has raised
13 would fall under that. Can one say with any confidence that
14 if water is developed a thousand years from now, it will be
15 managed by a water company managing a whole well field and,
16 therefore, getting maximum benefit from doing that, if there
17 is any contamination. I don't know.

18 MS. KNOPMAN: The Board is agnostic at this point
19 as to whether well withdrawal is the appropriate one to use
20 in the regulatory context. Our concern is the predictive
21 capability of the models that might be used as a basis for
22 making any further predictions about the dilution at the
23 well head and right now the models, saturated zone modeling
24 effort is -- also pardon the pun -- in flux and is not at a
25 point where there really is stability in its predictive

37

1 capability.

2 So that's where our concern is right now as to how
3 to improve that capability.

4 CHAIRMAN JACKSON: Because I think you hit it on a
5 few sentences ago, and that is, you know, what is
6 appropriate or what do you need to decide what is
7 appropriate in a regulatory context, because that's kind of
8 where the rubber meets the road for us.

9 Let me go on and ask controversial question area
10 number two. I had a question for you which went like this;
11 to what extent is the DOE program focused on the most
12 important issues related to the overall performance of the
13 repository? And, of course, so as to have full disclosure,
14 you mentioned things like the various thermal tests and,
15 related to that, hydrologic studies.

16 In fact, I've just happened in the past couple of
17 months to be out and I've looked at the large block path
18 heater, the drift heated test and so forth.

19 But the real question becomes -- we, of course,
20 have this -- and I don't mean for you to give a definitive
21 answer. I'm more interested in where your thinking is
22 going.

23 Were you surprised by the article in Science and
24 what it suggests about the volcanism and to what extent do
25 you feel DOE is giving attention in that area and has your

38

1 opinion in that regard changed vis- -vis the recent Science
2 Journal article?

3 MR. COHON: Let me say, first of all, as a general
4 matter, that I believe the program right now is much more
5 focused and effectively so than it was just two years ago
6 and much, much more than it was five years ago, as it should
7 be.

8 I think DOE deserves a lot of credit for having
9 been able to go from basically a science program to
10 something really focused on the question, is this site
11 suitable. I think we need to keep that in mind.

12 As a Board, we have been asking ourselves just
13 this question, Chairman Jackson; that is, how much more
14 should the program be focused, recognizing that if the
15 program sticks to schedule, there's really very little time
16 left between now and the point where they are likely to
17 recommend to the President that the site be found suitable,
18 and then come to you to apply for a license.

19 In light of that, the DOE needs to be very
20 efficient and use its very limited resources in the most
21 efficient and effective way possible.

22 We are, within the Board and working with DOE,
23 trying to develop our own understanding of what that might
24 be, how much more focused can the program become, and the
25 key here, of course, is identifying the key uncertainties

39

1 that will remain after VA and to focus resources on
2 resolving those uncertainties that can be resolved or can be
3 reduced. Resolving them is probably too strong a word, but
4 can be significantly reduced between VA in the time that
5 suitability is determined.

6 We are not surprised to here about -- we are not
7 surprised by the Science article. We've been aware of that
8 research for some time and have been tracking it. We may be
9 a little more surprised by the press reports of the Science
10 article, which is, of course, a different matter.

11 CHAIRMAN JACKSON: Come work with us. You get a
12 lot of press reports.

13 MR. COHON: That's right. Now, I don't have the
14 exact date, but I believe that there is a meeting coming up
15 in the next month or so. Does someone know, offhand?

16 MS. KNOPMAN: Seismic hazard assessment.

17 MR. COHON: I'm sorry. But there is a meeting
18 coming up where this will be looked at more carefully.

19 In particular, understanding the uncertainties
20 associated with the data itself that's reported on in
21 Science and then trying to understand what the implications
22 of that might be for seismicity or other activity.

23 MS. KNOPMAN: Can I just add a little bit to that?

24 CHAIRMAN JACKSON: Please.

25 MS. KNOPMAN: This is an area of the seismic and

40

1 volcanic hazards where DOE did seek out outside experts and

2 it's been -- that group has been meeting for quite some time
3 and, in fact, probably did better at coming to closure than
4 some of the other groups. So I don't think this was a
5 surprise to the program.

6 You raised the question about what's important
7 here and how does -- is the program focusing on what's
8 important, and the Board, just to give you a flavor of where
9 the Board's thinking is.

10 When you get right down to it, what we're talking
11 -- what we're most interested in is what the near-field
12 environmental is for those waste packages, and that means
13 understanding the water, water flow in and out, and what's
14 happening in terms of the conditions in which the canisters
15 are going to be subjected.

16 I think the program has, because of the use of the
17 outside experts, there is actually a specific panel, expert
18 elicitation panel that's been convened specifically on the
19 near-field environmental and I think the department is
20 getting to that focus and that's also, I think, one of the
21 indicators of how TSPA can be used productively to get
22 through sensitivity analyses, to get to the heart of what's
23 really driving the system.

24 So I think they're getting there.

25 MR. PARIZEK: I would say the same. DOE has

41

1 received a lot of recommendations for the need of follow-up
2 studies to reduce uncertainty in time for, say, an LA and
3 this list comes from the expert station panels, it comes
4 from the NRC through the interaction that you have with DOE,
5 and it also comes from the Board.

6 The key thing is not to let those programs die
7 just because it looks like a shopping list for more science.
8 And if you had asked the program ten years ago what was a
9 good list, it would have been a long list. Today it's a
10 much more focused list, but it's an urgent list.

11 And to come before a Commission with a license
12 application, I maintain you have to have good science and
13 good engineering to justify your recommendations.
14 Otherwise, you will perhaps deny and there will be delays in
15 the program and credibility shrinks.

16 I think it's quite urgent to make sure we track
17 the remaining the studies that must be conducted, make sure
18 that they are conducted, and funding is provided to see this
19 through. Congress has cut the program, but you can't cut it
20 very much more before the science may drop. And this has to
21 do with material science, the new areas that are being
22 talked about.

23 There is a short period of record there. Judges
24 often feel insecure about our record, but we have analogs,
25 natural analogs to draw from. The materials people maybe

42

1 lack some of that same sort of thing. So this
2 experimentation has to be done on the corrosion processes
3 and better understand that whole thing, because we put a lot
4 of faith on a robust barrier, the engineered barrier, but we
5 got to make sure it's going to work.

6 So I think keep the science alive and the
7 engineering work going right to the LA deadline.

8 CHAIRMAN JACKSON: I'll make a comment in lieu of
9 a question. I remember when I visited Yucca Mountain two
10 years ago and then, of course, I've visited again more
11 recently, there was a concern here on the science and the
12 issue is how do you keep the focus in the right technical

13 areas, but integrating them so it's not just a giant,
14 multi-part research program as opposed to one that has the
15 appropriate program integration, driving to understanding
16 the features most important to repository operation and
17 safety.

18 And so the question -- so I assume that that's
19 something that the Board keeps a focus on.

20 So let me just ask one last question and then I'm
21 going to turn it over to my colleagues.

22 I note that the Board has urged DOE to consider
23 including alternative design concepts into the viability
24 assessment, and you mentioned that in your remarks.

25 The question is, do you know if the DOE is doing

43

1 this and what level of detail are you really looking to see
2 in the viability assessment with respect to this?

3 MR. COHON: We believe they are. Well, we know
4 they are. They are looking at alternative designs. We do
5 not believe that they need to be looked at in great detail
6 or developed in great detail for the VA. In fact, it
7 probably is not a good idea, given the limited time and
8 limited resources, and they do need to develop the reference
9 design, the base case as fully as possible.

10 Our strong recommendation that they consider
11 alternatives is so that thinking about the limited time that
12 remains after VA, if we stick to schedule, we fear that the
13 program might be get locked into a particular design and
14 find it difficult to think outside of the box of that
15 particular design.

16 That's why we have been pushing alternatives so
17 hard.

18 CHAIRMAN JACKSON: All right.

19 MR. COHON: There are also EIS implications
20 potentially as well.

21 CHAIRMAN JACKSON: That's right. Commissioner
22 Dicus.

23 COMMISSIONER DICUS: You mentioned the TSPA peer
24 review panel that DOE formed last year and I think you
25 mentioned that you were encouraged by the rather strong

44

1 independent comments that were coming from that panel.

2 Could you characterize those just a little bit
3 more, particularly more significant comments regarding the
4 TSPA?

5 MS. KNOPMAN: As you know, the TSPA is a -- takes
6 results that have been generated from fairly complex
7 physical models, mathematical models representing physical
8 processes, and so the TSPA modeling process is but another
9 level of abstraction from the underlying mathematical
10 modeling. And there is a lot that can -- there is a lot
11 going on there, a lot of assumptions embedded in that.

12 The concern of the peer review group has been as
13 it has been for the Board, is how much -- by the time you
14 get to TSPA, results have been grounded in reality, with
15 real data and some kind of field experience to really back
16 that up.

17 So the peer review panel, the TSPA peer review
18 panel went into some depth about concerns of lack of data
19 and justification for using certain model forms in TSPA.

20 I don't know if you want to elaborate on that.

21 MR. PARIZEK: It continues, I think, with Chairman
22 Jackson's comment about the focus. I think when you run a
23 TSPA and sees what seems to drive a system, the so-called
24 sensitivity analysis part of the what-ifs part, you begin

25 seeing what are the critical portions of the system that

45

1 need further work, like the climate effects.

2 Clearly, that's a driving variable. So one has to
3 deal with that. If corrosion is one, you've got to deal
4 with that. So whatever the outcome of this next go-around
5 is that's issued this fall, you will have a clearer picture
6 of where the study needs are.

7 The question is can you fill the gaps in the time
8 period between then and LA. In terms of like reaching the
9 ground water modeling, there are vast areas of areas south
10 of Yucca Mountain with no well control. As a result, it is
11 somewhat speculative exactly what rocks are -- hydrological
12 conditions occur there.

13 And then the question is how much credit would you
14 want to assign to the ground water rule anyhow. Maybe you
15 can get a lot more credit out of a canister and say go with
16 the canister part. But all of these pieces have to somehow
17 fit together and I think when you're running the TSPA, you
18 begin finding out how much credit you can get for each part
19 of it as we understand at this point in time.

20 CHAIRMAN JACKSON: So you're thinking of the TSPA
21 itself as a manager.

22 MR. PARIZEK: Yes, it is. It's a question of
23 whether the managers now use it that way, which was your
24 question. The program seems to have gotten more focused in
25 recent years than it used to be in terms of grabbing onto

46

1 critical parts of the story, as I see it.

2 Again, maybe I've missed the point, but TSPA is an
3 education to all of us and you can't tell what the outcome
4 is going to be until you finally run it and then it has
5 uncertainties with it. So what we want is to make sure we
6 can shore up all of the areas where you don't feel
7 comfortable, make sure the next go-around is going to be as
8 thorough and complete as it can be.

9 A lot has been learned at Yucca Mountain since the
10 early days of that program and, again, there is ramping up
11 at a rapid rate. There is very good information coming in
12 that we wouldn't have had only a few years ago, part of it
13 with the tunnels, part of it with experiments that are
14 coming to maturity.

15 COMMISSIONER DICUS: Let me ask you a process
16 question, too. Given the fact that the Board has 11 members
17 and you have somewhat similar and also maybe differing
18 expertise, but how -- it's sort of a question about how you
19 arrive at your decisions, but more importantly, how have you
20 handled divergent opinions and how will those come forward?

21 MR. COHON: Well, it's not a very pretty sight,
22 Commissioner Dicus.

23 COMMISSIONER DICUS: Like sausage being made.

24 MR. COHON: That's right. I didn't say that, but
25 you did. We -- the Board works hard to attain consensus on

47

1 all major issues, all major positions that the Board adopts
2 and before we communicate that to DOE.

3 We will vote on occasion, vote for our record,
4 which is to say the public record, but generally we are able
5 to reach consensus, and that means a lot of compromise and
6 discussion about wording and positions about things.

7 Our meetings can get long. They are usually not
8 very contentious. It's quite a remarkable collection of
9 people. They are very, very good at working together and

10 seeking that common ground.

11 I think, based on some recent meetings we've had
12 which could have been very contentious given the issues we
13 were discussing, that the Board -- the individual members
14 enjoy interacting with each other very much and realize that
15 they learn a great deal from that.

16 Let me correct one possible misconception. You
17 happen to be looking at the three people with some water in
18 their backgrounds. The other eight members don't. So, in
19 fact, we're quite diverse in our backgrounds and what we
20 bring to the Board, and that helps, as well. So we learn a
21 great deal from each other because they are experts in
22 something I'm not, and we listen carefully to each other,
23 learn, and then generally arrive at consensus.

24 So far, so good.

25 MR. PARIZEK: Could I add a remark? And that's

48

1 the role of the staff. It is a very dedicated, very
2 competent staff that keeps an awful lot of this history
3 going for us, because as new members coming in, there is no
4 way you can get up to speed on all these activities. All
5 the expert panel meetings, usually three of them for each
6 panel, many panels, you can't monitor those activities and
7 keep track of the literature and so on.

8 So the staff brings an awful lot to the table to
9 help get us into an understanding of the issues. That
10 doesn't mean that we buy off on that, but at least it sets
11 it up for us in a way that we're not having to start from
12 ground zero and trying to invent all of this material
13 ourselves.

14 With that, it would be almost impossible because
15 we all have other full-time jobs and there's not enough of
16 us to get this job done, the Commission knows the problem of
17 having a limited number of people with a big assignment.

18 MR. COHON: Just to pick up on one thing that Dr.
19 Parizek just said, because it will help understanding our
20 process. He made reference to panels. The Board organized
21 -- organizes itself into five panels, each with five Board
22 members on it, and these are panels that are devoted to
23 specific aspects of the repository problems.

24 Those panels generally take on the leadership on
25 particular issues and do the work outside of our Board

49

1 meetings and then inform the rest of the Board members when
2 we come back together.

3 CHAIRMAN JACKSON: Commissioner Diaz.

4 COMMISSIONER DIAZ: I'd like to say that I have
5 maintained a very open mind on the issues of Yucca Mountain
6 by staying ignorant about it and for having a very wide
7 gradient between ignorance and expertise when we get to
8 doing stuff.

9 But I was listening to you and was interested in
10 the drift between science and application and, of course,
11 science never ends and sometimes we like to keep it going.
12 But scientific applications have to end and, in this case,
13 there are some particular date lines and deadlines that have
14 to apply and then closure to the VA is important and closure
15 to the LA is important.

16 Thinking on the terms that scientific
17 applications, engineering and technology and they have to be
18 closed, do you see any show-stoppers for actually preventing
19 this repository to becoming reality?

20 MR. COHON: No. I don't believe the Board has
21 seen any show-stoppers.

22 COMMISSIONER DIAZ: All right. Going back now and
23 retreating to the fact that I am more of an engineer than
24 anything else, going back to the engineered barriers, I was
25 particularly interested in the Board interest in the

50

1 engineered barriers.

2 There are essentially three issues; small waste
3 packages, waste packages with two corrosion-resistant, and
4 ventilation of the repository tunnel. I was having a
5 problem fitting these things together.

6 When you actually make smaller packages, you
7 increase the surface significantly, which gives you an
8 additional potential corrosion problem, and, of course, it
9 increases cost.

10 It might be better and easier to handle, but it's
11 certainly an issue. I don't see how it combines by putting
12 two corrosion-resistant materials in the package because if
13 you tried to make them smaller, then that becomes more of a
14 problem. You are actually increasing the actual cost of it.

15 Of course, I guess ventilation of the tunnel is
16 because you're trying to get humidity out of it?

17 MR. COHON: Exactly right.

18 COMMISSIONER DIAZ: But that also increases some
19 of the other issues that are -- and I'm very ignorant about
20 this, but you know we always worried when things have higher
21 temperature and places with higher temperatures tend to
22 carry materials away to the lower temperatures.

23 I was wondering whether isolation was part of the
24 design. So I was having a little problem in looking at the
25 three of them interacting together, especially looking at

51

1 closure, resources, and the conditions that were to be
2 specified.

3 MR. COHON: You should come and spend some time
4 with the Board. We would enjoy it very much. This is
5 exactly the kind of thing we hope that DOE will take on.

6 COMMISSIONER DIAZ: I see.

7 MR. COHON: And the key is to view the system as a
8 system. Now, in this case, these three alternatives that we
9 identified that you picked up on are distinct from each
10 other. We're not saying smaller packages and two
11 corrosion-resistant and ventilation. These are just three
12 separate, but if you did them all, obviously, interacting,
13 things one might try.

14 Your analysis of each is very good. But let me
15 put out one thing that might help you because you're new to
16 Yucca Mountain and we're happy for you being new to Yucca
17 Mountain.

18 The whole idea, water is the big issue, as you
19 heard and as you know. Water is the big issue because of
20 the impact on the waste packages. So the argument for
21 ventilation is to keep the tunnels and emplacement drifts as
22 dry as possible for as long as possible, so as to reduce
23 the probability of corrosion. That's the whole argument.

24 So it's the life of the package which is driving
25 this and that's related to water.

52

1 COMMISSIONER DIAZ: But I have a problem, and I'm
2 not a water expert, but every time you remove water, you're
3 actually increasing some process in looking at pressure and
4 now you're decreasing the pressure, so you're attracting
5 more water, if the water is getting there.

6 Sometimes what we'd want to do is we'd want to

7 keep the concentration high. I don't know --
8 MR. COHON: This is the key point that I want to
9 make. There is an assumption -- not an assumption. There
10 is -- the way we understand the problem, and that's the big
11 we, not just the Board, is that the key thing is keeping
12 those packages intact as long as possible.

13 So the issue is not -- during the first part of
14 the life of this repository, the issue is not so much
15 migration of waste away from the tunnels, but rather keeping
16 those packages intact because if they're intact, you don't
17 have anything to worry about.

18 So that's the idea. That's what drives it all.
19 So we're not so worried early on about gradients that are
20 created because we're assuming that the packages will be
21 intact and, therefore, nothing is going to be moving -- no
22 waste will be moving out of the drifts anyhow.

23 COMMISSIONER DIAZ: Water will be moving in.
24 That's why we got three water experts today.

25 MR. COHON: That's the whole purpose of these

53

1 thermal tests. Do you want to say something about that?

2 MR. PARIZEK: The whole idea of of a hot waste
3 package if you go with a hot repository is it boils the
4 water out and does so for a prolonged period of time. Part
5 of the problem is where does the water go you boil out.
6 It's going to condense somewhere and will want to come back
7 to haunt you, perhaps right back in some of the emplacement
8 drifts.

9 So as an example, getting on with the engineering
10 decision, if you can't decide and the experiments can't be
11 run long enough to know what happens to this refluxed water,
12 the choice might be to consider an alternative design, as
13 suggested by the Board, have a cold repository, in which
14 case you don't have to deal with this reflecting issue.

15 Maybe you won't solve that problem, but,
16 nevertheless, right now, if you go into Yucca Mountain, you
17 never did see a drop of water falling in one you any place.
18 That doesn't mean it might not be doing that, because you
19 have the chlorine-36 data showing that somewhere in the last
20 50 years water got to those depths, but the fact that it's
21 ventilated means that it keeps it dry.

22 Under the present environment, you could sit in
23 there and not rust yourself, I suppose, for some number of
24 years. We haven't had as much time as possible into the
25 future, when the canister hasn't yet been asked to do

54

1 anything. It's sitting there waiting for the first arrival
2 of water, sometime in the distant future.

3 And the moisture would be driven out because of
4 the heat source that the warmer packages or the hot packages
5 bring into the mountain.

6 So that was part of the idea of the ventilation
7 concept. Again, if it doesn't calculate out to be suitable,
8 you might drop it from the thinking. But right now it would
9 buy time for canisters, and that's part of the game -- get
10 the longest life you can out of your waste package before it
11 has to finally resist a corrosion problem.

12 CHAIRMAN JACKSON: Thank you. Commissioner
13 McGaffigan.

14 COMMISSIONER MCGAFFIGAN: I'm going to go back to
15 the Chairman's first line of questioning just for a little
16 bit. On page 7 of your statement, there was a -- you talked
17 about them being on the right track with their siting
18 guidelines and meeting a post-closure risk-based standard,

19 but then you put some provisos in and one was that you
20 require the repository system complies robustly with the
21 standard.

22 Can you define the adverb "robustly?"

23 MS. KNOPMAN: We're working on that.

24 COMMISSIONER MCGAFFIGAN: I mean, I can turn a
25 25-millirem standard into a .25 millirem standard as

55

1 robustly, that means a factor of a hundred, or does robustly
2 mean a factor of 20 percent. In order of magnitude, do you
3 know what robustly means?

4 MR. COHON: No. We have not quantified it and I
5 don't know that it's quantifiable until the standard is
6 quantified and we have an understanding, in a quantitative
7 sense, of the uncertainties surrounding it.

8 COMMISSIONER MCGAFFIGAN: That's the great --
9 let's stay on that thought. At the moment, they're working,
10 as you say later on that page, on a 25 millirem all pathways
11 standard, which is to an average member of a critical group,
12 and I think ICRP recently suggested 30, but 30 and 25 are
13 essentially equivalent, especially if we're dealing with
14 adverbs like robustly.

15 But if you hypothesize -- I don't know how much
16 the group is familiar with WIPP and whether you've looked at
17 the WIPP situation, but at WIPP, the EPA has a standard that
18 includes a ground water MCL standard and it's been salt and
19 it's been stable for 250 million years and it's probably
20 going to be stable for 250 million more. So WIPP will pass
21 whatever standard is imposed, I suspect.

22 But have you done any thinking about an MCL
23 standard which, using the current MCLs, which are not
24 risk-based and which go as low as .06 millirem for
25 strontium-90, et cetera, have you looked at whether Yucca

56

1 Mountain could possibly pass robustly a standard that
2 included ground water MCLs?

3 MR. COHON: No. We talk about this all the time,
4 but it's -- I'm not sure -- well, I better be careful about
5 going too far with this. What I'm about to say is one
6 person's view. I am not speaking for the Board here, but
7 1/11th of the Board.

8 I think it's really too soon to say whether Yucca
9 Mountain could meet a ground water standard robustly, even
10 without a definition of the word robust, and I say that
11 because we're still trying to understand what the
12 uncertainties are. I think we now know what the key
13 uncertainties are; that is, where they will come from.

14 But I don't think we know yet -- I don't know yet,
15 maybe DOE knows now, how big those are.

16 COMMISSIONER MCGAFFIGAN: That's my next question.
17 Later, on page 12, you say those uncertainties could be
18 three to four orders of magnitude.

19 MR. COHON: Yes.

20 COMMISSIONER MCGAFFIGAN: So if I'm now dealing
21 with something -- and let's say we're going to be robustly
22 trying to meet a standard and conservative with
23 defense-in-depth is another principle. And I add all that
24 up, I may now have a .001 millirem standard for ground
25 water.

57

1 De facto, can Yucca Mountain -- can a non-salt
2 formation meet that sort of standard?

3 MR. COHON: Time will tell. Do I think salt is

4 more robust? Yes. Do I think WIPP is more robust? Yes.
5 But that's with still not mature knowledge about Yucca
6 Mountain. We still have a way to go. I don't think we'll
7 know at VA, again, one person's opinion.

8 COMMISSIONER MCGAFFIGAN: Could DOE even do the
9 calculations required at this point, given that they've been
10 focused on the 25 millirem all pathways standard in time for
11 VA, if EPA were to propound a standard not dissimilar from
12 WIPP's standard?

13 MR. COHON: Could DOE do the calculations?

14 COMMISSIONER MCGAFFIGAN: Could they do the
15 calculations?

16 MR. COHON: Sure.

17 COMMISSIONER MCGAFFIGAN: With dealing with all
18 these uncertainties?

19 MR. COHON: Yes. TSPA could do that now.

20 MS. KNOPMAN: You need to show them uncertainty.

21 MR. COHON: Exactly right. The key thing would
22 be what the uncertainty related with that, what that
23 demonstration would be. That's where we come back to
24 robustly. That's why we used the word. We know it's vague,
25 but we think it captures the key point here.

58

1 I think the Board feels confident that you could
2 show the repository to meet a standard of the sort that we
3 expect will come out, but the key question will be the
4 uncertainty surrounding that, the uncertainty surrounding
5 the probability with which the standard will be met. If I
6 said that right.

7 MR. PARIZEK: Could I have a clarification of
8 whether you're saying at the repository, below the
9 footprint?

10 COMMISSIONER MCGAFFIGAN: I'll take 20 kilometers.
11 At the repository, at the footprint, I would assume it's
12 absolutely hopeless.

13 MR. PARIZEK: I didn't know where your fence,
14 because certainly WIPP is not a good example for us to be
15 emulating. You've got the Bell Canyon, which has got a
16 brine that nobody wants to drink and it's got two dolomites,
17 which have salty water right above the repository. Nobody
18 really almost wants to drink. Some people say they have
19 used that water. So that's a little bit different; the
20 water could be there, but nobody drinking it.

21 Your question is whether you could get anything to
22 those aquifers, even if you could.

23 MR. COHON: It will depend very much on what
24 happens in the saturated zone and what assumptions are made
25 about dilution in pumping, as Chairman Jackson was

59

1 suggesting.

2 MS. KNOPMAN: If I can just put my two cents in
3 here. Where the Board has put its effort is in wrestling
4 with the question of technical defensibility, so that when
5 DOE comes forward with an estimate of whether or not it can
6 meet a proposed standard, has it done so with a set of
7 assumptions and data and a scientific community consensus
8 behind it, that it is a credible assessment, even with
9 uncertainties attached, but, nonetheless, credible.

10 So this is the tough part of figuring out whether
11 these many models that have been developed do have some
12 bearing on reality. Sure, they can show something. It's a
13 question of whether they're showing what we think is
14 actually going to happen there, and that's where the Board
15 wants comfort is in understanding that those modeling

16 representations are a good -- are our best shot at that
17 representation of the system.
18 CHAIRMAN JACKSON: So perhaps in this context you
19 would replace robustly with credibly.
20 MS. KNOPMAN: Yes, until we figure out what robust
21 means.
22 CHAIRMAN JACKSON: Right.
23 MR. COHON: I'm very glad that Dr. Knopman said
24 what she did. Let me just paraphrase it or expand upon it a
25 little bit. And that is it is not up to the Board to decide

60

1 or even comment on what level of uncertainty is acceptable
2 or not, but rather to comment on the methods and the data
3 used to arrive at those estimates of uncertainty.
4 Thanks for pointing that out.
5 COMMISSIONER MCGAFFIGAN: Let me just ask. Have
6 you all taken a position with regard to what a reasonable
7 standard is?
8 MR. COHON: No.
9 COMMISSIONER MCGAFFIGAN: You have not.
10 MR. COHON: No.
11 CHAIRMAN JACKSON: Commissioner Diaz.
12 COMMISSIONER DIAZ: Just a quick thing on the same
13 point, I believe. What happens if the uncertainty with any
14 one of the methods is as large as, say, the basic quantity
15 that you're trying to measure, what do you do?
16 MS. KNOPMAN: That's a social decision.
17 CHAIRMAN JACKSON: And actually that comes more to
18 the Commission.
19 MR. COHON: Exactly right.
20 COMMISSIONER DIAZ: So you are going to be trying
21 to separate this thing so we can actually see what it is.
22 Thank you.
23 CHAIRMAN JACKSON: Because, in fact, that was what
24 my basic point was going to be, that in the end, the
25 definition of robustly and credibly, et cetera, actually is

61

1 a policy, a policy decision, and it's one that's going to
2 end up coming to the Commission.
3 Well, thank you very much, Dr. Cohon, Dr. Knopman
4 and Dr. Parizek. This was an excellent session and you've
5 raised many of the same issues that the NRC itself has been
6 concerned with, obviously, vis- -vis the high level
7 radioactive waste program.
8 If you'd like to make any comment on our own focus
9 on the key technical issues, I'm happy to hear it, but I'm
10 not asking you those questions.
11 I think hearing from you on a more regular basis
12 as we can move through this pre-licensing phase,
13 particularly with the viability assessment, et cetera,
14 coming through.
15 Given that, the Commission truly appreciates your
16 taking the time to come and present and talk with us today.
17 There have been a number of key developments in that program
18 that have occurred over the last few years and we look
19 forward to continuing to hear from you.
20 Unless there are any further comments, we are
21 adjourned.

22 [Whereupon, at 3:25 p.m., the public meeting was
23 concluded.]

24
25