

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

BRIEFING ON
REACTOR INSPECTION, ENFORCEMENT, AND ASSESSMENT

PUBLIC MEETING

Nuclear Regulatory Commission
One White Flint North
Rockville, Maryland
Wednesday, January 20, 1999

The Commission met in open session, pursuant to notice, at 9:35 a.m., Shirley A. Jackson, Chairman, presiding.

COMMISSIONERS PRESENT:

- SHIRLEY A. JACKSON, Chairman of the Commission
- NILS J. DIAZ, Commissioner
- GRETA J. DICUS, Commissioner
- EDWARD McGAFFIGAN, JR., Commissioner
- JEFFREY S. MERRIFIELD, Commissioner

STAFF PRESENT:

- ANNETTE L. VIETTI-COOK, Secretary of the Commission
- KAREN D. CYR, General Counsel

PRESENTERS:

- WILLIAM TRAVERS, EDO
- SAMUEL COLLINS, Director, NRR
- FRANK P. GILLESPIE, NRR
- PATRICK W. BARANOSKY, NRR
- BRUCE S. MALLETT, RII
- MICHAEL R. JOHNSON, NRR
- RALPH BEEDLE, Senior Vice President & Chief Nuclear Officer, Nuclear Generation, NEI
- TONY PIETRANGELO, Director, Regulatory Reform and Strategy, Nuclear Generation, NEI
- DAVID LOCHBAUM, Nuclear Safety Engineer, UCS

P R O C E E D I N G S

[9:35 a.m.]

CHAIRPERSON JACKSON: We'll now begin the Commission meeting on the Commission's oversight program for operating power reactors.

The Commission is pleased to welcome members of the NRC staff and representatives of the Nuclear Energy Institute and the Union of Concerned Scientists here today.

This meeting is being conducted to discuss the NRC staff progress in developing a revised power reactor

11 oversight program and to solicit stakeholder feedback on the
12 program.

13 By way of background, criticisms have, over time,
14 been leveled against the NRC reactor oversight process,
15 citing, among other things, an inspection program which did
16 not consistently focus on issues of greatest safety import,
17 a resource-intensive, unpredictable and lagging assessment
18 process, and an enforcement process which presented burdens
19 which were not commensurate with the issues under
20 consideration.

21 While industry and public interest groups
22 certainly have made their feelings on the subject known,
23 what may not be appreciated by our external stakeholders was
24 that a considerable number of internal stakeholders had
25 similar concerns, including concerns expressed by me and my

4

1 Commission colleagues.

2 In March of 1998, the staff issued SECY 98-045;
3 namely, the status of the integrated review of the NRC
4 assessment process for operating commercial nuclear
5 reactors, which forwarded to the Commission the staff's
6 recommendation for a new integrated assessment process.

7 The Commission provided extensive comments to the
8 staff and the paper ultimately was released for public
9 comment. In parallel with this public comment period, the
10 staff received proposals from NEI on improving the
11 assessment process and began an effort to reach out to
12 stakeholders in the development of the new oversight
13 process.

14 The staff recently has forwarded to the Commission
15 SECY 99-007, recommendations for reactor oversight process
16 improvement. This paper, which was made publicly available
17 last week, presents recommendations for improving the NRC's
18 inspection, assessment and enforcement processes and
19 includes a transition plan for implementing these changes.

20 The proposed process being discussed today
21 represents the results of a synergistic process. It
22 includes input from representatives of NRC power reactor
23 licensees, industry advocacy groups, public interest groups,
24 individual states, and last, but certainly not least, NRC
25 staff members who have taken a lead in this, including

5

1 in-depth and substantive involvement from all the regions.

2 The NRC staff requests that the Commission
3 acknowledge the concepts and scope of the changes presented
4 and following a public comment period, the staff will return
5 for final Commission consideration.

6 It is the Commission's hope that by making
7 appropriate changes to our processes, greater scrutability,
8 predictability, efficiency and safety focus can be produced
9 in NRC activities.

10 On that basis then, we look forward to
11 presentations from the NRC staff, followed by comments from
12 the Nuclear Energy Institute and the Union of Concerned
13 Scientists.

14 I understand that copies of the viewgraphs and 007
15 are available at the entrances to the meeting room.

16 So unless my Commission colleagues have any
17 comments they wish to add. Dr. Travers?

18 COMMISSIONER MERRIFIELD: Actually, I was just
19 going to make one comment. I'm pleased to see our fellow
20 Commissioner back. It's been kind of lonely at this end of
21 the table, so I look forward to your continuing wisdom and
22 guidance and assistance on this side.

23 CHAIRPERSON JACKSON: Now, he's been doing the
24 best he can, Commission, but it's not the same.

25 COMMISSIONER MERRIFIELD: It's not the same.

6

1 CHAIRPERSON JACKSON: It's good to see you.

2 COMMISSIONER MERRIFIELD: I think he's doing
3 great.

4 DR. TRAVERS: Good morning, Chairman Jackson and
5 Commissioners, and particularly good morning to Commissioner
6 Diaz. We're glad to have you back.

7 This is the third Commission briefing that we've
8 had in the last two weeks that focuses on improvements to
9 several very important regulatory processes. Briefings on
10 January 11 and 13 covered risk-informed and reactor
11 licensing initiatives, as you know.

12 Today's briefing, as the Chairman outlined, will
13 cover improvements in the reactor oversight process and it's
14 structured, on our part, to provide you with an overview of
15 our overall direction in this area.

16 Included in this overview is the status of the key
17 reactor oversight activities or initiatives described in my
18 response to the Chairman's August 1998 tasking memo. SECY
19 99-007 specifically addresses these issues and the paper
20 represents a substantial effort by the NRC staff, as well as
21 many of our stakeholders who have been key participants in a
22 number of the meetings that we've had on these issues.

23 It should be noted that the NRC resources that
24 have been utilized in developing this have included
25 resources principally from NRR, but have also included many

7

1 resources from the Office of Research, the regions and so
2 forth. So it's really been quite a team effort and, in some
3 measure, it's been made possible by the suspension of SALP
4 and the resources that are not currently being applied in
5 that process.

6 Our objective in submitting the SECY paper is to
7 present the concepts and scope for improvements to the
8 regulatory oversight processes. The staff is requesting
9 initial Commission endorsement of the concepts presented in
10 the paper, along with the recognition that the staff will
11 continue further development of many of the implementing
12 details and processes.

13 The staff intends to follow up SECY 99-007 with a
14 second Commission paper in early March 1999, and this paper
15 is intended to provide supplemental information to the
16 Commission such as the results of a 30-day public comment
17 period and additional process benchmarking results.

18 The second Commission paper will request final
19 Commission approval of scope and concepts contained in SECY
20 99-007, including moving forward with the transition plan,
21 which is described herein, and which includes a six-month
22 pilot at a select number of sites.

23 At the table with me are Sam Collins, Director of
24 NRR; Mike Johnson, who is the Section Chief of the
25 Performance and Evaluation Assessment Section in NRR; Frank

8

1 Gillespie, the acting Branch Chief, Inspection Program
2 Branch, NRR; Bruce Mallet, who is the Director of the
3 Division of Reactor Safety in Region 2; and, Pat Baranosky,
4 Branch Chief of the Reliability and Risk Assessment Branch
5 in the Office of Nuclear Reactor Research.

6 With that, I'd like to turn it over to Frank.
7 MR. COLLINS: I'm going to pick up to the ball,
8 actually.
9 DR. TRAVERS: Then I'll turn it over to Sam.
10 MR. COLLINS: Madam Chairman, Commissioners, good
11 morning. I do not have a card here, but I hope I'm
12 recognizable to most of you here.
13 CHAIRPERSON JACKSON: I think we know who you are.
14 MR. COLLINS: I was searching my memory. I
15 believe, since I've been here, this may be the first time
16 where we have actually had a full Commission when I have
17 been at the table, and that's certainly a welcome sight.
18 I'd like to open my remarks by acknowledging the
19 effort that was accomplished by the staff and the
20 stakeholders to come to this point in the process. I will
21 limit my talking points to some philosophical approaches
22 that were pinned in place at the onset of this effort.
23 The content and scope of the regulatory oversight
24 improvements described in this SECY paper were developed to
25 meet a number of pre-defined objectives. One was to

9
1 establish a regulatory oversight framework that ensures that
2 plants continue to be operated safely. That's our core,
3 that's our mission.

4 Additionally, to improve public confidence by
5 increasing their predictability, the consistency and the
6 objectivity of the oversight process.

7 Additionally, to increase the efficiency and
8 effectiveness of the oversight process by focusing agency
9 resources and licensee resources on those issues with the
10 most risk-significance. Finally, to reduce unnecessary
11 regulatory burden as the process becomes more efficient and
12 effective.

13 During the definition of the process, as we sit
14 here today, to the level that it has been defined, a number
15 of cross-cut program issues are in front of us. These
16 issues range in scope and level of detail. Some of them are
17 the level of staffing or effort to implement the proposed
18 programs; the consistency with other programs, such as
19 enforcement and reporting; event response and evaluation of
20 events is an additional area.

21 Organizational issues may arise as a result of
22 these processes, particularly in regional offices and
23 defining inspector disciplines. That's yet to be developed.

24 The fit of this process with the ability to
25 predict the appropriate level of NRC response, including

10
1 budget assumptions and consistency with the PBPM, planning,
2 budgeting, performance measurement processes.

3 Licensee willingness to provide PI data is an
4 issue. And as Hub Miller, who represents the regions here
5 today, has emphasized to us in the program office, the
6 acceptance and effective implementation will require
7 communication, education, and changed management process.

8 As Mark Twain is quoted as saying, "I was
9 gratified to be able to answer promptly. I said, 'I don't
10 know.'" And you may hear that today, because the process is
11 not fully developed. But certainly we're here to receive
12 guidance and to acknowledge those areas that need to be
13 developed.

14 Consistency will have to be monitored during the
15 pilot. That's one of our ultimate goals, and it will be a

16 challenge with the new process. And some of these may be
17 potential policy issues. You'll notice later on, in slide
18 six, we raise some of these issues. That's not a full
19 plate. Many of the issues are yet to be fully defined and
20 there will be others as we go through the process itself.

21 Certainly, once these issues are identified, they
22 will be forwarded for assessment, for options, and we will
23 provide those to the Commission as appropriate for
24 direction.

25 With that brief opening statement, I'd like to

11

1 turn the agenda over to Frank Gillespie. Frank is
2 representing the program office and the efforts of many in
3 the development to this point today, the primary focus for
4 NRR.

5 MR. GILLESPIE: Good morning. We are here today
6 to provide a brief overview, although there's 29 slides, of
7 the staff recommendations. So I'm going to go fairly
8 quickly and hopefully answer many, many questions along the
9 way.

10 Recommendations for the improvements of the
11 regulatory oversight process as described in SECY-007. The
12 recommendations contained in this Commission paper reflect
13 an agency-wide integrated effort, as was discussed, to
14 develop improvements in the inspection assessment and
15 enforcement process for nuclear power plants. These
16 recommendations were developed by task groups that focused
17 on developing concepts for a regulatory oversight process,
18 risk-informed baseline inspection, integration of the
19 enforcement policy, and then, of course, development of a
20 transition plan, which is the last enclosure on the paper,
21 to get us to where we like to envision ourselves being.

22 We will present a brief overview and background on
23 these efforts, followed by then a more detailed presentation
24 by each task manager, and in the overview we will try to
25 focus on the major policy issues that we feel we want to

12

1 extract from the paper to make sure we get those addressed
2 at this meeting.

3 The staff last briefed the Commission on November
4 2.

5 CHAIRPERSON JACKSON: For the record, as you go
6 along, can you just identify the task managers for each part
7 of it? I mean, they are sitting here.

8 MR. COLLINS: I can do that. Let me start with
9 the oversight group, which is Pat Baranosky, from the Office
10 of Research, and he developed -- his group developed the
11 overall framework in which all this fits in. Bruce Mallet,
12 the inspection program, with the regional lead and a lot of
13 help from within the regions. Mike Johnson, who did the
14 assessment process, which includes the public and licensee
15 interface in the assessment of licensee performance. So
16 these are the main speakers that will be coming up here.

17 I'd also like to acknowledge some extra effort in
18 the former office of AEOD in what I will call ad hoc support
19 that we got from the performance indicator people,
20 last-minute effort in development and brainstorming. While
21 their names weren't officially there, we really couldn't
22 have done without them. They came in and helped us out a
23 couple of times, very necessarily.

24 The staff has continued in this process since

13

1 during this development. The three task groups were closely
2 coordinated and integrated and did involve, as you heard the
3 broad participation of not just the people named and sitting
4 at the table, but their peers and connections and networking
5 throughout the agency.

6 So the Office of Nuclear Reactor Regulation, of
7 course, was deeply involved, but the Office of Nuclear
8 Regulatory Research, AEOD before that, which has now been
9 absorbed into them, and the Office of Enforcement were all
10 key players and all four regions contributed.

11 The staff selected to participate in this activity
12 were agency experts and all the various aspects of
13 regulatory oversight, inspection and assessment. Each of
14 these task group participants devoted almost two months of
15 their time to work on these activities and we do greatly
16 appreciate it. It couldn't have been done without them.

17 As you will see when the transition plan is
18 discussed, significant development work still remains in
19 completing the implementing details.

20 Recognizing this proposal is a departure from
21 current practices, the staff is requesting Commission
22 endorsement that the concepts developed are consistent with
23 the Commission's previous direction to the staff.

24 This would include a positive affirmation by the
25 Commission on the concepts of establishing a system of

14

1 risk-informed thresholds for agency interaction and applying
2 them as we've described it; approval of the approach taken
3 to define information needs for assessment; approval of the
4 approach taken to integrate performance indicators with
5 inspection, and approval of the approach taken to take a
6 graded regulatory response to findings is best illustrated
7 in the matrix that's presented as an enclosure to the paper.

8 We also would like to include in this approval of
9 the transition plan, as described, so that we will continue
10 working to include a pilot program at a selected number of
11 plants, with final approval coming, as Bill said, after the
12 public comment period. And it's not just a public comment
13 period. That's internal and external comments, as this is
14 the first time people have gotten to see the integrated
15 whole, and we felt it was very important for people to be
16 able to comment on the whole rather than just pieces.

17 MR. COLLINS: Chairman, I believe it's appropriate
18 to acknowledge that the paper that's in front of you has
19 been on the internal and the external NRC web for a period
20 of time. We also have plans for a Federal Register Notice,
21 which would provide acknowledgment of the paper and access
22 to the paper to key stakeholders, both in the industry and
23 on the staff.

24 That's part of the communications plan that is key
25 to buy-in and also key to ensure that we have a broad

15

1 spectrum of comments on the paper.

2 DR. TRAVERS: As is the fact that we're
3 transmitting the Commission meeting to all of the regions
4 this morning, as we have done for the previous two meetings.

5 MR. GILLESPIE: Going to slide five, the three
6 task groups assigned to the project, we believe, met their
7 objective to develop a concept and supporting detail for

8 improvements to the oversight process.
9 Slide five presents an overview of the concepts on
10 which the staff is requesting Commission endorsement. The
11 overall objectives in developing these changes to the
12 regulatory oversight process were to, one, ensure that
13 plants continue to operate safely, improve public confidence
14 by increasing the predictability, consistency and
15 objectivity of the oversight process, increase the
16 effectiveness and efficiency of the regulatory oversight by
17 focusing agency licensing resources on those issues which
18 are most risk significant, and reducing unnecessary burden
19 as the process becomes more efficient and effective, as Sam
20 touched upon.

21 The staff proposes to accomplish this through the
22 use of performance indicators and the risk-informed baseline
23 inspection results, which will provide information that
24 produces an indication, and this is an important point
25 relative to the whole philosophy behind it, an indication of

16

1 licensee performance and identifies when additional
2 regulatory interdiction is necessary to ensure proper
3 diagnosis of problems.

4 The risk-informed baseline inspection would be
5 performed at all plants, regardless then of licensee
6 performance.

7 The objective of the framework task group was to
8 develop a hierarchical structure in which risk-informed
9 performance indicators and inspection results could be used
10 to measure safety performance.

11 To accomplish this, the task group developed a
12 risk-informed scale to be applied to performance indicator
13 results. Continued work remains to develop methods for
14 applying an equivalent scale to inspection findings that may
15 not be conducive to quantification.

16 The objective of the baseline inspection task
17 group was to take a risk-informed approach to identifying
18 the necessary areas to be inspected, integrate that with
19 performance indicator information to meet the cornerstone
20 objectives.

21 It is important to note that the implementation of
22 the inspection program as developed may require different
23 up-front planning than is currently accomplished. The
24 approach used to apply risk insights to inspection also
25 tries to address both the strengths and the weaknesses of

17

1 PRA.

2 The objective of the assessment task group was to
3 develop a streamlined and structured review process that
4 uses an action matrix to provide more consistency in NRC
5 actions taken. Work remains to develop the methodology for
6 applying a risk scale to inspection findings, again, and
7 detailed industry data reporting still remains to be
8 finalized.

9 Finally, the Office of Enforcement worked closely
10 with these three task groups to ensure that proposed
11 enforcement policy changes are consistent with the
12 recommendations developed by the task group. These groups
13 agreed that any risk-informed criteria for violation
14 severity levels should be consistent with the risk-informed
15 scales being developed for assessing performance indicators
16 and inspection results.

17 Proposed revisions currently before the Commission
18 to the enforcement policy are consistent with the oversight
19 process recommendations contained in the SECY paper. NRR
20 and the Office of Enforcement are continuing to evaluate
21 options, which are listed in the paper, as we move forward,
22 on future enforcement policy revisions that would be
23 implemented.

24 COMMISSIONER MCGAFFIGAN: Madam Chairman?

25 CHAIRPERSON JACKSON: Yes.

18

1 COMMISSIONER MCGAFFIGAN: Could you amplify a
2 little bit more on your point on inspection, that you're
3 taking into account the strengths and weaknesses of PRA,
4 because --

5 MR. GILLESPIE: I think Mr. Mallet is going to
6 talk to that.

7 COMMISSIONER MCGAFFIGAN: Is he going to do that?

8 MR. GILLESPIE: Yes. I think Bruce is going to
9 address that.

10 COMMISSIONER MCGAFFIGAN: Mr. Lochbaum addressed
11 it last week and I want to make sure we're addressing his
12 concerns before he comes to the table.

13 MR. GILLESPIE: Yes. Slide six, the development
14 of these recommendations has resulted in potential policy
15 issues, and Sam summarized some of these that the staff
16 would like to highlight to the Commission and will require
17 continued staff work to address.

18 The staff will need to further evaluate how these
19 oversight processes recommendations affect 10 CFR Part 50
20 and other licensing functions. In particular, the use of a
21 risk-informed scale or measure will have to be closely
22 coordinated with other regulatory improvements that are
23 being made.

24 I would like to highlight that if you look in Reg
25 Guide 1.174, you will find that our risk scale and their

19

1 risk scale are quite similar. It's just that we put the
2 lower one on top and they put the lower one on the bottom.
3 But I didn't bring a whole bunch, but you will note on the
4 top one, in the descriptions, which are very hard to read in
5 my Xerox copy, are very similar to the scale we had.

6 So this coordination has already started to make
7 sure that we're in synch.

8 The second issue is event response and evaluation
9 processes that may need to be revisited by the staff as we
10 develop this new perspective on risk. The new oversight
11 processes do recognize that a certain number of random
12 events occur in the industry basically independent of plant
13 performance.

14 The N+1 policy for resident inspectors may warrant
15 reevaluation. The proposed new oversight process recommends
16 a certain level of baseline inspection effort to be
17 performed at all plants. The resources to require this
18 performed inspection may conflict with the N+1 policy.

19 In addition, the type of inspector needed to carry
20 out the focused program will cause a need to evaluate
21 specialists versus generalists.

22 Finally, there may be an impact on headquarters
23 and regional organizations. The structure of these
24 organizations, the roles and responsibilities of the staff
25 may need to change to support the new framework and

1 oversight process.

2 CHAIRPERSON JACKSON: It strikes me that what
3 you've outlined here on this particular slide are not
4 necessarily what I'd call stand-alone policy issues, but
5 really are policy implications of the process that you're
6 asking us to endorse, the concepts of today and ultimately
7 on a want-to-go-forward basis.

8 So I think the important thing is if it's not
9 built into what we have, that when you're talking about
10 getting the Commission's approval to go forward with
11 implementation on a pilot basis, that there is a clear
12 flow-through in terms of what the policy implications are in
13 all of these areas.

14 Because if Mr. Mallet is going to talk about a
15 risk-informed baseline inspection program, that has
16 implications for both, as you say, the number and the types
17 of inspectors. I think that's the point, the linkage, that
18 one wants to not have it as a disjointed set of policy
19 issues.

20 MR. GILLESPIE: Absolutely.

21 CHAIRPERSON JACKSON: I'm sorry. Commissioner?

22 COMMISSIONER DIAZ: No, that's okay. Just in
23 response, it hit my eye in here. I think sometimes we think
24 ourselves as the cavalry coming to the rescue and we used to
25 send teams every time something happened.

21

1 I understand that your new process, being
2 risk-informed, will actually bring into the area of how we
3 respond to events some kind of solid feedback that will make
4 those things happen only when they are needed and not just
5 because an incident happened that might not have any safety
6 significance. Is that correct?

7 MR. GILLESPIE: Exactly, and that's why we're
8 bringing this implication in. If, by policy, we apply a
9 scale to inspection findings, that same scale has a broader
10 application across the board. In fact, we're drawing on
11 things like, in developing that scale, precursor insights
12 and other data which is available to us to try to get that
13 sense.

14 COMMISSIONER DIAZ: Of course, it will have an
15 implication on resources as we learn more about the process.
16 You will be able to marshal resources in a better way by not
17 having to respond to things that you don't really need to
18 respond to.

19 MR. GILLESPIE: Right, exactly.

20 MR. COLLINS: That's correct. I think that will
21 be brought out during the next transition phase, as the
22 program is developed and we gain some experience with the
23 pilots. The key is between the risk-informed approach, our
24 transition, where we have the discipline, which is a key
25 word here, the discipline to monitor licensee performance

22

1 when licensee performance warrants their independent ability
2 to assess, react, and provide corrective action, will be a
3 key factor in a graded approach to our response to these
4 events.

5 That's part of the change process that we have to
6 work through, but that will result in your statement of the
7 graded approach to response.

8 COMMISSIONER McGAFFIGAN: Are we going to come

9 back to these policy issues at some later time or do we ask
10 questions on them now?

11 CHAIRPERSON JACKSON: I think it would be useful
12 actually to let each of the groups go through, put a dog-ear
13 on this page, and to have us have an opportunity, as
14 appropriate, to then talk about what we see or what the
15 staff brings out as the implications, because, again, these
16 are not things that can be evaluated in a vacuum. They're
17 basically implicated by the overall approach, which is why
18 the staff is asking for the Commission's -- whatever it is
19 you're asking for -- endorsement of the concepts at this
20 point, with a clear understanding that they will have
21 implications down the line here.

22 It could be that there could be an implication in
23 each of these areas, but then irrespective of that, the
24 Commission may want to make a particular decision of a
25 particular line in the sand. So that's part of it.

23

1 COMMISSIONER MCGAFFIGAN: I just hope that they're
2 going to address the implications as they go further.
3 Otherwise, I'll ask questions. Are you going to address
4 what the implications are? I can guess what the
5 implications are, I could probably read it in this tome, but
6 --

7 CHAIRPERSON JACKSON: I think he's trying to tell
8 us that at a certain level, it's -- but I don't want to put
9 words in your mouth, but if I heard you right, that all of
10 this has not totally been worked out at this point. That's
11 part of a pilot, once there is a go-forward.

12 MR. COLLINS: I believe those issues which
13 probably strike a resonance with the Commission, which are
14 perhaps the middle two, are fully explored during the
15 discussion.

16 I was very careful to say during my remarks that
17 these are potential issues.

18 COMMISSIONER MCGAFFIGAN: I'm interested in one
19 point.

20 MR. COLLINS: What we're trying to do is give the
21 Commission really early notice, if you will, that as we work
22 through the process to these points, we acknowledge that
23 there is an impact, given the current policy in these areas,
24 for that policy to be reassessed.

25 That doesn't necessarily mean that there will be a

24

1 change, but we run into a point where we say is it time now
2 to look at the way we have done business in the past and in
3 order to provide continuity, we would have to change the
4 business to maintain the status quo or do we want to
5 reassess these functions in general and make them more in
6 line with the overall approach.

7 Those options will be explored in the future.

8 MR. MALLET: Let me give one example of the
9 organizational --

10 CHAIRPERSON JACKSON: Let me let you just -- let's
11 try to have it as a structured presentation, if we can, and
12 if you could just fold that into your presentation.

13 MR. GILLESPIE: Last, going to slide seven, the
14 plan to transition to these recommended oversight processes
15 and the remaining staff work to be completed, to complete
16 the process development and implementation of the new
17 process, will be covered last in the briefing and we'll come
18 back to the schedules and other things and major steps.

19 However, there are two key points that warrant
20 highlighting at this time. First, the schedule proposed for
21 process implementation is described in the transition plan.
22 It differs from the schedule currently in the Chairman's
23 tasking memo dated August 25, 1998.

24 The staff has projected that a new oversight
25 process could become effective at all plants by January 1,

25
1 2000.

2 CHAIRPERSON JACKSON: What is the current
3 schedule?

4 MR. GILLESPIE: That's six months later than the
5 current schedule. It would have projected in the current
6 schedule that we would have had something in place by June
7 of this year.

8 CHAIRPERSON JACKSON: Now, is that because of the
9 six-month pilot program?

10 MR. GILLESPIE: Yes, exactly.

11 CHAIRPERSON JACKSON: So you're proposing that the
12 pilot program would begin when you originally would say that
13 the overall process would begin.

14 MR. GILLESPIE: Yes.

15 MR. COLLINS: June to December.

16 MR. GILLESPIE: June to December.

17 CHAIRPERSON JACKSON: Would be the pilots.

18 MR. GILLESPIE: Would be the pilots.

19 CHAIRPERSON JACKSON: And that's what you're
20 proposing to build in, basically.

21 MR. GILLESPIE: The delay is due to the proposed
22 six-month pilot program that would be performed at a sample
23 of plants. This pilot program, scheduled to be conducted
24 from June to December, would involve a complete test of the
25 system, the collection of PIs, the institution of the

26
1 risk-informed baseline inspection program, and the exercise
2 of the new enforcement options that would be developed, and
3 complete exercise of the assessment process.

4 So it would be a true -- we envision a true pilot.

5 CHAIRPERSON JACKSON: And would your intent be
6 that the pilot would be carried out in each region at some
7 subset of plants?

8 MR. GILLESPIE: The way we've tentatively sketched
9 it out, working with NEI and the industry, is two plants per
10 region, which would be selected based on things happening at
11 the plants. If a plant is having nothing happening, then
12 there is nothing to prove your PI is working or not working.

13 CHAIRPERSON JACKSON: Let me understand the point
14 of the pilot. The point of the pilot, relative to a
15 Commission decision-making, is that if the Commission says
16 go forward, the intent is, in fact, to migrate the
17 regulatory program; the pilot being to re-normalize, as
18 necessary, based on lessons learned from the pilot.

19 MR. GILLESPIE: Yes.

20 CHAIRPERSON JACKSON: Not that the pilot is, well,
21 we're trying this out to see if we really want to do it.

22 MR. GILLESPIE: No. It's a normalization. We've
23 really completely revised the inspection program and while
24 in the paper there are some first estimates about how long
25 we think a test could take, the proof is going to be in

1 actually doing the task over a span of time at the facility.
2 Also, our ability to collect performance indicator
3 information consistently from a range of facilities and
4 testing of the instructions to do that, and the assessment
5 process itself; how would we assess, what would the piece of
6 paper look like that's an assessment, and, also, in public
7 confidence base, that piece of paper is not only going to
8 the licensee, but working with other stakeholders, because
9 it will go to states and the public.

10 CHAIRPERSON JACKSON: I understand. But I guess
11 my basic point is, for clarity, that you're asking that both
12 the decision today, but particularly the March decision, is
13 that in making that decision, it is a decision to modify the
14 reactor oversight program.

15 MR. GILLESPIE: Yes, it is.

16 CHAIRPERSON JACKSON: The pilot program being to
17 do the kind of normalization and re-normalization that
18 you're talking about. But the decision is, in a certain
19 sense, to begin the pilot program, is the decision to modify
20 the oversight program.

21 MR. GILLESPIE: That's correct.

22 MR. COLLINS: Perhaps a clearer way to state that
23 is that there will be certain lead plants that will be
24 chosen and those lead plants will be used to further define
25 the process.

28

1 DR. TRAVERS: And then, of course, any refinements
2 that are identified, as necessary or advisable, would be
3 ones that we would come back to the Commission.

4 MR. GILLESPIE: Also, that's six months internally
5 -- now, that's externally. Internally, we've got
6 communications, training catching up with the computer
7 systems. If we get all of this data recorded, who --

8 CHAIRPERSON JACKSON: It's all right. Adams is
9 going to take care of that.

10 MR. GILLESPIE: So there's a multitude of
11 infrastructure questions which we need to get straightened
12 out over the course of that six months, also.

13 The second item I'd like to highlight is that
14 although the recommendations for approving the regulatory
15 oversight process should result in overall resource savings,
16 some of these savings have already been anticipated and
17 factored into the fiscal year 2000 budget. And we can talk
18 about more of that in detail, but --

19 COMMISSIONER DICUS: I have a question. We can
20 talk about it in more detail right now, then. Actually, I
21 had a question about how were these anticipated savings
22 derived for the year 2000 budget.

23 MR. GILLESPIE: Based on the fundamental
24 improvement in agency performance, if we go back into the
25 early spring in budget development and we had some insights

29

1 then that we were going to do what was then called phase two
2 of the inspection program, which is what this has become.

3 We had anticipated that based on improved
4 performance in the industry that we would need less reactive
5 inspection for '99, 2000, and then going out into 2001. So
6 it's that less reactive inspection that this reduction was
7 focused, already focused on.

8 MR. COLLINS: There's a little bit of a mix in the
9 budget process. The two years, for '99 and 2000, were minus
10 ten FTE for each year. In the year 2000, there was a

11 build-in of approximately seven for the cost, if you will,
12 of implementing the new process. Then the next year, that
13 cost is taken away and it's a further reduction.

14 The third year, which is fiscal year 2001, is when
15 we get into the actual credits for the oversight program,
16 for phase two of the oversight program. That delta is
17 approximately eight.

18 COMMISSIONER MCGAFFIGAN: Madam Chair.

19 CHAIRPERSON JACKSON: Please.

20 COMMISSIONER MCGAFFIGAN: You're saying we bet on
21 the come, it's going to come later, therefore, we have a
22 budget issue. I mean, our 2000 budget may be a bit low
23 compared to what --

24 MR. GILLESPIE: No, no, no, no, no. What we're
25 saying here is we would right now not recommend further

30

1 changes until we can develop the pilots, make sure that our
2 estimates have some validity to them, that they're not just
3 first estimates.

4 CHAIRPERSON JACKSON: I thought I heard you say
5 that in a certain sense, you could argue that, in a way, the
6 second bullet of resource savings is somewhat disjoint from
7 what you're asking the Commission to do, because what you're
8 doing is you're looking at what has been the industry
9 performance, anticipating fewer reactive inspections, even
10 within the existing programs.

11 MR. GILLESPIE: Even within the existing programs.

12 CHAIRPERSON JACKSON: And that's the minus ten
13 FTE. But you've built in, in fact, a plus seven for FY-2000
14 to implement the new program, but the actual minus has to do
15 with fewer reactive inspections in the existing program.

16 MR. GILLESPIE: That's correct. Right.

17 COMMISSIONER MCGAFFIGAN: People haven't seen our
18 budget request yet, but my recollection is the FTEs were the
19 least of it. The contractor support of inspection is at, I
20 think, an historic low, by any count. We are assuming
21 success and the major reprogrammings required if anybody
22 falls off the --

23 MR. COLLINS: We derive that number based on the
24 conclusion of the architect engineer inspections, but did
25 provide resources for the regions under the new optional,

31

1 supplemental module, if you will, for engineering and
2 design, and the numbers do support that.

3 Just as an elaboration, I think Frank mentioned
4 it, but it's important to note that the reduction in 2001 is
5 in the core program and that reflects going to the
6 risk-informed baselines.

7 MR. GILLESPIE: Risk-informed baselines.

8 CHAIRPERSON JACKSON: And that one is, right.

9 MR. COLLINS: The previous two years were in the
10 --

11 CHAIRPERSON JACKSON: But we haven't submitted
12 that budget yet.

13 MR. COLLINS: Right. That's a projection.

14 MR. GILLESPIE: That was the projection last
15 spring. By the way, I'm bringing these up because we did
16 spend some time in the paper itself discussing these points,
17 and I just want to make sure they're in perspective as to
18 why.

19 Finally, it's worth noting that although the staff

20 anticipates long-term overall resource savings, substantial
21 resources will be required in the short-term to complete
22 program development transition. Well, these short-term
23 resources, as Sam mentioned, have been already factored into
24 the budget and operating plans, with the suspension of SALP
25 and what we already had pre-programmed in, to put the new

32

1 program in place.

2 We feel that we're in reasonable shape to make
3 progress here.

4 Next, I'm going to turn it over to the task group
5 leaders to get into the details of the framework, then
6 inspection and assessment. So I'm going to call on Pat
7 Baranosky right now to start the oversight piece.

8 MR. BARANOSKY: Good morning. Today I'd like to
9 briefly discuss the logic of the technical framework and the
10 identification of key performance attributes that were used
11 to identify the performance indicators and inspection areas
12 that are a vital part of the proposed performance assessment
13 process.

14 I will also discuss the role and relationship of
15 the performance indicators and risk-informed inspections. I
16 will identify the performance indicators and associated
17 thresholds that we identified for near-term implementation.
18 I will discuss the conceptual model that we used to evaluate
19 the performance information and set the thresholds for
20 performance.

21 Lastly, I will present some information on the
22 performance indicator benchmarking that we did. Can I have
23 viewgraph nine, please?

24 This viewgraph, which we provided in our last
25 meeting in November, is a pictorial of the conceptual

33

1 framework that was developed prior to and during the
2 performance assessment workshop held September 28 through
3 October 1, 1998.

4 I'm going to briefly discuss this concept, again,
5 for continuity purposes and because this logical concept is
6 the underpinning for the performance indicators, inspection
7 activities and the assessment process that make up the
8 proposed reactor oversight process that we're here to
9 discuss today.

10 The very top box of this conceptual framework
11 relates this activity to the NRC's mission of protecting the
12 public health and safety with respect to civilian nuclear
13 power plant operation. This box is then broken down into
14 three strategic safety performance areas; the first
15 associated with reactor safety, the next one with radiation
16 protection, and the third one with safeguards.

17 The cornerstones of safety that were associated
18 with each of these strategic performance areas are basically
19 the safety functions or objectives that are needed to meet
20 each of the strategic areas and assure that the overall
21 safety mission objective is met.

22 With regard to reactor safety, we had four of
23 these cornerstones. The first was initiating events. Its
24 objective was to limit the frequency of those events that
25 upset plant stability and challenged critical safety

34

1 functions during shutdown, as well as power operations.

2 Mitigating systems was the second cornerstone.

3 Its objective is to ensure the availability, reliability and
4 capability of systems to mitigate initiating events to
5 prevent reactor accidents.

6 The third item is barrier integrity. The
7 objective of this cornerstone is to ensure that physical
8 barriers protect the public from radionuclide releases
9 caused by accidents.

10 The last element for this strategic performance
11 area is emergency preparedness. Its purpose is to ensure
12 that if implemented, actions taken by the emergency plan
13 would provide adequate protection of the public health and
14 safety during a radiological emergency.

15 The next strategic area is radiation safety and
16 there are two cornerstones here. The first one has to do
17 with public protection. Its objective is to ensure adequate
18 protection of public health and safety from exposure to
19 radioactive material released into the public domain as a
20 result of routine civilian nuclear reactor operations.

21 The next cornerstone in this area is occupational
22 worker protection and the objective is to ensure adequate
23 protection of worker health and safety from exposure to
24 radiation from radioactive materials during the routine
25 civilian nuclear reactor operation.

35

1 The last strategic area is safeguards. It has a
2 cornerstone of physical protection. The purpose of this
3 cornerstone is to provide assurance that the physical
4 protection system can protect against the design basis
5 threat of radiological sabotage from both external and
6 internal threats.

7 To reiterate once again, this framework is
8 constructed such that if performance is acceptable in each
9 cornerstone area, the overall objective of protecting the
10 public health and safety will be met.

11 Let me also mention, with regard to this figure,
12 that you will see some things under the cornerstones that we
13 called cross-cutting issues. They seem to affect a number
14 of the cornerstone areas. These include items such as human
15 performance, problem identification and corrective actions.
16 They are not cornerstones, but they are generally perceived
17 as being important performance considerations within several
18 cornerstones. These items are usually associated with root
19 causes of performance problems.

20 Adequate performance in these cross-cutting areas
21 will be assessed either explicitly through inspections, in
22 some instances, or, more typically, through inference based
23 on cornerstone performance results derived from both
24 performance indicators and supplementary inspection results.

25 What you see listed at the very bottom of this

36

1 figure are the other elements of this framework that were
2 developed during the last several months. They include the
3 performance indicators and performance thresholds,
4 inspection activities, and other factors such as licensee
5 self-assessment findings that would be factored into the
6 overall assessment of performance.

7 CHAIRPERSON JACKSON: Let me ask you a couple of
8 quick questions here. I guess I'm somewhat curious as to
9 why emergency preparedness is not also associated with
10 radiation safety; namely, protection of the public, because,
11 in fact, when you discussed it, you talked about it from

12 precisely that point of view.

13 I understand the issue having to do with during
14 routine operations, but an aspect of radiological
15 protection, in fact, relates to emergency preparedness in
16 terms of how the public --

17 MR. BARANOSKY: First of all, I think our logic
18 for each of the strategic areas is that all of them have to
19 do with protecting public health and safety. In this case,
20 it would be radiological protection, since we're not really
21 talking about OSHA type of issues.

22 So as you stated, Chairman, correctly, our
23 thinking was the first cornerstone has to do with reactor --
24 the first strategic area has to do with reactor accidents.
25 The next one has to do more with routine operation, and so

37

1 we separate it on that basis.

2 CHAIRPERSON JACKSON: And then the only other
3 question I have is you talk about safeguards from a physical
4 protection point of view, but, in fact, if you're looking at
5 non-diversion or theft, I mean, there are two aspects to
6 safeguards, and you might feel that the one is not so
7 important in typical reactor operations in terms of fissile
8 material content.

9 However, you speak about physical protection from
10 a threat point of view, but usually it's an integrated whole
11 of MPCA, material, protection, control and accounting, and
12 control and accounting, material control and accounting is a
13 key part. The physical protection system is a piece of it,
14 and a big piece, but, in fact, it's an integrated system,
15 and that is consistent with the approach that we take
16 internationally when we deal with other countries and when
17 we deal with counterpart regulatory agencies, that it's
18 material, protection, control and accounting.

19 MR. BARANOSKY: I think we would agree with that.
20 As you stated correctly, the concern about the fissile
21 material is rather small in comparison to the threat to
22 plant protection from external sources.

23 CHAIRPERSON JACKSON: Right, except that it is
24 also true that if there is a move to use a MOX, that it is
25 an issue and, therefore, in terms of a go-forward look, and

38

1 licensees have those systems already.

2 So I don't see that you just leave it out.

3 MR. BARANOSKY: Good point. Thank you.

4 COMMISSIONER DIAZ: I guess in that same vein, I
5 got confused, now, I'm a little rusty. The lines actually
6 are just indicating some priority system, because reactor
7 safety has to be with -- has to do with initiating events,
8 there were mitigation systems. So you're just focusing on
9 what is either an end point or a priority in this graph,
10 right?

11 MR. GILLESPIE: Yes. Let me help out. Emergency
12 planning, independent of which block it would be under,
13 would always likely be a separate block because of its
14 public impact. It was convenient to put it with reactor
15 safety, because it was related to the ultimate end of an
16 accident relative to public protection from an accident, as
17 separated from a transportation event or a packaging problem
18 or an off-normal occurrence, a steam generator tube rupture,
19 lifting of a relief valve so there's a release.

20 COMMISSIONER DIAZ: I'm actually going left of
21 that. You've got this line going from reactor safety to

22 barrier integrity and to emergency preparedness. In
23 reality, you're capturing all of the initiating events and
24 --
25 MR. GILLESPIE: Absolutely.

39

1 CHAIRPERSON JACKSON: The line should be there to
2 all of them.

3 MR. GILLESPIE: Good point. Yes. The line could
4 continue then to emergency preparedness. It's the ultimate
5 --

6 CHAIRPERSON JACKSON: No, no. I think he's saying
7 that you ought to have a line from reactor safety to --

8 MR. GILLESPIE: Okay. A line coming down from the
9 block. Okay.

10 CHAIRPERSON JACKSON: From reactor safety to
11 mitigation systems.

12 MR. COLLINS: For the purposes of some
13 illustration, with some latitude, if you will, what we're
14 trying to show is that initiating events drive those.

15 COMMISSIONER DIAZ: I understand.

16 MR. COLLINS: When you get to the point beyond
17 mitigating systems, then you're depending on those last two.

18 CHAIRPERSON JACKSON: But it's really a question
19 of public understanding, that you're making sure that you're
20 making -- even though there is the arrow from the one to the
21 other, from the left to the right, that from a public
22 perception point of view, that reactor safety means you're
23 crossing in all these areas.

24 COMMISSIONER DIAZ: The fact is if you look at
25 consequences, you will emphasize not having initiating

40

1 events.

2 CHAIRPERSON JACKSON: Because it could almost
3 imply that you don't start looking till you get down the
4 line, and that's not your intent.

5 MR. GILLESPIE: The intent was to display more
6 defense-in-depth. Breaking the chain at any point is what
7 we want to ensure. We want to ensure we can break it at all
8 points.

9 CHAIRPERSON JACKSON: In addition, I think that
10 just, again, for a public understanding point of view, that
11 your explanation that what you're calling reactor safety
12 relates to accident prevention and mitigation, what you're
13 calling radiation safety refers to protection in terms of
14 routine operations, and that in safeguards it's -- you know,
15 you really have to deal with MPCA, as well as the -- but
16 giving some emphasis to the physical protection part.

17 I think that helps in terms of public
18 understanding. It certainly helps in my understanding.

19 MR. BARANOSKY: Can we have viewgraph number ten?
20 An important aspect of our work was to determine the role
21 and relationship of performance indicators and risk-informed
22 inspection activities. Together, the performance indicators
23 and the risk-informed inspection activities are meant to
24 provide a broad sample of data to assess licensee
25 performance in the risk-significant areas of each

41

1 cornerstone.

2 Licensees have the primary responsibility for the
3 safety of the facility. They're responsible for a more

4 comprehensive and complete assessment of their plant and for
5 taking appropriate corrective actions to address safety
6 issues and declining safety performance.

7 The NRC is responsible for providing regulatory
8 oversight of those licensee responsibilities and associated
9 actions.

10 The performance indicators, to the extent
11 practical, are meant to provide the principal indication of
12 what the licensee's performance is. They are meant to be
13 the principal measurement tool, if you will, but we know
14 that the PIs, or performance indicators, have limitations.
15 We know that because of all the work that we've been doing
16 over the last few months and from past experience in which
17 we've used performance indicators, in part, as part of our
18 licensee assessment process.

19 Thus, we have a risk-informed baseline inspection
20 program that provides complimentary inspections in the risk
21 important areas that are not covered by the performance
22 indicators. It also includes inspections in areas where the
23 performance indicators exist, but they have recognized
24 limitations in their ability to capture performance data
25 relevant to all important performance attributes of the

42

1 cornerstones.

2 Lastly, verification inspections are included to
3 assure ourselves that we are getting good indication from
4 the performance indicators. Thus, both inspections and
5 performance indicators provide a broad and complimentary
6 information base upon which to draw conclusions about
7 licensee performance.

8 Now, we also recognized that there will be a need
9 for increased regulatory engagement to address instances of
10 licensee declining performance, and this would include
11 things like the use of reactive inspections to evaluate such
12 factors as licensee assessment of root causes and adequacy
13 of corrective actions.

14 In addition, we expect to continue to use
15 follow-up inspections to assess licensee response to
16 risk-significant events as they occur and in response to
17 allegations. Our intent would be to cover those more
18 exceptional cases of declining performance or
19 safety-significant events with another level of inspection
20 beyond the baseline.

21 However, this escalated regulatory engagement will
22 be focused on risk-significant aspects of licensee
23 performance and risk-significant events.

24 CHAIRPERSON JACKSON: Let me ask you a question.
25 Now, the PIs are to be provided by licensees, is that

43

1 correct?

2 MR. BARANOSKY: Yes.

3 MR. GILLESPIE: Yes.

4 CHAIRPERSON JACKSON: And what will you do if a
5 licensee fails to participate? What does that then do to
6 the overall program?

7 MR. GILLESPIE: One of the positive elements from
8 the way that Bruce and Pat approached it was, first, to
9 define the overall information needs that we needed for a
10 specific area. So going back for a licensee or a set of
11 licensees who do not want to participate on the PI end, we
12 would then fill in where our dependence was on PIs for
13 inspectable areas.

14 CHAIRPERSON JACKSON: So if a licensee doesn't
15 supply PIs for those areas where we believe the PIs can
16 cover the attributes or the cornerstones, then they're
17 basically inviting more inspection.
18 MR. GILLESPIE: Yes.
19 MR. COLLINS: That's correct.
20 MR. GILLESPIE: That's correct.
21 CHAIRPERSON GILLESPIE: This is the program.
22 MR. GILLESPIE: This is the program. That's
23 correct.
24 MR. COLLINS: The program will still work. In
25 other words, the backup is for the program to proceed, but

44

1 the information source be from NRC inspections rather than
2 PIs.
3 CHAIRPERSON JACKSON: Commissioner McGaffigan.
4 COMMISSIONER MCGAFFIGAN: I'm still stuck on last
5 week's briefing with Mr. Lochbaum and I have not had the
6 benefit of watching the interactions between the staff and
7 Mr. Lochbaum, but he has raised fundamental issues about the
8 risk-informed framework and last week he, for instance,
9 cited Wolf Creek versus Calloway, same plant, meant to be
10 identical significantly different contributors to core
11 damage frequency and significantly different initiating
12 events analyzed and emissions.
13 Does that have implications for an inspection
14 program? If the PRAs don't really identify the
15 risk-significant stuff very well, then are we building
16 something on a house of cards?
17 MR. COLLINS: If we can go to slide 11 and --
18 MR. BARANOSKY: But I wouldn't say that PRAs don't
19 identify the risk-significant stuff very well. I think what
20 I would say is that there are some limitations to the PRAs
21 and some of those limitations may be risk-significant, but
22 most of the risk-significant aspects of plant design and
23 operation are captured by the PRAs.
24 In fact, we have looked back at past history with
25 regard to issues that weren't captured well by PRAs through,

45

1 for instance, the accident sequence precursor program and
2 determined that, yes, there were some incidents where our
3 current inspection program or the PRAs didn't have
4 information, neither did the licensees, about the design of
5 their plant, that was somewhat risk-significant.
6 But once we were able to determine what that was,
7 we can factor those kinds of findings into future
8 inspections. That would happen whether we were using a
9 risk-informed approach or some sort of a general
10 deterministic review of licensee design.
11 CHAIRPERSON JACKSON: Let me ask you two
12 questions, because I think they relate to the Commissioner's
13 question, and I know Commissioner Merrifield is waiting to
14 ask a question.
15 One question is, do you believe -- and you're the
16 PRA expert around here -- that -- at the table anyway --
17 that irrespective of the specific numbers, that the PRA
18 approach and methodology allows you, in a relative sense, to
19 uncover where, in a given plant, the most risk-significant
20 areas of contribution should be?
21 Let me preface my statement by presenting you a
22 bias. So truth in advertising. My bias is that I'm not

23 sure that I'm such a big believer in specific core damage
24 frequency or large early release frequency numbers, but I am
25 a bigger believer in the ability, properly applied, of the

46

1 PRAs to give you a relative sense of where the risks are in
2 the plant.

3 So the question is, do you agree with my bias or
4 not, or what is your point of view.

5 GILLESPIE: Let me try one --

6 MR. COLLINS: I'm not sure how many options you
7 have, Pat.

8 MR. GILLESPIE: Let me take -- let me say I agree
9 and then say Bruce will be able to cover this in more detail
10 in his, because the way we approached this at a generic
11 level, looking at, I'll call it, all the insights from all
12 of the IPEs, was, in a sense, and I'm going to try to
13 remember as best I can, if you took the dominant sequences
14 that resulted across all PWRs and you used those basically
15 to define, and it has to be important at at least two
16 plants, but not necessarily important at all of them, and
17 you use those to define your inspectable areas, and then
18 when you go to apply and pick your sample on a
19 plant-specific basis, you can then pick the specific
20 sequences and what equipment is involved in those sequences
21 on a plant-specific basis.

22 CHAIRPERSON JACKSON: So that's how you go from a
23 basic template to the plant-specific.

24 MR. GILLESPIE: Yes. And what you're trying to do
25 is both capture that sequence that this plant picked up that

47

1 this didn't because of difference in analysts, but then
2 you're saying, okay, that gives me the area to look at to
3 get an indication of performance, but then you become
4 plant-specific when you get to your specific sample.

5 And we haven't written this piece yet, Bruce and I
6 have talked about it, but that's the next level of detail in
7 the procedure.

8 CHAIRPERSON JACKSON: Let me ask you a question.

9 MR. GILLESPIE: Did I come close?

10 MR. MALLETT: Yes. Let me add one thing to that.
11 When we go through the risk-informed inspection program,
12 part of the planning process is to first use this template
13 that you referred to, Chairman, to talk in general about
14 licensees by plant types, but then to modify that based on
15 the SRAs and risk analysts during the planning process to
16 bring in the specifics about that particular plant.

17 MR. GILLESPIE: Actually, that's what I meant in
18 my opening remarks when I said we tried to address, as a
19 process question in development, both the strengths and the
20 weaknesses as best we could.

21 And then the additional insights from precursors
22 and unanticipated events would then be factored in as a
23 learning lesson on an ongoing basis.

24 CHAIRPERSON JACKSON: Will the risk-informed
25 baseline strictly be predicated on PRA results one way or

48

1 the other?

2 MR. MALLETT: No. It's risk-informed, so it uses
3 other things besides a PRA analysis, such as history of
4 problems at the plants or neatness of design of the plant.

5 MR. GILLESPIE: One of the retrospective things

6 that Bruce's group did was say what design, for example, is
7 the preeminent area that's not covered by the PRA. It's an
8 assumption that the design will work, it's assumed.

9 So design is still a significant inspection area
10 within the inspection program because of that.

11 CHAIRPERSON JACKSON: You're speaking to
12 Commissioner McGaffigan particularly on that and I think
13 that's a concern.

14 MR. GILLESPIE: So it was an integration. Then
15 you have to say what are the assumptions that aren't
16 quantified in the PRA and then you have to make sure you've
17 touched those assumptions, because it's predicated on the
18 fact that those things are going well.

19 CHAIRPERSON JACKSON: Let me, if I can, because
20 Commissioner Merrifield had been holding on the line and
21 then Commissioner Diaz.

22 COMMISSIONER MERRIFIELD: Not to get down into the
23 weeds, but just to say we spent a good chunk of the weekend
24 reviewing this.

25 CHAIRPERSON JACKSON: So he's in the weeds.

49

1 That's good.

2 COMMISSIONER MERRIFIELD: I am struggling with
3 your indicator of risk-significant scrams per three years,
4 and this is referenced on page ten, and it's thresholds.

5 I was wondering if you could give me a better
6 ability to sort of understand risk-significant as it applies
7 to this particular indicator and why it takes 20
8 risk-significant events before the NRC would view that as
9 unacceptable performance. Let me just finish.

10 Later on, in appendix five, on page A5, you also
11 refer to risk-important scrams for a 12-quarter moving
12 period. So that gives me a -- what's the risk-significant
13 versus risk-important. I'm wondering if you could clarify
14 that for me.

15 MR. GILLESPIE: Let me ask, because this is an
16 important, ask Pat to go through how the first threshold
17 versus the other thresholds were established, because it's
18 risk-informed, but it's also performance --

19 MR. BARANOSKY: We are getting a little bit ahead,
20 but I can address that now. We did come up with a subset of
21 reactor scrams that, based on PRA insights, we thought were
22 the most risk-significant in terms of the severity of the
23 challenge that it presented to the plant and that subset we
24 felt should have a lower threshold or fewer of them should
25 occur than the other scrams, which were relatively benign

50

1 and didn't really challenge the plant very much.

2 I don't know if there is a problem with
3 terminology in one part of the report from another, that's a
4 possibility, but there are really only two different groups
5 of reactor scrams that we are trying to talk about.

6 The thresholds for these things were derived based
7 on performing a number of risk sensitivity analyses using
8 PRAs to see what happens when we put in certain frequencies,
9 how the risk changes.

10 For the most part, we selected numbers to go into
11 the table one there on performance indicator thresholds, and
12 their thresholds, that were enveloping a number of PRA
13 results. So even though you see, for instance, some of
14 these numbers for reactor scrams that are very large, that's

15 a risk-informed thought as to what the maximum number of
16 scrams that might be allowed as one approaches unacceptable
17 performance.

18 It's not really very likely or, in fact, it's
19 totally unlikely that any of them would get that far,
20 because we would expect that as reactor scrams go up, other
21 elements of the performance indicators are going to be
22 tripped. One can't have such sloppy operations that you
23 would have 20 reactor trips in one year and everything else
24 going smoothly. We would, from past experience, expect to
25 see a whole lot of indicators hit as the reactor trips move

51

1 up, even to much less than what you see in these tables.

2 Therefore, we didn't have a concern that this was
3 a large number of reactor trips.

4 COMMISSIONER MERRIFIELD: I understand. I'd just
5 say, though, from a transparency standpoint, what you're
6 doing is you're saying -- you're separating scrams from
7 risk-significant scrams. You have the overall global
8 perspective, then you have the subset which are more
9 risk-significant.

10 Again, to meet the -- even though it's one of many
11 criteria, even to meet that unacceptable performance, you've
12 got to have 20 risk-significant scrams, not 20 scrams, but
13 20 risk-significant scrams to be deemed unacceptable, and I
14 just -- that seemed high to me. That seemed high to me.

15 MR. BARANOSKY: That's based on risk.

16 COMMISSIONER MCGAFFIGAN: Madam Chairman.

17 CHAIRPERSON JACKSON: No. Commissioner Diaz.

18 COMMISSIONER DIAZ: I'm going to be finished
19 quickly. I was just going to direct us to the fact that
20 Chairman Jackson's bias must be correct, because it matches
21 mine.

22 [Laughter.]

23 MR. BARANOSKY: Well, I guess we can just end this
24 meeting.

25 MR. GILLESPIE: I think that the most important

52

1 threshold in this whole thing, and let me focus on the first
2 one. The first one is where we pass from a program that is
3 looking for indication to a program that becomes more
4 diagnostic and we get engaged.

5 The threshold where we get engaged is when we're
6 starting to ask the licensee the question what is the root
7 cause of this, how have you diagnosed it.

8 Also, the threshold on the three scrams -- I
9 thought you were kind of going a different direction. Let
10 me see if I touch the other part of your question. Three
11 scrams is very few. Three scrams is not risk-significant.

12 But the industry has a multi-year history that
13 says three scrams easily envelopes the performance of most
14 facilities. What we're looking at is that first threshold
15 is risk-informed, but it also has to be cognizant of what's
16 happening in the industry and how they are performing.

17 So the three scrams is a very low risk number,
18 Pat. Is it fair to say that industry performance also
19 influence some of those first thresholds?

20 MR. BARANOSKY: Yes.

21 MR. GILLESPIE: What's the envelope, when we
22 should be concerned, to get more engaged, because something
23 off-normal is happening?

24 CHAIRPERSON JACKSON: I think the difficulty is

25 this, but it's one that I've actually kind of cautioned or

53

1 expressed some concern to the staff about in the past, and
2 that has to do with it's very good and I would dare say, and
3 I'm not speaking for him, he'll probably jump and disagree
4 with me, but I think this relates to some of what Mr.
5 Lochbaum has concerns about.

6 It's nice to lay out conceptually, and I happen to
7 think it's a beautiful concept, a program, but until you
8 have clarity about what the NRC is going to do based on what
9 it finds, then it is difficult to kind of be able to swallow
10 the whole thing lock, stock and barrel, because that relates
11 to this issue about increased regulatory response band,
12 required regulatory response band, and what does
13 unacceptable -- does that mean it's a shutdown order.

14 These are the kinds of things, because that is
15 where the public has confidence or can develop confidence or
16 lose it relative to what the agency is going to do based on
17 what it finds.

18 And in the end, the agency has to talk about what
19 it's going to do based on what it finds.

20 Commissioner Dicus has been waiting, and then
21 Commissioner McGaffigan.

22 COMMISSIONER DICUS: We have a long waiting list
23 here, I think. I have several questions on table one, or
24 comments.

25 They fall much along the lines of what the

54

1 Chairman has been talking about and Commissioner
2 Merrifield's question. I, too, looked at the greater than
3 25 and greater than 20, and I know we're taking you ahead of
4 where you wanted to go, but I think that's where we were
5 leaping to, and your explanation helps, but I think from a
6 perception point of view, it's a little bit troublesome.

7 As just a very general statement, I tend to agree
8 with the cornerstones. Probably some refinements are
9 necessary. My questions may deal more with some of the
10 thresholds and whether these are really banding thresholds
11 or absolute thresholds.

12 It looks like, in some ways, we're almost heading
13 into a risk-based situation rather than risk-informed, and
14 perhaps bands are a little better.

15 This needs refining, I recognize that. But let me
16 ask you a question on the front end. Are these cornerstone
17 weighted?

18 MR. BARANOSKY: No.

19 COMMISSIONER DICUS: Okay. Then given that, when
20 we get into predominantly where it's radiation safety and
21 safeguards, a little bit down here, and barriers, and we get
22 into unacceptable performance, all the rest of those are
23 N/A.

24 MR. BARANOSKY: Yes.

25 COMMISSIONER DICUS: Is that governed by tech

55

1 specs? That once you go past the required regulatory
2 response band and you get into unacceptable performance,
3 have you tripped the tech specs and the plant would go down?

4 MR. BARANOSKY: In some cases, that's true. In
5 other cases, our feeling was that the performance indicators
6 in this area are relatively new and that what they can

7 indicate doesn't match up with the severity levels that are
8 associated with the performance bands that we identified and
9 that the inspection activities would probably be a better
10 measure of whether licensees were in compliance with what we
11 think is necessary to satisfy the cornerstone objectives.

12 So the performance indicators in a couple of these
13 cases had some limitations. For instance, you can't go
14 beyond a tech spec without shutting down, and yet we didn't
15 want to talk about certain tech specs being in one of these
16 unacceptable performance bands where we were talking about
17 fairly high risk situations, because there was a mismatch in
18 reactor safety severity, if you will, from what the tech
19 spec required versus what the indications were of being in
20 that particular performance area.

21 It's this whole business of risk-informing Part
22 50, for instance, where some of the elements of Part 50 have
23 much less risk implications than others, and we have to deal
24 with that here. That's part of the problem with taking
25 things that are not risk-informed and figuring out how to

56

1 put them in boxes that make sense with things that are
2 risk-informed, because I'm dealing with both.

3 COMMISSIONER DICUS: Let me ask you a question
4 then about one of -- down on containment leakage, and I
5 think this was an issue Mr. Lochbaum will probably bring up
6 to us, as well.

7 Is that -- how do you make that a meaningful --
8 explain how you're making that a meaningful indicator, when,
9 in fact, that's not something that's going to be evaluated
10 unless the plant is down. So it's always going to be green.

11 MR. BARANOSKY: It's not necessarily always going
12 to be green, but it is one of those indicators that's less
13 informative than others, but was included because we wanted
14 to have some indication of completeness in terms of
15 defense-in-depth.

16 It's not risk-informed. The leakage rates that
17 one finds from doing these kinds of tests have minimal
18 impact on public health and safety based on all the analyses
19 that are available, but from a defense-in-depth point of
20 view, it was one of the indicators that we put in there and,
21 as you can see, we have limited value associated with moving
22 beyond thresholds on that one.

23 COMMISSIONER DICUS: And one last question. On
24 physical protection, you have three to five reportable
25 events or six more reportable events. Is that per year or

57

1 per what sort of time-frame?

2 MR. BARANOSKY: That normally would be per year.
3 I'd have to go back and check the details, because I don't
4 remember all of them.

5 COMMISSIONER DICUS: That's the only one that
6 didn't have a bounding -- it's per year?

7 MR. GILLESPIE: It's per year.

8 COMMISSIONER DICUS: Thank you.

9 MR. GILLESPIE: Everything was done on an
10 annualized basis.

11 One of the limitations, and we talked about this
12 on November 2 when we were here, that we had, and this
13 directly addresses, I think, one of Mr. Lochbaum's concerns,
14 was we limited ourselves in something we thought we could
15 put in place by June, the data, in some cases, that we could
16 get, and reliability of heat removal systems in containment,

17 while we talked about it, it wasn't something we immediately
18 could get a number on. So that got left in the inspection
19 realm.

20 And this is a package. There's inspection and
21 PIs. So it's both. So it was kind of a matter of what we
22 could do right now, not foregoing anything in the future
23 that might be developed.

24 MR. COLLINS: Just a slight correction. The table
25 indicates, I think, David signaled me from the -- his chair

58

1 there. The table here indicates the frequency. Some of
2 those are three-year, some of those are annually. So it's
3 so indicated in those instances where it's more than a year.

4 MR. GILLESPIE: Where it's more than annual.

5 MR. COLLINS: But as you picked up, that should be
6 per year.

7 MR. GILLESPIE: I will try to adjust things a
8 little bit here in light of this discussion. If I could
9 have that backup slide on the mitigating systems, I'd like
10 to just make a point, I think, if that's available. Backup
11 slide two.

12 This is a little bit busy, but this is the kind of
13 charts that we put together for each of the cornerstones.
14 The point that I want to make is that we looked at a number
15 of factors.

16 I know you can't read it very well, but there are
17 things like design, human performance, configuration control
18 and so forth up there, and the groups that we had went
19 through these factors and asked the questions of what was it
20 that performance indicators could cover, what were the
21 insights from risk analysis, and what were other
22 considerations that we need to keep in mind from a
23 defense-in-depth point of view in terms of identifying both
24 performance indicators and inspection program interfaces
25 with those performance indicators.

59

1 That information was compiled for each of the
2 cornerstones and provided to Bruce Mallet's inspection
3 group. I think having said that, I will move off of that
4 particular topic.

5 Let me just ask if there are any other questions
6 on the performance indicator tables, because I'll move ahead
7 to the threshold discussion.

8 COMMISSIONER MCGAFFIGAN: Thank you, Madam
9 Chairman. I just want to, I guess, follow up on a question
10 that Commissioner Merrifield asked.

11 As I understood the answer on scrams, there aren't
12 a lot of plants that are going to trigger these thresholds,
13 but we expect them to trigger other thresholds and so we'll
14 still catch them somewhere.

15 I think that says -- I'm not sure what that says,
16 but if somebody gets into the white region on the A
17 indicator, are they in the white region everywhere or are
18 they in the white indication only for that section? Because
19 if you're really saying that the scram indicator isn't going
20 to be all that hot and something is going to go in the white
21 somewhere else long before it hits these scram numbers and
22 gets into white or yellow, then I'd want -- I guess I'd want
23 to trigger a fairly broad white for the -- and all the
24 implications that come with being white or yellow, or else I
25 want these things to line up better. One or the other.

1 MR. GILLESPIE: Right. And it's that weakness
2 which is why we have multiple indicators and also how you
3 react is laid out in a table. I don't want to steal Mike's
4 -- Mike Johnson has a whole presentation on the assessment
5 piece, how many whites in one cornerstone, whites across
6 multiple cornerstones, which brings this risk-informed
7 aspect up to what would the agency's reaction be to
8 different combinations.

9 So if I could defer. The answer is if you're in
10 white in one indicator, it is an indicator, we'd be looking
11 across 20 indications in seven inspection areas.

12 CHAIRPERSON JACKSON: So why don't we let Mike
13 Johnson do his thing, but we can only get there by letting
14 Mr. Baranosky finish.

15 MR. BARANOSKY: Let me address, before I get off
16 this table, one more thing about some of these comments that
17 I heard.

18 If performance is not declining to the point where
19 it's risk-significant, there is a question as to whether or
20 not the performance indicator is poor or maybe the
21 industry's performance is so good that in that particular
22 area, we're not going to see very many hits.

23 So I wouldn't necessarily say that we're missing
24 things. I think the real thing is we're giving indication
25 what the true state of the performance is.

1 Now, we know that this could be important from a
2 risk point of view, so it is included in here. And
3 occasionally, very occasionally, a plant will trip probably
4 on the reactor trips into the white zone.

5 Not very likely will they go into the next
6 regulatory zone because performance has been emphasized at
7 nuclear utilities in this particular area. But certainly we
8 would want to know and we would take significant actions if
9 there was a decline in these risk-significant areas.

10 CHAIRPERSON JACKSON: I think, again, as you go
11 along, and maybe Mr. Johnson is going to talk about this,
12 you have to talk about what increased regulatory response
13 band means, what is that, and the required -- I mean, what
14 does that mean, because I think that, again, because the
15 regulators' responsibility is -- your supposition is
16 probably true that it is unlikely because of overall
17 improvement in industry performance that people -- that a
18 plant might go from a white to a yellow band or beyond.

19 But what we have to do relates to what we have to
20 do, under the assumption that there could be one licensee
21 who might go all the way through. But to be clear on what
22 the minimum is that we need to do.

23 So I think if Mr. Johnson can speak to that, I
24 think that can help to clarify some things for the
25 Commission.

1 DR. TRAVERS: Chairman, we think it might be
2 advisable to -- and we'll just change the order of the
3 presentation just a big -- we were going to go next to
4 risk-informed baseline inspection, but we'll save Bruce for
5 third and we'll put Mike up in second place, if that makes
6 sense. But let's let Pat finish.

7 CHAIRPERSON JACKSON: I'm not sure. I'm not sure,
8 because I think that since what Mr. Johnson is going to talk

9 about -- I mean, if I'm not right, is how you draw on both
10 the performance indicators and the inspection results in the
11 assessment program.

12 DR. TRAVERS: Whatever your preference is.

13 CHAIRPERSON JACKSON: My preference is that we
14 stay the course. We just have to move faster along the
15 course.

16 MR. BARANOSKY: Let me move to viewgraph 14 then.
17 This is the conceptual model for evaluating licensee
18 performance indicators and I did work closely with Mike
19 Johnson on setting up this concept to go along with his
20 assessment matrix.

21 The characteristics of this model are that there
22 are multiple levels of performance with clearly defined
23 thresholds to allow unambiguous observation and assessment
24 of licensee performance. The thresholds are risk-informed
25 to the extent that they can be.

63

1 They're consistent with other regulatory risk
2 applications, like Reg Guide 1.174, for instance, or tech
3 spec requirements, and they could apply to inspection
4 results as well as performance indicators.

5 The thresholds are sufficiently separated to allow
6 licensees and NRC the opportunity to identify declining
7 performance and take corrective actions before reaching an
8 unacceptable level of performance.

9 Now, there are four bands here. The first band
10 identifies the licensee response band, is characterized by
11 acceptable performance on which the cornerstone objectives
12 are met, and the performance indicators and the inspection
13 findings are in the normal range, within nominal deviations
14 from expected performance.

15 The thresholds from this band were derived from a
16 review of past industry-wide performance and evaluation of
17 the risk implications of the bounds of this band.

18 In this band, licensees would have the maximum
19 flexibility to manage performance issues and the NRC would
20 have a baseline risk-informed inspection program.

21 When the performance is outside of the licensee
22 response band, a decline in performance will put the
23 licensees in what we're calling the increased regulatory
24 response band. Performance is still considered acceptable
25 and cornerstone objectives are still met, but there is a

64

1 small reduction in safety margins.

2 Performance would be within technical
3 specification limits and the risk implications of operating
4 within this band are characterized by changes in risk less
5 than a core damage frequency change of ten-to-the-minus-five
6 or large early release fraction of ten-to-the-minus-six, and
7 this would be associated with either performance indicators
8 or inspection findings.

9 By the way, currently, we only use core damage
10 frequency in our analyses to try and derive some of the
11 thresholds for this particular zone.

12 CHAIRPERSON JACKSON: Commissioner McGaffigan.

13 COMMISSIONER MCGAFFIGAN: Are we capable of making
14 these calculations in real time?

15 MR. BARANOSKY: Yes. In fact, that's a good
16 point. We aren't planning on making any real-time
17 calculations. What we did was a number of sensitivity

18 calculations to draw a perspective on where we should set
19 the performance indicator thresholds, what you saw in the
20 prior chart. So we did 13 or 14 PRAs' worth of sensitivity
21 analyses in trying to see how the risk would change as we
22 varied parameters associated with the performance indicators
23 and would match up with the kind thresholds that we had
24 here.

25 We then basically enveloped those results in

65

1 selecting the performance thresholds that you see in that
2 prior table. So we wouldn't expect any calculations.

3 If performance were to decline substantially, then
4 one could potentially, but unlikely, enter the unacceptable
5 performance band. We call this the point at which there
6 would be such a substantial change in at least perceived
7 risk and confidence in plant safety that there's likely to
8 be plant shutdown or at least operation wouldn't be allowed
9 in this range. Either, whether it's by tech spec
10 requirements or NRC order.

11 CHAIRPERSON JACKSON: Let me make two kind of --
12 perhaps they're semantic, but public perception comments
13 relative to this page with the conceptual model.

14 One might argue -- and this is separate than a
15 shutdown decision, I'm looking at the yellow band, which you
16 kind of skipped over.

17 I mean, one could argue that if cornerstone
18 objectives are met, but with significant reduction in safety
19 margin, and that tech spec limits have either been reached
20 or exceeded, that one would not call that acceptable
21 performance, that you would have to call it minimal,
22 minimally accepted or marginal performance, because that's
23 really what it is.

24 But to advertise that it is acceptable in the
25 sense that the green and the white are acceptable, I think

66

1 marginal performance or something like that is -- has to be
2 said, particularly if there is a required regulatory
3 response band.

4 And the issue is if it's acceptable, why is there
5 required regulatory response. So that's number one.

6 Then the last comment I have is that you go down
7 to the chart and you have the red and between each area you
8 have dotted lines. Then below the dotted line you have
9 unsafe performance. There is no below that dotted line.

10 Once you've gone to the red, you're where you can
11 go, and, therefore, you shouldn't have a line on here that
12 says unsafe performance, because you're not going to let
13 anybody operate. There is no such thing. You've already
14 said that plants -- and, you know, and you say plants not
15 normally permitted to operate within this band.

16 That seems to beg the question a bit, too. I
17 mean, if it's really unacceptable, unless there is some
18 compelling other reason, plants should not be permitted to
19 operate. And if that's the case, there is no such thing as
20 unsafe performance.

21 So I think that is a bad thing to have at the
22 bottom of this page, because it implies somehow that the
23 regulator will get down to unsafe performance, and that
24 doesn't make any sense, because you've already said that
25 it's unacceptable when you're above that dotted line.

67

1 MR. BARANOSKY: I agree with you, and that's our
2 intent, to say that basically once you've crossed into this
3 so-called red zone here, that performance is unacceptable at
4 that point and we're not going to wait until it degrades any
5 further.

6 The intent is to show that there is still some
7 margin from the point at which we would take these fairly
8 drastic regulatory actions and the point where we would say
9 the plant is unsafe.

10 CHAIRPERSON JACKSON: But if, in fact, it's
11 unacceptable performance, you're saying that the plant
12 performance is significantly outside the design basis.
13 There is a loss of confidence in the ability of the plant to
14 provide assurance of public health and safety with continued
15 operation and there is an unacceptable margin to safety.
16 There is no question.

17 So that's what I'm trying to say. I don't
18 understand the issue, why there is a "normally" in there,
19 particularly when you've already said that you're not even
20 -- you don't believe that, given the overall industry
21 performance, that there's likely to be a migration from the
22 white to the yellow.

23 Therefore, if something gets to the red, what is
24 there to hedge about, when you've got these points here.

25 MR. BARANOSKY: I don't think we would hedge.

68

1 CHAIRPERSON JACKSON: The "normally" is not
2 appropriate.

3 COMMISSIONER MCGAFFIGAN: But I think it does get
4 to the question I asked earlier about if you're red in one
5 of 35 indicators, does everything come down on you or not.

6 CHAIRPERSON JACKSON: That's a good question. Is
7 this a performance indicator specific or is there some -- is
8 this overall red when you have so many reds.

9 MR. BARANOSKY: I think Mike Johnson will show you
10 that. One red indication, that's enough.

11 CHAIRPERSON JACKSON: All right. I understand.
12 Go ahead, I'm sorry.

13 COMMISSIONER DIAZ: This is strange. I was going
14 to agree, partially, again, with the Chairman, again. In a
15 matter of semantics, if we're really going to deal with
16 this, I mean, green should be something like satisfactory
17 performance and white could be acceptable and yellow could
18 be marginally acceptable and red could be unacceptable.

19 The only way you can get them be on safe is
20 through an accident in which you bypass all of these things.
21 So an accident could get you into this line.

22 CHAIRPERSON JACKSON: But it should be

23 COMMISSIONER DIAZ: That's the only way.

24 CHAIRPERSON JACKSON: But it should be a box that
25 says accident.

69

1 COMMISSIONER DIAZ: Right, it should be a box.

2 CHAIRPERSON JACKSON: But it should not be
3 something in terms of the gradation of regulatory response.

4 MR. COLLINS: I accept that comment. I believe
5 what we were considering, and I'm trying to work my way into
6 the minds of others here, at the risk of going --
7 elaborating perhaps on our intent.

8 There are many stakeholders who say, well, the NRC
9 never really has a threshold by which you bounce a situation

10 where plants are truly unsafe. When does the agency ever
11 come to that conclusion?

12 This was meant, and it can be certainly indicated
13 in a different way, but this was meant to acknowledge that
14 we take regulatory responses above that point. But that
15 point does exist and we can acknowledge that it has occurred
16 under certain unforeseen, God forbid they ever happen,
17 circumstances.

18 CHAIRPERSON JACKSON: The real question is whether
19 unsafe performance is only an accident or if you have plant
20 performance significantly outside design basis, loss of
21 confidence and ability of plant to provide assurance of
22 public health and safety with continued operation, an
23 unacceptable margin to safety, is that not the actual point,
24 as opposed to an accident.

25 It's a subtlety, but it's an important point.

70

1 MR. COLLINS: It is a subtlety.

2 CHAIRPERSON JACKSON: Why is it that if somebody
3 has all these things, a licensee, are you -- you know,
4 you've lost ability, you've lost your confidence in the
5 ability, then that's where the -- I think he'll speak for
6 himself, but that's where the folks who worry about these
7 things say, you know, the NRC hedges on this kind of thing.
8 Whatever you call it.

9 COMMISSIONER MCGAFFIGAN: Madam Chair, I have a
10 sense, as Yogi Berra said, of deja vu all over again. One
11 of the first briefings that Commissioner Diaz and I attended
12 was on Maine Yankee and we got into what did they mean by
13 acceptable, good, superior, and various things, and is there
14 unacceptable.

15 But in looking at this in light of that
16 conversation, in some sense, green is the old superior,
17 white is the old good, yellow is the old acceptable, however
18 marginal, and unacceptable. We had that discussion in the
19 Maine Yankee briefing, when do you trip into --

20 CHAIRPERSON JACKSON: It's probably more
21 satisfactory, acceptable, marginal and unacceptable/unsafe.

22 MR. COLLINS: We actually try not to draw those
23 parallels, but --

24 COMMISSIONER MCGAFFIGAN: I know, you're
25 desperately trying not to. So it's like I have to do it for

71

1 you.

2 CHAIRPERSON JACKSON: But you basically have said
3 it. I mean, you are saying it, in so many words. And
4 people may not like it, but you've actually said it. And
5 whether it's because a green light is on or a white light or
6 a yellow or a red, the light that shines on you is basically
7 making the statement.

8 COMMISSIONER DIAZ: Yes, because unsafe means
9 there is a consequence to public health and safety, there's
10 been a radioactivity release of some sort. That's the only
11 way where we can say a plant is unsafe.

12 So that brings it into the accidental category and
13 it can be boxed somehow. I agree.

14 CHAIRPERSON JACKSON: But don't call it unsafe
15 performance, because you're not going to let anybody perform
16 unsafely. You've already said you're not going to let them
17 perform when they're at the unacceptable level. It's not
18 "normally."

19 MR. BARANOSKY: If I could go to the viewgraph 15,

20 I'll finish up.

21 CHAIRPERSON JACKSON: This has been very
22 interesting.

23 MR. GILLESPIE: This is exactly the kind of
24 feedback -- taking "normally" out is kind of a policy issue.

25 MR. BARANOSKY: The last thing I want to cover is

72

1 some of the benchmarking work that was done on the
2 performance indicators. The benchmarking was done against a
3 set of plants with histories of poor, declining, average and
4 superior performance, as identified by the current
5 assessment process in the senior management meetings over
6 the last several years.

7 We also looked at some plants that had significant
8 accident sequence precursors to see if the performance
9 indicators showed signs of declining performance associated
10 with these events, and our observations are as follows.

11 The vast majority of indications of declining
12 performance were in the increased regulatory response band
13 performance indicators were in the required regulatory
14 response band, and no performance indicators were in the
15 unacceptable performance band.

16 The performance indicators were found to
17 differentiate the NRC's watch list plants and the superior
18 performance very well and the transient and safety system
19 failure indicators were the best differentiators with
20 respect to the results of the current licensee assessment
21 process.

22 The performance indicators showed some ability to
23 lead the watch list, plant performance declines, but there
24 were several cases where the watch list plant performance
25 did not correlate with the performance indicators. It was

73

1 our judgment that the performance issues associated with
2 those plants were more suitable to inspection activities
3 than were the performance indicators.

4 We also noted that the occurrence of accident
5 sequence precursor events seemed to be random with respect
6 to performance indicator results.

7 However, when we consider the performance
8 indicators together with inspection findings, we believe
9 that the proposed performance assessment process will
10 provide good indication of licensee performance, with
11 opportunity to observe declining performance and take
12 corrective action before unacceptable performance is
13 reached.

14 CHAIRPERSON JACKSON: The question I have for you
15 is where do human performance, safety conscious work
16 environment, and problem identification and resolution come
17 into play? Are those areas that are inspectable areas or
18 how do they get covered?

19 MR. BARANOSKY: Those are the so-called
20 cross-cutting issues which we believe are either implicitly
21 captured by performance indicators and the kinds of
22 inspections that have been identified or, in some cases,
23 there will actually be some explicit attempt, for instance,
24 at the corrective action programs, to look at those
25 particular attributes.

74

1 CHAIRPERSON JACKSON: How do you get safety

2 conscious work environment and how do you get human
3 performance?

4 MR. BARANOSKY: We're not really trying to measure
5 safety conscious work environment, per se, because we know
6 that safety conscious work environment is like a causal
7 factor associated with a decline in performance in a
8 cornerstone area. So what we're looking for is decline in
9 performance in cornerstone areas and then implement
10 inspection activities to diagnose whether or not it would be
11 a safety conscious work environment, attitudinal type of
12 problem, or whether there are other fundamental technical
13 breakdowns that are the root cause of the declining
14 performance.

15 MR. COLLINS: Let me elaborate on that just for a
16 moment.

17 CHAIRPERSON JACKSON: Please.

18 MR. COLLINS: The safety conscious work
19 environment process, as was discussed somewhat yesterday,
20 will cross-cut through this area. It will be an external
21 effort, to the extent we still have the agency allegation
22 advisor who does the annual reviews of allegations and has
23 the thresholds for those plants that are focused on as far
24 as safety conscious work environment.

25 That's based on a paper guidance from the

75

1 Commission, where there are pre-set criteria for those
2 plants that come up as a result of typically a confirmed
3 HNI. That will continue.

4 We'll still have the regional allegation
5 coordinators, with the panels, that will engage OI resources
6 at the appropriate time, if there appears to be harassment
7 and intimidation issues. Those confirmed cases will, again,
8 drive our enforcement process, which will cause data, which
9 would drive the agency allegation advisor.

10 More to the point of this process, which relies
11 heavily on corrective action, our corrective action
12 procedure, the 4500 procedure, does contain words, as they
13 exist today, which will be reevaluated in conjunction with
14 this new process, which allows and provides for the
15 questioning of workers directly, the review of satisfaction
16 for corrective action and problem resolution, on a case by
17 case basis for the tracking and pursuit of issues that are
18 brought to licensees for resolution.

19 So we have those tools. To the extent that we'll
20 be focusing more on corrective action and correction action
21 effectiveness, there will actually be the opportunity for
22 heightened inspection in those areas, when those thresholds
23 are engaged. Those thresholds will have to be engaged by
24 the PI indicators that would indicate that the corrective
25 action system is not working.

76

1 Otherwise, the normal agency processes would
2 prevail.

3 CHAIRPERSON JACKSON: Please.

4 COMMISSIONER MERRIFIELD: Since the Chairman has
5 walked through the door of enforcement or opened the door of
6 enforcement, I will walk through it.

7 CHAIRPERSON JACKSON: It's a window, but it's the
8 35th floor.

9 COMMISSIONER MERRIFIELD: Well, I'll see if I can
10 parachute out successfully.

11 In the SECY, it states that the changes to the

12 inspection and assessment programs were integrated with
13 changes that were made to the enforcement program. It goes
14 on to state the assessment and enforcement processes are
15 more closely aligned and integrated to prevent redundant and
16 conflicting messages on licensee performance. Fair enough.

17 Yet, on page one of attachment five, the staff
18 indicates that it is premature to develop specific changes
19 to the enforcement process due to the ongoing efforts to
20 make improvements to the inspection and assessment
21 processes.

22 So I guess my question is, can you clarify the
23 overlap between integration between enforcement and
24 inspection and also to what extent have we reinvented
25 enforcement as it relates to this document.

77

1 CHAIRPERSON JACKSON: The two statements seem to
2 conflict with each other. Is that what you're basically
3 saying?

4 COMMISSIONER MERRIFIELD: Yes.

5 MR. LIEBERMAN: In the past, the enforcement
6 process, to some degree, led the assessment process and with
7 this effort that we're working on now, we want the
8 assessment process to lead the enforcement process.

9 So our thought process is we have to look at the
10 severity levels that we have in existing policy, compare
11 them to the thresholds that we're using in the assessment
12 process, make adjustments to the thresholds in enforcement,
13 the severity levels in enforcement, to make them match more.

14 The reason why we said it is premature is because
15 we wanted to work out the inspection process, the assessment
16 process, and once we're comfortable in how those processes
17 are going to interrelate, then we can work on developing the
18 severity levels. We want to have that done before the pilot
19 process is started.

20 So in the March time-frame, we need to provide the
21 Commission more specific thoughts on how the policy should
22 be changed.

23 In attachment five or enclosure five, we talk
24 about some of the principals that we want to use and there
25 are some options that we have to consider, especially in the

78

1 area when we aggregate level fours, where, in the past,
2 we've aggregated level fours and how should we be doing that
3 with this new process, and we have some stakeholder meetings
4 that we're planning to have to get some more input before
5 we're prepared to provide a recommendation.

6 COMMISSIONER MERRIFIELD: But is your intention in
7 the March time period to come back to the Commission having
8 gone over the three options that are included in attachment
9 five, and come back to us with recommendations as to how you
10 would implement that integrated with the inspection?

11 MR. LIEBERMAN: Yes. We plan to do that, so we
12 can test that or trial it as part of the pilot program.

13 CHAIRPERSON JACKSON: Thank you. Are we ready to
14 go to risk-informed baseline inspection?

15 MR. MALLETT: Good morning. I will try to go
16 through as quick as possible. If there aren't any more
17 questions, I'll pass it along to --

18 [Laughter.]

19 MR. MALLETT: Let me turn to slide 16. As we
20 indicated during our November briefing, we staffed a

21 14-person team to develop the concepts for the risk-informed
22 baseline inspection program. As Frank Gillespie indicated,
23 we're here today to describe some of those concepts of that
24 program, answer any questions you have, and ask that you
25 approve of our going forward with the concepts in this

79

1 program in some sort of a pilot program.

2 Before I discuss the concepts, however, I wanted
3 to go through and discuss the methodology used by the task
4 force, briefly, on slide 16, and the product we produced. I
5 believe this will address some of the issues you raised in
6 the November Commission briefing and I felt it important to
7 go back and do that.

8 As far as project methodology, as I indicated, we
9 staffed a 14-person team. One of the issues that you had
10 for us was to make sure we have inspectors on that team,
11 both region-based and resident inspectors. We did have.

12 You also asked us to make sure we talked to the
13 stakeholders, internal and external, during the process to
14 factor in their concepts, as well, and we did that.

15 I would also make a comment here about the Office
16 of Research. They had an independent project in the
17 beginning where they were looking at risk-informing the
18 baseline inspection program or some sort of inspection
19 program. They changed and combined with us and provided
20 input into this program.

21 In fact, some of the risk tables were done by
22 their contractors for us. I think that's a very important
23 point on integration to make.

24 We first used the framework output as a guideline
25 and for this we used the cornerstones of safety and the

80

1 objectives of each one to determine what to inspect. And
2 the backup slide number two that we referred to earlier,
3 that's a little busy, if you look at that, shows you the
4 link between the cornerstones of safety for the mitigation
5 system, if you take it as an example, down to the
6 inspectable areas.

7 There are two objectives in there for their
8 mitigation system, is to have equipment alignment at power
9 and equipment alignment during shutdown conditions. If you
10 look down below that, it shows you the inspectable areas
11 that we chose to determine whether those objectives are met.

12 We also indicated performance indicators in
13 conjunction with that. So it's an important link to make.

14 Also, Commission Diaz, you asked us to make it
15 clear what the objectives were for the cornerstones and we
16 attempted to do that in the paper this time.

17 Another concept that's important to understand is
18 that this program was developed as a replacement for the
19 current core program. In other words, it's a baseline or
20 minimum level that will be performed at all power reactor
21 facilities. The concept is that it would replace the core
22 portion of the current manual chapter 25.15, but not replace
23 the initiative or the reactive inspection portions. But it
24 is a minimum level that will be done at all plants and any
25 further would be an increase above that baseline, any

81

1 further inspection.

2 We also benchmarked other agency programs. You
3 all asked us to do this to make sure we gleaned anything we

4 could from that. We took two programs, that for the
5 Environmental Protection Agency and that for the Federal
6 Aviation Administration.

7 In the case of the FAA, there was a government
8 accountability report done in February of '98, of this year,
9 and it listed weaknesses in that program from a risk
10 perspective and how they could improve the program. We took
11 those, and I'll just give you a couple of examples.

12 One was that they felt the program needed to have
13 a team approach. They thought you glean more information
14 from teams that look in-depth at programs. Another was that
15 you must have checklists for inspectors to use to be
16 consistent in their approach.

17 This is consistent with our experience, both these
18 concepts, and they were factored into the program.

19 Last, in the product methodology I mentioned, but
20 certainly not least is we solicited stakeholder comments and
21 issues throughout and we factored those into our final
22 product.

23 An example of some issues are how would a
24 performance indicator relate to an inspectable area, and we
25 captured this in something called a basis document, which is

82

1 in appendix I or the first appendix to attachment three. We
2 did an explanation of that.

3 If you can turn to slide 17, I'd like to talk
4 about the product produced and some of the concepts. We did
5 produce a product called, and I made an error on the title,
6 we called it NRC nuclear power reactor baseline inspection
7 program. We left out risk-informed, one of the most
8 important parts of the program. So if you would add that to
9 your slide, I would appreciate it.

10 This program is described in attachment three to
11 the SECY paper. It's broken into nine sections. Each of
12 those sections describe a specific concept of the program.

13 It was meant to be one package, so that you could
14 take it off your shelf and use it to describe the entire
15 program instead of having to look at multiple manual
16 chapters as you do currently.

17 The next concept and the product produced was
18 something called risk-informed matrices. There are two of
19 these. They were developed, as I said, by experts on our
20 team in risk analysis. They were also developed by the
21 Office of Research and contractors they had to provide
22 insights.

23 We have them as examples, two sheets from them, as
24 backup slides three and four to the slides in your package.

25 RIM number one, risk-informed matrix number one,

83

1 talks about the frequency, how much you sample, and the
2 bases for that frequency and how much you sample
3 determinations.

4 RIM number two, risk information matrix number
5 two, talks about the important systems that you would select
6 to inspect during the inspection process. And, Commissioner
7 McGaffigan, you asked the question about PRA and some of the
8 strengths and weaknesses. One of the strengths, we felt,
9 for including in these two RIM tables was the data analysis
10 that's occurred across the industry. There's a lot of data
11 being collected and it describes pretty good what are the
12 safety important systems.

13 One of the weaknesses, though, as Dr. Lochbaum has
14 mentioned earlier, are the uncertainties in some of those
15 analyses and the assumptions that were done to arrive at the
16 results of those analyses. So in the process, we've chosen
17 to do two things.

18 One is we didn't limit some of the systems we
19 included in that table just because they were a low
20 frequency. We put some of them in. We felt that it was
21 important to have them in there.

22 The other thing we did was in the planning process
23 that I'll describe in a few minutes, we also said you've got
24 to, when you're doing looking at the generic table, you've
25 got to factor in site-specific information from the senior

84

1 reactor analysts in the region and from the residents in the
2 region.

3 The last item I want to mention about the product
4 produced, we did go back and do -- I used the preliminary on
5 purpose. We did a preliminary analysis of how we propose
6 the program would lead an inspector to areas where there
7 have been past problems in plant performance.

8 We chose five plants. We took them from the list
9 that Pat Baranosky and his group had looking at performance
10 indicators and we looked at, first, how those plants
11 performed based on did we have a diagnostic evaluation team
12 there, did we have an independent review team, and what were
13 the lessons learned from those teams. Then we looked,
14 second, at would our current program bound that with the
15 inspectable areas.

16 It's important to understand. We felt it would be
17 too biased to say that we would exactly pick upon that
18 finding. I'm not sure you can ever say that. In hindsight,
19 you certainly can. I'm not sure up front. But we did feel
20 that our program, in all those cases we picked, the
21 inspectable areas would bound the problem. In other words,
22 we would be looking in the same area where the problem
23 occurred, and you should pick up, we felt, the fact that
24 there was a problem and be able to expand your inspection
25 program to look more in-depth.

85

1 COMMISSIONER McGAFFIGAN: One of the points that
2 Mr. Lochbaum makes is that he doesn't see, and I must admit
3 I haven't gone through this document, objective criteria
4 whereby if you go into one of these inspectable areas, you
5 decide that -- I don't know -- your red, green, white,
6 yellow, whatever, you know, if we're doing that, we're back
7 to grading items, which may or may not make sense.

8 But he doesn't see objective criteria. So we
9 might be inspecting there and without objective criteria, an
10 inspector might not -- in his eyes, it may be acceptable,
11 and in another inspector's eyes somewhere else, it might not
12 be.

13 So is the intent at some point to have thresholds
14 for if you find this, then this really is -- even though the
15 PIs are all running along in green, this is a significant
16 issue and could bring this area into white or yellow?

17 CHAIRPERSON JACKSON: Let me ask a question. Will
18 the inspectors be doing the grading or is it that they're
19 going to get guidance relative to what Commissioner
20 McGaffigan is raising in terms of what gets written up or
21 not?

22 MR. MALLETT: They will get guidance, but they will

23 also have the ability to do the grading with the manager in
24 the post-brief from the inspection.

25 But let me answer the question a little

86

1 differently. It's a good point that was made. We have a
2 hole in the program right now and that's one of the work
3 remaining items that we have, to develop a risk rule, if you
4 will, for the inspection findings and what these mean from a
5 significance standpoint. We recognize we have to do that
6 prior to any pilot.

7 The other thing, however, we have to develop are
8 the specific procedures the inspectors will use to look at
9 these inspectable areas and the vision is that those
10 procedures will have the reference to the criteria they're
11 measuring against as far as a particular regulation or
12 requirement.

13 So you want to have them some sense before they go
14 out to do the measurement what the criteria is they're going
15 to measure it against and linked to the objectives of that
16 cornerstone.

17 COMMISSIONER MCGAFFIGAN: It sounds like -- if
18 it's a hole, it sounds like a significant hole. How quickly
19 are you going to fill it?

20 MR. MALLETT: WE have people working on that, in
21 December and today, working on this risk rule as a
22 guideline.

23 CHAIRPERSON JACKSON: So it's going to come back
24 when you come back in March.

25 MR. MALLETT: Yes. If we don't have it by then, we

87

1 won't be ready to do the pilot. That's correct.

2 CHAIRPERSON JACKSON: The only comment I would
3 have is -- and maybe it's a question of presentation. But
4 you talk about -- you present your RIM in terms of hours per
5 site and then you have something called level of effort, and
6 it strikes me that what the migration is to samples.

7 You have an inspectable area, but the question is
8 you have your risk-informed sample and that drives some
9 baseline of hours.

10 MR. MALLETT: That is correct.

11 MR. GILLESPIE: That is a presentation problem.

12 CHAIRPERSON JACKSON: All right.

13 MR. MALLETT: It's also, when we put the table
14 together, if you look at RIM number one that you're
15 referring to, some of the areas -- an example I'm looking at
16 is in the mitigation system cornerstone. If you look at
17 equipment alignment, we specified, under level of effort,
18 the number of systems you would look at and how often you
19 would look at that.

20 It's a concept that eventually that will be filled
21 in for everything. But in the two months, there were some
22 things we said we don't have a good guideline, let's just
23 put some hours down there that we think it would take and
24 not have a specific sampling.

25 But to do it right, you will have a specific

88

1 sample on each category.

2 CHAIRPERSON JACKSON: It has to be a sample-based
3 inspection.

4 MR. MALLETT: That's correct.

5 MR. COLLINS: Chairman, that's not to say that the
6 PBPM process won't have accountability as far as level of
7 effort.

8 CHAIRPERSON JACKSON: That's fine. I understand.

9 MR. COLLINS: Or clearly that doesn't drive the
10 process. It's planning first and planning is determining
11 what you have to look at and what the scope is.

12 CHAIRPERSON JACKSON: Right, what's the goal, what
13 the outcomes are, which means what you inspect with a
14 sample, what the resource load is.

15 MR. MALLET: When we laid out the risk-informed
16 matrices, we laid out first how much we want to look at and
17 how often. Then we said, however, we need some budget tool
18 for resources, so we need to put some hours to this.

19 MR. GILLESPIE: And that's important, because a
20 lot of people have focused on the hours. But just as Bruce
21 said, first, it was to sample how many, how often, and then
22 it was a best estimate to get a perspective on the hours.

23 CHAIRPERSON JACKSON: Okay.

24 MR. MALLET: If I could have slide 18. I want to
25 talk about some other key concepts in the program. What you

89

1 may want to do is, on a blank piece of paper, draw some
2 blocks for a flow diagram. I did it on a three and a half
3 by -- a three-by-five card. You may want to take more
4 space.

5 But if you go to the left of your blank piece of
6 paper, you first want to draw a box that says the scope of
7 the program. That scope of the program, then draw an arrow
8 going into that box that says framework, cornerstones and
9 inspectable areas. We lost our budget for graphics in
10 Region 2.

11 [Laughter.]

12 CHAIRPERSON JACKSON: So framework is coming from
13 above.

14 MR. MALLET: That's correct. Framework is coming
15 from above to the scope of the program in the large box.

16 MR. COLLINS: We had to pay your per diem up here,
17 that's why.

18 MR. MALLET: And if you go down to the fourth
19 bullet on slide 18, you'll see we talk about the scope of
20 the program is defined by something called inspectable
21 areas. These are not only listed in the charts, we used an
22 example in backup slide two, but they're also listed in
23 table one of attachment three by cornerstone.

24 They're also included in the program based upon
25 their need to monitor the objective, whether it's being met

90

1 at that cornerstone, and whether or not it was risk
2 important.

3 The next concept I want to talk about -- and by
4 the way, I skipped over the first three bullets on this
5 page. We've talked about them previously.

6 The next concept I want to talk about is the last
7 bullet on this page, called the basis documents. We took --
8 in the current program, you have inspection procedures that
9 have a checklist of things to look at, then you also have
10 something called guidance, which is experience, insights
11 into why you look at certain things.

12 We took that and put it into an appendix which we
13 call basis documents for each inspectable area. So if
14 you're drawing the flow diagram, you would draw an arrow up

15 and put the words basis documents factoring into the scope
16 of the program.

17 We also took, in the basic document, and described
18 what would be the scope if you go out to inspect this
19 inspectable area, what are you expected to look at and how
20 much, and we attempted to describe that or each one in those
21 basis documents.

22 If you go to slide 19, the next block, you want to
23 draw over to the right of the scope of the program, is
24 planning inspections, and we've talked about this just
25 briefly, but I would mention some things about it.

91

1 It's based on a 12-month cycle. We wanted to
2 correlate it with our fiscal year. That's how we do our
3 other planning in the agency. It would be guided by
4 risk-informed matrices. So under planning inspections, you
5 want to draw an arrow up and put RIM number one on there.
6 The first thing you do when you sit down in your PPR process
7 -- I'm sorry -- plant performance review process, planning
8 piece, is you look at RIM number one to decide how much
9 sample should I take, how much should I look, how much time
10 by each inspectable area.

11 CHAIRPERSON JACKSON: How do the RIMs relate to
12 the PIMs?

13 MR. MALLETT: Well, they're two different things.
14 The PIM is a summary of the finding from an inspection and a
15 RIM is a template, as you call it, for planning of how much
16 you might look at a particular inspectable area to arrive at
17 a good sample of that objective.

18 Now, your results of your inspection that you
19 would get out of PIMs, however, should be factored into your
20 RIMs as a feedback loop, and we did that when we created the
21 RIMs. We not only looked at risk analyses, but we took
22 inspectors' experience on the team. We talked to NEI and
23 industry, we talked to the regions, to factor that into
24 those RIMs. So there is some correlation.

25 CHAIRPERSON JACKSON: But don't the PIMs also have

92

1 to be aligned according to the cornerstones that you talked
2 about?

3 MR. MALLETT: Absolutely, yes. You would have to
4 -- if you're planning to look by cornerstones, your findings
5 should definitely be --

6 CHAIRPERSON JACKSON: By cornerstones.

7 MR. MALLETT: -- by cornerstone, that's correct.

8 MR. GILLESPIE: Which is one of the procedures
9 with 610, how do you write an inspection report, which we
10 have to reevaluate.

11 MR. MALLETT: The next item you draw in your flow
12 diagram is how you select the sample and you draw plant
13 inspections and over to the right of that you put how you --

14 CHAIRPERSON JACKSON: Forget it. Just talk to us.

15 MR. MALLETT: Okay. RIM number two was meant to
16 decide how you select your sample. You go to the generic
17 template for a BWR or a PWR and it tells you the
18 risk-significant systems or activities and you select those.

19 But as you indicated earlier, it has to be
20 modified by plant-specific information, from senior reactor
21 analysts during the planning process.

22 The last concept, if you skip to the last bullet
23 on page 19, I want to talk about the assessment findings.

24 We discussed this earlier. This is where, Commissioner
25 McGaffigan, you indicated we have a hole that we have to

93

1 fill.

2 The idea or concept here is that we will
3 categorize the findings when we develop our PIM into certain
4 categories or bins that's would relate to a threshold of
5 significance, if you will; is it risk-significant, is it not
6 risk-significant, and we're developing that and we recognize
7 that we have to complete --

8 CHAIRPERSON JACKSON: But it makes no sense,
9 again, if you haven't linked them to the cornerstones that
10 you start with.

11 MR. MALLETT: That's correct. It also has to match
12 the RIM tables. If you say it's important to look at in the
13 first place, you find it must be important. So that's
14 correct.

15 COMMISSIONER MCGAFFIGAN: Madam Chairman, we keep
16 talking about risk-significant, but we still have this
17 deterministic framework. I can imagine you'd get an
18 inspection finding that somebody violated something, it may
19 be something that shouldn't still be on the books because it
20 isn't risk-significant, the risk-significance is precisely
21 zero, but it's a clear violation of a rule.

22 How do you write that up if you're only caring
23 about risk significance?

24 MR. LIEBERMAN: It's in how you disposition it.
25 And if the Commission approves the proposal for the level

94

1 fours, that would be considered as NCV, left to the
2 licensee's corrective action program, and not be subject to
3 formal enforcement action.

4 COMMISSIONER MCGAFFIGAN: But my recollection is,
5 from Mr. Lochbaum and NEI's evaluation of our evaluation of
6 our escalated enforcements, they found risk significance
7 that might be less than or close to zero, even in some of
8 our escalated enforcements.

9 CHAIRPERSON JACKSON: That's why he's saying there
10 is a phase two on the enforcement policy.

11 MR. GILLESPIE: A reconciliation to the risk scale
12 that we've proposed is going to be an important step in the
13 next two or three months, which will give us a different
14 perspective.

15 CHAIRPERSON JACKSON: And they haven't had the
16 chance to do that yet. When will we be getting that, Jim?

17 MR. LIEBERMAN: That will be the March -- a lot of
18 things are happening in March. But I hesitate to, and I
19 probably shouldn't, but I will, raise the -- the debate is,
20 that's where the options in attachment five address and
21 that's what we have to resolve for the March paper.

22 CHAIRPERSON JACKSON: Commissioner Merrifield says
23 beware the Ides of March. Do you want to make a comment?

24 COMMISSIONER MERRIFIELD: No, no. That's fine.

25 COMMISSIONER MCGAFFIGAN: April Fool's Day, also.

95

1 MR. COLLINS: I have more confidence in the staff
2 than that.

3 COMMISSIONER MERRIFIELD: So do we.

4 CHAIRPERSON JACKSON: Absolutely.

5 MR. MALLETT: Let me go through two more concepts.
6 If you look at the second and third bullets on slide 19, two

7 other parts of this program, very important parts, are the
8 verification and performance indicators.

9 As we said, in some instances, we would only
10 inspect areas where we do not have performance indicators or
11 where the performance indicator is not all inclusive. So
12 it's important that we do a sampling process for that
13 verification.

14 The last is, Chairman, you asked about problem
15 identification and resolution. We've factored it into the
16 program from two aspects. One is we put ours and we plan to
17 put in the procedures, when you look at each inspectable
18 area, you will look at their problem identification and
19 resolution programs to see if they are identifying problems
20 and fixing those problems.

21 But we also put that every two years we will have
22 a biannual independent review of that, of the program, which
23 will be across cornerstones and would also be independent of
24 the individuals that routinely looked at these areas during
25 the year.

96

1 CHAIRPERSON JACKSON: I see.

2 MR. MALLETT: This addresses one of the issues by
3 the regional administrators, is how can we get this
4 cross-look across all the cornerstones. You may say be
5 looking all your effort in one cornerstone and you may have
6 the same problem in another one, and this is one of the ways
7 we felt that we could approach that process.

8 I would end my part with saying what can you
9 expect from this proposed program. We expect that you will
10 have focused on risk-important activities and the planning
11 process. We expect that it will be less subjective and
12 increases -- the increase that you would perform an
13 inspection above baseline will be defined, and we would
14 expect that if anyone asks why do we inspect something or
15 what we're inspecting, you can draw a direct link to our
16 mission of protecting public health and safety by looking
17 through the cornerstones and their objectives.

18 With that, I'll turn it over to Mike Johnson, who,
19 long awaited, is going to talk about the assessment.

20 MR. JOHNSON: Thanks, Bruce. Good morning. Slide
21 20, please. I will discuss our recommendations for revised
22 reactor performance assessment process, including the key
23 concepts of the proposed process. I will also describe
24 specific assessment activities and what I believe is the
25 heart of the process, which is the matrix that identifies

97

1 actions to be taken based on performance results.

2 Finally, I will discuss the approach we will use
3 to verify process feasibility and efficacy prior to
4 implementation and to measure success and provide for
5 continued improvement feedback after implementation.

6 Slide 21, please. Before I mention the key
7 concepts, let me remind us that the purpose of the
8 assessment process within the oversight framework is to
9 assemble and integrate performance indicator and inspection
10 results within the cornerstones, to arrive at objective
11 conclusions, to identify resultant regulatory actions based
12 on those conclusions, to communicate the assessment results
13 and actions to the public, and to provide feedback to the
14 process to verify that actions taken by licensees are
15 effective.

16 Slide 22. There are several key concepts of the
17 process I'd like to highlight. First, as mentioned earlier,
18 both performance indicators and inspection results grouped
19 by cornerstone area -- again, grouped by cornerstone area,
20 as the Chairman said, will be inputs to the assessment
21 process. Both have thresholds associated with them and
22 crossing the PI or an inspection cornerstone threshold will
23 have similar meaning and will result in the NRC considering
24 similar action.
25 Second, the process results in the evaluation of

98

1 the plant's performance over a 12-month rolling window. As
2 I'll discuss shortly the process has both an ongoing and a
3 periodic assessment activities associated with it throughout
4 that 12-month window, and we'll describe that a little bit.

5 As is true with our current assessment processes,
6 we would not wait for a formal assessment activity to take
7 action in those situations where an immediate response is
8 warranted.

9 Number three, the process provides a graded
10 approach to management participation, inspection resources,
11 actions and communications, as you will see as we look at
12 the action matrix itself.

13 The process does not provide for use of the watch
14 list or superior performer recognition, and, again, when we
15 focus on the action matrix, that will be readily apparent.

16 Last, but not least, plants in an extended
17 shutdown would be removed from this process and would be
18 governed by other oversight processes, as is our current
19 practice today.

20 Slide 23. Now I plan to spend a few minutes
21 describing the specific activities of the proposed
22 assessment process. This slide actually indicates the basic
23 steps that we believe have to be accomplished for any
24 assessment process. I'm not going to spend any time really
25 discussing the bullets on this slide, but I would like to

99

1 point out that our recommendation provides for a single
2 assessment process, an integrated process that accomplishes
3 these activities.

4 The framework provides a structure for organizing
5 and compiling the data and the thresholds to be used in
6 evaluating the PIs and the inspection results. Following
7 the comparison of the results against the established
8 thresholds, actions are determined based on a matrix.

9 The assessment results and actions are
10 communicated to licensees in a graded manner, as you will
11 see. The effectiveness of the actions are monitored through
12 future PIs and future inspection results both through the
13 risk-informed baseline inspection program that Bruce has
14 described and our other inspection activities that we'll do
15 where those inspection activities are warranted.

16 CHAIRPERSON JACKSON: Let me ask you a question.
17 Your paper states that there will be two meetings held per
18 year that would result in inspection plans being
19 promulgated, but only one will contain an assessment of
20 performance.

21 Now, how does that play off against where we are
22 today with the PPR, where, in fact, there are assessments in
23 letters that are transmitted twice a year?

24 MR. GILLESPIE: Let me -- the vision is that the
25 once a year assessment will be actually more than what we

100

1 have today.

2 CHAIRPERSON JACKSON: I see.

3 MR. GILLESPIE: So we're looking at potentially
4 one, two or three pages of additional real assessment
5 information that would be derived and put out. Not a SALP
6 report, but based on an explanation, in prose for people to
7 understand what the indicators information are telling us.

8 The mid-cycle, if you would, or the every six
9 month one would clearly articulate changes in the inspection
10 program or our reactions to changes relative to the
11 threshold is broken and we have to have some reactive
12 effort. It would not be a complete assessment package.

13 So it would be a scaled-back adjustment in the
14 inspection schedule, but it clearly would have to articulate
15 why inspection would change and what our reaction is.

16 CHAIRPERSON JACKSON: And that's an implicit
17 assessment.

18 MR. GILLESPIE: And that's an implicit assessment.

19 MR. COLLINS: In the vernacular of planning and
20 budgeting and performance measurement, the annual is the
21 planning, the budgeting. The performance, calibration and
22 the measurement would be the mid-cycle and that would loop
23 back through.

24 CHAIRPERSON JACKSON: So the full one is on an
25 annual, but it's mid-cycle in the PBPM.

101

1 MR. COLLINS: That's correct, and it's meant to be
2 aligned, if possible, with the budget cycle.

3 MR. MALLET: With the fiscal year.

4 CHAIRPERSON JACKSON: That's interesting.

5 COMMISSIONER MCGAFFIGAN: Madam Chair, could I
6 ask?

7 CHAIRPERSON JACKSON: Please.

8 COMMISSIONER MCGAFFIGAN: I guess I'm still
9 working on this hole. How is the inspection results --
10 really, it's -- it's Commission Dicus' earlier question.
11 How are they weighted? If you have some findings in an
12 area, you're saying you organize and compile the data, but
13 then what is -- how do we then weight the data, give weight
14 to PIs versus inspection findings versus whatever?

15 MR. JOHNSON: If I can, and we haven't, again,
16 worked out all of the details of this, but if you will, as
17 inspections are conducted, those inspection results would be
18 captured in the PIM or something that is a replacement to
19 the PIM by cornerstone area. So you would have -- for an
20 individual cornerstone, you would have PIs associated with
21 that cornerstone and the threshold associated with it.

22 In addition, you would have that collection of
23 findings and it's our intention to develop an ability or a
24 tool to allow inspectors to look at the individual findings,
25 to grade those findings high, medium and low, if you will.

102

1 Basically, the ability of that finding to impact the
2 cornerstone.

3 So you would look at, for that cornerstone area,
4 what does that collection of findings tell you. If you
5 have, for example, only low significance findings, if you
6 will, then that is analogous to not crossing -- that would
7 be analogous to not crossing a threshold for PI, and so you

8 would be in the green band, if you will, with respect to
9 that inspection area.

10 So as you then look at the findings and you have a
11 medium significance or, for example, a high significance
12 finding, that would cause you to cross an inspection
13 threshold in a similar way as you would cross a PI
14 threshold.

15 So we're going to look at setting up some criteria
16 to enable us to, in a qualitative way, gauge the
17 significance of findings and then based on two or three
18 mediums or one high, for example, assigning some crossing of
19 a threshold that enables you to take similar action as you
20 would if you crossed the PI threshold.

21 COMMISSIONER MCGAFFIGAN: What I hear Mr. Lochbaum
22 saying, Madam Chairman, is we'd better be pretty specific,
23 because whenever you say qualitative around here, it gets
24 translated as subjective and I think people are looking for
25 fairly objective judgments.

103

1 The other question I have is, do our inspection
2 findings get -- if there is a significant violation found,
3 does it get in the PIM or whatever the follow on to the PIM
4 is or is there a lag? How does the interaction between
5 inspection findings, assessment and enforcement work, if,
6 indeed, you all are thinking of taking somebody to an
7 enforcement conference or something?

8 Is there going to be a lag?

9 MR. GILLESPIE: Let me address that. Given we'll
10 probably reformat the inspection reports to line up with
11 cornerstones, the PIM will be put in just as it is today and
12 it's basically coincidental with the issuance of the
13 inspection report or very shortly thereafter.

14 So the lag is -- there fundamentally is no lag
15 with the issuance of it. The PIM is just a summary of the
16 inspection results. It's not a unique document that has new
17 information on it, and every entry in the PIM is intended to
18 have -- to be tied to a public document. So it's not an
19 original document, it's not a source document, if you would.
20 It's a summary for use.

21 We're going to do our best to be as specific as we
22 can in a rule-based process to give inspectors a way to
23 judge the findings.

24 CHAIRPERSON JACKSON: Does this answer your
25 question?

104

1 COMMISSIONER MCGAFFIGAN: No, not totally.

2 CHAIRPERSON JACKSON: You'll have to rephrase it,
3 because --

4 COMMISSIONER MCGAFFIGAN: I'm still trying to
5 figure out how you add it all up in an objective way so that
6 we're not accused of -- well, plant X had three significant
7 and one whatever, but we gave them a pass, and this one had
8 the same thing and we decided it was significant.

9 Are there going to be objective criteria for --
10 and it's hard, because an inspection here may be very
11 different from an inspection there. So there is some
12 subjectivity, I understand that, but how do you -- how do we
13 avoid the subjectivity complaint that's the complaint about
14 the existing system?

15 MR. GILLESPIE: Again, we're right in the process
16 of developing it. I'm being cautious to give out examples
17 that I've kicked around with some of the staff that's

18 working on it until we do it, but there is --
19 MR. MALLETT: Let me mention one thing, Frank. The
20 individual inspection findings would -- the difference from
21 today, they would all use this risk rule. So hopefully they
22 would be consistent in that if you had a significant finding
23 at plant A, you would have that -- and you have that same
24 finding at plant B, it would also be considered significant.
25 So there is some leveling, if you will, or equalizing, thank

105

1 you, of those inspection findings individually.

2 Then Mike is going to show you an action matrix
3 that's going to talk about how you might compare the number
4 of findings you have in a particular cornerstone.

5 MR. COLLINS: I don't think that challenge is that
6 much different than the challenge we have today with
7 consistency of findings, although we're subject to comments
8 in those areas, certainly. But I believe the structure of
9 this process will help that environment.

10 COMMISSIONER DIAZ: I am trying to see this thing
11 in here and if I visualize what you're trying to do, you're
12 trying to put an entire process which, in a certain way,
13 because of the amount of information and the flow of
14 information and the time limits of information and
15 infrequency, you are actually self-correcting when there is
16 an inspection process and there is a discrepancy.

17 That will actually be matched with some other
18 piece of information. So in that way -- you know, these
19 things are not isolated issues, where you're trying to make
20 them an integral process in which both inspections and the
21 performance indicators and so forth, once they get together,
22 if there is a discrepancy and, of course, engineers are
23 driven by discrepancies, how we correct processes, then that
24 becomes a way to correct what the discrepancy is, rather
25 than looking at them as just an isolated issue.

106

1 Is that correct?

2 MR. COLLINS: Yes. And just to show you that NRR
3 is a learning organization, Mark Twain was wrong. It isn't
4 acceptable to say "I don't know." But we will work on these
5 and we'll take them away.

6 MR. JOHNSON: We truly recognize that this is one
7 of the challenges. In fact, I think I mentioned in November
8 that this was going to be one of the difficult areas, and it
9 will be, and we've been working and we'll get there.

10 We think that it makes a lot of sense. In fact,
11 we don't see a way to make the process work unless you find
12 a way to look at each individual finding and gauge for
13 yourself, gauge for the regulator, gauge for the licensee
14 whether it's significant, and then, based on that, to put it
15 in the same process where we're looking at PIs, and you need
16 to do that.

17 So we need to get to an answer and we're working
18 and we'll get there.

19 Slide 24. We've already been talking about this a
20 little bit. This table provides a summary of the assessment
21 process activities that would occur during the annual
22 assessment period, including when they would occur, who
23 would conduct the activity, and what the activity is
24 intended to achieve.

25 As indicated by the table, inspectors maintain a

1 continuous awareness of the performance of a plant through
2 ongoing inspections. Beyond this continual monitoring, as
3 PIs are received each quarter, the regional branch chief
4 will conduct an informal review of the PI and inspection
5 results to verify their accuracy and identify performance
6 trends.

7 Typically, only small changes in assessment inputs
8 would be expected and resultant incremental changes to plant
9 inspections would be made as appropriate.

10 If significant changes occurred, the quarterly
11 review could be used to trigger significant action.
12 Following this review, the PIs and inspection results would
13 be released to the public.

14 So as a minimum, each quarter, we would look at
15 the PIs, we would look at the inspection results for trends,
16 make any incremental adjustments to the plant inspections,
17 and we would issue the PIs and the inspection results to the
18 public and to licensees.

19 CHAIRPERSON JACKSON: What do you do if you just
20 find a big problem tomorrow? It's not your quarter, it's
21 not on your quarterly review time line. What happens then?

22 MR. JOHNSON: I think what we envision is if you
23 find a significant problem, then you take a look at that
24 problem and ask yourself should that problem be dealt with
25 in our routine assessment process or do we wait it out; that

1 is, do we wait till the next quarter or does that problem
2 that we found --

3 CHAIRPERSON JACKSON: What is Hub supposed to do?
4 Something has happened in a plant in his region.

5 DR. TRAVERS: We're going to do what we do today,
6 and that is react appropriately, involve the appropriate
7 levels of management, first in the region and perhaps in
8 headquarters, to evaluate and react.

9 CHAIRPERSON JACKSON: I'm just making sure, and
10 understand me, we have him out there. You're handcuffing
11 him to a quarter? He still gets to do his job.

12 MR. GILLESPIE: The key to your question was
13 significant. Once you've made the significance judgment,
14 then we're in a diagnostic mode and we're reacting.

15 CHAIRPERSON JACKSON: Okay.

16 MR. JOHNSON: At the six-month period, a mid-cycle
17 review would be conducted. This review would be similar in
18 purpose to our current PPRs, plant performance reviews, and
19 would be conducted with a similar level of regional
20 management participation.

21 Again, the purpose of that mid-cycle review is to
22 evaluate the performance and plant inspection activities for
23 the next six months and to issue an inspection look-ahead
24 letter to the licensee.

25 At the 12-month period, the end-of-cycle review

1 would be conducted. The end-of-cycle review would provide a
2 comprehensive evaluation of plant performance and will plan
3 inspection activities for the next six months.

4 Whereas the mid-cycle review is conducted by the
5 regions, the end-of-cycle review will include participants
6 from both the regions and headquarters. This will help
7 facilitate consistency between the regions.

8 The results of the assessment, along with the
9 inspection plan, would be documented in an annual assessment

10 letter to the licensee and would be made available to the
11 public. For most plants, the end-of-cycle review will
12 complete the annual assessment cycle.

13 However, those plants warranting consideration for
14 agency level action will be forwarded to the agency action
15 review meeting.

16 CHAIRPERSON JACKSON: Will all these reviews be
17 done in time? I mean, you're planning to structure them to
18 coincide with the planning and budgeting cycle. Is that the
19 whole point?

20 MR. JOHNSON: Yes. The agency action review is
21 conducted by senior agency managers shortly after completion
22 of the end-of-cycle review meeting. This meeting is
23 analogous to today's senior management meeting and is
24 intended to provide a collegial review by senior managers of
25 the performance of plants requiring additional oversight and

110

1 of the proposed actions to ensure the agency's response is
2 properly coordinated, balanced and consistent.

3 Upon completion of the agency action review, the
4 staff will brief the Commission on the results for all
5 plants, with a focus on plants that require approval of
6 agency actions, if any. The Commission would approve the
7 results by negative consent prior to their release.

8 The staff will then issue assessment letters and
9 inspection plans for all plants and communicate each plant's
10 results via a public meeting.

11 COMMISSIONER MCGAFFIGAN: So we replace the watch
12 list with the agency action list. It strikes me that
13 there's still -- if you focus on discussing plants X, Y and
14 Z at the meeting, it doesn't take our colleagues in the
15 press much time to say that these are the plants that are
16 giving the NRC staff the most trouble over the preceding
17 year and while they've gone -- don't use the term watch list
18 anymore, this is the equivalent of the old watch list.

19 MR. COLLINS: That's correct, Commissioner. There
20 will be, potentially, and this is not predictive in any way,
21 but there is potentially a category of plants which the
22 normal processes will not solicit very appropriate response
23 and corrective action.

24 And in those cases, the reasons for that may not
25 be fully understood. That would normally, historically at

111

1 least, prompt a diagnostic or a situation in which we engage
2 a licensee through more contemporary tools, like the ISAT
3 recently, to try to understand the root cause of that plant
4 performance. That will be a specific potential category of
5 plants.

6 MR. GILLESPIE: But I think more importantly, one
7 of the strengths of this whole system is going to be a clear
8 articulation of what our expectations are and Pat looked at
9 some data on this. There is an expectation that about 50
10 percent of the facilities should be able to operate in a
11 satisfactory zone on all indicators. Right now, just based
12 on historical information, and the idea here would be that
13 it's reasonable to assume that everyone should be striving
14 to work toward that area.

15 This data will be available quarterly. So there
16 will actually be more data, more relevant and more timely
17 for the safe operation of these facilities available to the
18 public than there is today.

19 So it would lead down that path, but the
20 information would be out on a quarterly basis.
21 MR. COLLINS: The difference between the
22 historical senior management meeting and this process will
23 be, as Frank mentioned, that all the information is
24 available throughout the course of the annual cycle. The
25 trends, in the instance of a plant that doesn't respond

112

1 appropriately, and, again, this is predictive, would be well
2 known not only by the agency, but by the licensee.

3 Any corrective actions that are implemented over
4 the course of the year would be agreed upon based on the
5 engagement thresholds and either the trend in response,
6 which would be upward, or the lack of a trend, which may be
7 neutral or downward, would be well known.

8 COMMISSIONER MCGAFFIGAN: Madam Chairman. Would
9 they all have received -- I'm looking at the sequence here
10 -- these assessment letters at the end of cycle review, do
11 all 103 plan 70 licensees receive their assessment letter
12 before the senior managers meet to decide about agency
13 action?

14 MR. JOHNSON: No. In fact, there is something --
15 it's not by accident that all of the plants -- what we
16 intend is that all the plants would get their assessment
17 letters at the same time and it would happen after the
18 Commission meeting.

19 One of the reasons we're doing that is because
20 we're trying to prevent setting up something that could
21 create an unofficial watch list, if you will. I mean, we
22 try to be very careful not to send one group of plants a
23 letter at one time and then have a separate group of plants
24 that get a letter at a separate time. They all get the
25 letter at the same time after the completion of the

113

1 Commission meeting.

2 COMMISSIONER MCGAFFIGAN: I'm just following up on
3 an issue that Commissioner Diaz has raised in the past, this
4 due process issue. They all will have the first three
5 quarters of data. They won't have the last quarter and what
6 the end-of-cycle summation of the entire year, which
7 oftentimes, in our old SAW process, put particular emphasis
8 on the most recent.

9 So there might be some value in just -- you know,
10 even if you're going to raise the plant to agency action
11 level, give them all their assessment at the end-of-cycle
12 and then give them, those few plants that come to the senior
13 management meeting, they get an additional letter after --
14 whatever you call it -- the annual meeting and the
15 Commission briefing, they get an additional letter following
16 that.

17 So everybody gets their letter, everybody knows
18 what your last quarter view is and what the overall view is
19 and they can sort of read between the lines; gosh, I'm going
20 to get another assessment in two weeks based on this thing
21 or I'm home free.

22 One of the complaints has been that you -- at some
23 point, you get in the room and --

24 CHAIRPERSON JACKSON: It's a big surprise.

25 COMMISSIONER MCGAFFIGAN: And there are surprises

114

1 that come out of it.

2 MR. GILLESPIE: The expectation here is a gradual
3 engagement from the first threshold that's crossed,
4 proportional to the problem that's seen. So as one
5 threshold is crossed, there would be more engagement between
6 us and the licensee; anything from asking them how did this
7 happen to a special inspection.

8 I think important to note here is that we believe,
9 in the thresholds, there is enough room for a well operated
10 facility to function without crossing a threshold. So the
11 fact that one threshold is crossed and then a second and a
12 third is an indication of a problem, and that would progress
13 -- you see that progressing through the year.

14 So there would be an ever increasing engagement as
15 you get to the year. Also, the data on the PI part is
16 coming from them, so they would have their last quarter
17 data. In fact, they'd have the data before we did and I
18 would expect that if a facility had poor data, that if I
19 were them, I'd send a letter in saying what I'm doing about
20 it at the same time I sent my letter to the NRC telling me
21 the thresholds I crossed.

22 Just fundamentally, it's in the nature of people,
23 I think, to do that.

24 MR. COLLINS: The structure of the meeting,
25 however, is subject to clearly Commission guidance. Your

115

1 points are well taken and we'll take those under advisement.
2 The second issue that you touched upon is a very good issue,
3 and that's due process. It's not unforeseen that there may
4 be dual presentations to the Commission, one with the
5 staff's view of what that data and what that information
6 portrays, the other being the licensee's view.

7 That would allow the Commission perhaps to balance
8 the information and balance the licensee's intent and their
9 insights into what that information means. And that would
10 allow the Commission then to proceed.

11 COMMISSIONER MCGAFFIGAN: I'm not trying to drag
12 this out, but based on what Mr. Collins has just said,
13 that's another argument for putting that assessment letter
14 out. So if you're going to give them the chance to be at
15 the table that day, you sort of have to have some mechanism
16 to communicate, even before the negative consent paper comes
17 to the Commission, that you may be in the hot seat in a
18 month, because the end of cycle comes, two weeks after that
19 this management meeting comes.

20 Nothing happens around here in less than two
21 weeks. Two weeks after that, the Commission briefing comes.
22 So you're probably talking first of March, well after the
23 quarter is over, and if they got their letter at the end of
24 February -- excuse me -- at the end of January, like they
25 would at a typical quarter, they would have that month to

116

1 prepare and maybe try to disabuse the senior managers of
2 what the findings say.

3 I'm trying to think about the sequence, and I'll
4 leave it at that.

5 MR. COLLINS: I understand.

6 CHAIRPERSON JACKSON: Okay.

7 MR. JOHNSON: I'd make just one last comment on
8 this table, and that is it should be noted that if no plants
9 warranted agency action level review, we wouldn't conduct --
10 we would not conduct an agency action level review. The

11 Commission briefing would still be held and assessment
12 letters would still be issued.
13 Slide 25. Now I would like to briefly, hopefully,
14 review the heart of the process, which is the action matrix.
15 First, let me point out that although the action matrix
16 guides staff actions during the quarterly and mid-cycle
17 reviews, its formal application is intended for use at the
18 end-of-cycle review.

19 So it's really intended, this table is really set
20 up for use at that end-of-cycle review that we've just
21 talked about.

22 The action matrix establishes the expected ranges
23 of responses and communications to be considered by the
24 staff based on licensee performance. Along the left column
25 of that table, you will see responses include management

117

1 meetings, inspection, licensee actions and regulatory
2 actions. As I mentioned earlier, as you go across and, for
3 example, look at those actions, you'll see missing, again,
4 use of the watch list, the trending letters, a recognition
5 of superior performance.

6 As you can see by looking at the left column of
7 this table, of the matrix plants for which all PIs and all
8 cornerstone inspection areas are in the green band would
9 receive only the risk-informed baseline inspection program.
10 The assessment report would be issued following the annual
11 Commission meeting, along with all the other plants.

12 The letter would be signed out by the regional
13 division director and the branch chief would conduct the
14 public meeting. So we're talking about pushing down, from
15 today or -- I'll say days of old, the SALP process, who
16 signs out, how we conduct -- what the level of interaction
17 is for a plant that has all indicators in the green band,
18 all inspection areas for each cornerstone in the green band.

19 Then if you move over one column, for plants with
20 one or two whites, we would continue to conduct the
21 risk-informed baseline inspection, with additional
22 inspection to follow up on those areas where thresholds have
23 been crossed. So that the real trigger is to cross a
24 threshold. If you cross a threshold, that's where we're
25 going to look within that particular area that you've

118

1 crossed a threshold to do some additional inspection beyond
2 the risk-informed baseline inspection.

3 We would document the licensee's response to the
4 degraded area in an inspection report. But as with the left
5 column, where all the plants performance indicators and
6 inspectable areas are green, the inspection -- I'm sorry --
7 the assessment letter would be signed out by the regional
8 division director and a branch chief will conduct the public
9 meeting.

10 In fact, if you'll think back on the action matrix
11 and what we discussed with -- what Pat discussed, the bands,
12 if a plant fell in the left column or the second to the left
13 column, we really consider that that plant is in the green
14 band. That plant is in the utility response band. That
15 plant has no more than one or two PIs crossed, no more than
16 one or two inspection areas crossed. So that's a plant
17 that, in general, we think performs fairly well.

18 That's why, when you look at the actions we're
19 taking, we're talking about the risk-informed baseline, with
20 additional inspection for those one or two areas where we've

21 crossed some thresholds.
22 MR. COLLINS: Commissioner McGaffigan, you made a
23 point earlier and I want to be sure we have addressed your
24 issue in the context of the discussions so far.
25 This is where the resource implication potentially

119

1 comes in. We're looking at the difference between a
2 two-unit site presently which contains approximately 2,200
3 hours of core inspection to a risk-informed baseline
4 inspection of about 1,850, somewhere between 15 and 20
5 percent less.

6 This cascades down into a number of staffing
7 issues, potentially, depending on the scope and depth of the
8 inspection program, which get to the type of inspectors that
9 are needed to support this level of effort; how many of them
10 should or should not be at this site, what that does to the
11 regional DRS core of independent inspection expertise.

12 All of those issues will come up as a result of
13 the program being further defined and they will be brought
14 forward as potential policy issues through Bill.

15 COMMISSIONER MCGAFFIGAN: The only question I have
16 on that is I would imagine it's worse at a single-unit site
17 in terms of mismatch between hours and -- because you have
18 three for a two-unit site, if it's N+1, and two for a
19 single-unit site.

20 Yet, we've always felt that we shouldn't isolate
21 an individual out there. So the dilemma I think is going to
22 be for the single-unit sites and how you use that resource.

23 CHAIRPERSON JACKSON: And the Commission may have
24 to weigh in and make some statement about what it thinks may
25 be needed or may be fundamental.

120

1 MR. COLLINS: It will be a balance of policy
2 issues, because there is more than one consideration,
3 certainly, when you're staffing sites and providing
4 inspection support.

5 MR. JOHNSON: Looking at the table, as you can
6 see, as you move to the right, the degradation in
7 performance becomes more significant and our response would
8 become more significant, up to and including issuing an
9 order to modify, suspend or revoke licensed activities for
10 plants whose performance is unacceptable.

11 In fact, if you look at this matrix, we don't
12 really talk about the overall performance of the plant and,
13 in fact, that chart with the bands on it really is a
14 conceptual model and one that enabled really the assessment
15 guys who talked to the framework guys in terms of what does
16 -- how should we set the threshold and how should we decide
17 the action.

18 With the exception of the case where we're talking
19 about overall performance, and we do believe that there will
20 be a need to step back or there could potentially be the
21 need to step back and look at a plant and decide that
22 overall the performance of that plant is unacceptable, and
23 that's that band that we talked about a lot when Pat was
24 discussing the areas of the bands.

25 And so, again, the left two columns are the green

121

1 band, the right column is the red band, and then if you'll
2 look at the middle two columns, one degraded cornerstone or

3 repetitive degraded cornerstones, those really are shades of
4 whites and yellows and we think it's really too difficult to
5 try to decide definitively where a licensee falls with
6 respect to their overall performance on that chart.

7 But we do know that we need to engaged, in an
8 increasing way, based on the performance in the PIs and the
9 performance that we find and the results of the inspections
10 that we do. So that's how you see the flow of the actions,
11 if you will, as you move from left to right in the action
12 matrix.

13 CHAIRPERSON JACKSON: To me, the question you have
14 is when you get all the way to the right and you have this
15 overall red, where they're triggered off for the performance
16 indicators, and you said one will do it, or out of
17 inspection results and usually it's going to be some blend,
18 that you made the point that this typically would be used
19 for this kind of annual or periodic assessment.

20 But if a licensee gets into the red relative to a
21 cornerstone, that -- something has to trump this. And how
22 are you dealing with that? Are you going to let them
23 operate until you come around, you find -- you know, they're
24 in the red at the six-month period. Are you going to let
25 them operate until you have your annual roll-up?

122

1 MR. GILLESPIE: No. And that goes back to your
2 earlier comment. A risk-significant event or
3 safety-significant event that occurs will be reactive to
4 when it occurs.

5 CHAIRPERSON JACKSON: Also, no, but there is this
6 issue of the overall unacceptable, when Mr. Baranosky was
7 talking. You get to the unacceptable, what are you going to
8 do? Are you going to let them operate until you say, well,
9 nine months from now --

10 MR. GILLESPIE: No.

11 MR. COLLINS: Acknowledging that there's really
12 two ways to get there, Chairman, one is the event-driven,
13 which we responded to earlier, hopefully to your
14 satisfaction.

15 The other is where you have the gradual, but
16 steadily declining.

17 CHAIRPERSON JACKSON: And you get to the red and
18 it's six months before your annual roll-up, what are you
19 going to do?

20 MR. COLLINS: We would engaged the licensee
21 immediately by one of the tools that's acknowledged here,
22 which is probably an order.

23 CHAIRPERSON JACKSON: So a plant is not normally
24 permitted to operate within this band, unacceptable.

25 MR. COLLINS: Well, "normally" is the word, of

123

1 course, that we discussed before.

2 CHAIRPERSON JACKSON: Right. But what I'm saying,
3 not allowed to operate, not permitted to operate.

4 MR. COLLINS: Correct.

5 CHAIRPERSON JACKSON: So I'm saying, so you're
6 going to make that decision to shut them down at that point
7 in time?

8 MR. COLLINS: Yes.

9 DR. TRAVERS: But a strength, I think, in this
10 process, and we've emphasized this in the past, is that
11 setting the threshold, setting the scheme in the way we have
12 provides us an opportunity early on to, first of all, let

13 them have an opportunity to arrest degrading performance in
14 the white zone and then provide an early opportunity for us
15 to take action short of the action that we would take in the
16 red.

17 CHAIRPERSON JACKSON: But if it doesn't work.

18 DR. TRAVERS: But if it doesn't, you're absolutely
19 correct, we would --

20 CHAIRPERSON JACKSON: Because the whole point is,
21 and Mr. Lochbaum is going to talk to us in a few minutes, is
22 that theoretically, one could argue that, at least from his
23 perspective, the existing framework would work, if we used
24 it.

25 Now, we happen to believe in the risk-informed

124

1 approach, but theoretically, one could argue, and leaving
2 aside questions of burden and so on, that from a protection
3 of public health and safety point of view, if we would just
4 do what we -- what our existing framework allows us to do,
5 we'd be doing a better job.

6 So unless you address that question, you're right,
7 it's a graded approach, graded response. But if a licensee
8 falls into the red and it just happens not to be
9 conveniently on your annual cycle, what are you prepared to
10 do?

11 MR. COLLINS: We have to, as an agency, be
12 committed to take action or the validity of this process is
13 suspect.

14 CHAIRPERSON JACKSON: There is no validity.

15 MR. COLLINS: Right, exactly.

16 COMMISSIONER DIAZ: But there is one thing that's
17 been added that is very important in this, which is the
18 frequency and the sampling.

19 CHAIRPERSON JACKSON: Right.

20 COMMISSIONER DIAZ: And that is really a
21 formidable process that allows you to early detect.

22 CHAIRPERSON JACKSON: It does, but it also puts
23 you -- your total integrity on the line, because if you
24 argue that by risk-informing it, you're really focusing and
25 you have your cornerstones and you're really focusing on

125

1 what is fundamentally important, you have no excuse for not
2 acting if a threshold is crossed, however you get to it.

3 There is no excuse for not taking action, and that
4 is -- there is no namby-pamby about it.

5 DR. TRAVERS: But I want to make clear, Chairman,
6 that we are, today, in fact, as you pointed out, taking
7 appropriate action when we entered into questions of
8 unacceptability. I think what this process does is provide
9 us a more objective way to do it and to convey that
10 information publicly.

11 CHAIRPERSON JACKSON: But what I'm trying to say
12 is -- let me repeat -- if you're going to do it and it's
13 credible and you're saying you're focusing even more and
14 it's an objective way you come at it, when you come to the
15 point that you cross a threshold, you can't fool around.

16 DR. TRAVERS: I agree.

17 COMMISSIONER MCGAFFIGAN: Madam Chairman, it's a
18 trivial point perhaps, but in the public assessment
19 meetings, I actually think that current practice is if
20 you're in Region 4, you'd be in the Commission meeting with
21 senior licensee management regime today. And if you're in

22 the red zone, as we've been talking about, I guess we'd be
23 talking about monitoring the 0350 restart process under an
24 order.
25 So I think you might want to give us some extra

126

1 work and push us one box to the left and rephrase the final
2 box. At least that's the current practice.
3 CHAIRPERSON JACKSON: Right.
4 COMMISSIONER MCGAFFIGAN: And there is no sense
5 sparing us meetings. If somebody's performance really is as
6 described before --
7 CHAIRPERSON JACKSON: Right, just before the red.
8 COMMISSIONER MCGAFFIGAN: Our practice today is,
9 as a Commission, to have some briefings on it.
10 CHAIRPERSON JACKSON: Right. Because, again, when
11 you get to the red, you're not sitting around chatting it
12 up. Well, thank you -- I'm sorry. Are you done?
13 MR. JOHNSON: I actually had one more slide.
14 CHAIRPERSON JACKSON: It's your big chance.
15 MR. JOHNSON: Slide 26. I'll just hit this very
16 briefly. We recognize that we need to do some things to
17 evaluate the efficacy of the process prior to implementation
18 and to ensure that after implementation, the process
19 continues to achieve our success vision and that we have
20 built in a means for continued improvement and we're working
21 on those things.
22 Both Pat and Bruce described actions that they
23 have both taken to do some early benchmarking. In addition
24 to that, we plan to conduct a limited application of the
25 entire process for four plants between now and when we come

127

1 to see you again in March; to take a historical look at PIs
2 for those plants for feasibility; to look at the inspection
3 findings and to exercise the criteria that we're building,
4 to compare them to the proposed thresholds, and then to
5 exercise the action matrix to see that.
6 In fact, the process would lead us into taking
7 action that 20/20 hindsight has told us was warranted. In
8 addition, Frank has talked about the fact that we do plan to
9 do pilots for each of the plants or for two plants in each
10 region and that will enable us to make sure that we've
11 ironed out the bugs before we go to full implementation.
12 Post-implementation, we plan to conduct a series
13 of ongoing evaluations to provide review and feedback.
14 We're going to look at things, for example, like process
15 compliance; are there deviations from the process and do
16 those deviations mean that -- are they indicative of a
17 process flaw or do they mean that we have problems with
18 implementation.
19 We'll look at a bunch of other things. We've got
20 some success criteria that we've tried to begin to think
21 about. We'll firm those up and we'll use those success
22 criteria to make sure that the process that we implement
23 does achieve our objectives.
24 I have nothing else.
25 MR. GILLESPIE: With that, we'll move on to the

128

1 transition plan. I'm going to try to go through this pretty
2 expeditiously. Slide 27 summarizes the key tasks in the
3 transition plan. They're fairly written out there. I think
4 they're self-explanatory on here.

5 We do have a lot to do. One of the key elements
6 and the reason for asking the Commission for an endorsement,
7 as Bill said in his paper, is before we proceed to inform,
8 communicate and train 600 people in the regions, the first
9 question a regional guy asks you, a resident asks you is, is
10 the Commission behind this. We need to know that we're on
11 the right track. So that becomes a key element.

12 Slide 28, this is summarized in the paper, some
13 key things that we've come up with in communications and
14 getting the work done. We are putting together right now a
15 second task force made up of both headquarters and regional
16 people to go on with phase two. We expect that will start
17 in February. We're trying to do the leg work and get the
18 charters and the mission very focused on what the products
19 will be, much the same way we did in the first phase.

20 We've coined the term "change champion," which Sam
21 has agreed to be, and we've already started his travel
22 schedule. Senior management support is just absolutely
23 imperative to this and he's providing that. And a change
24 coalition, which is a new term, we have people identified in
25 each region who are basically opinion leaders, if you would,

129

1 as thought of by their organizations, who we are going to be
2 communicating with, sending some extra information, giving
3 some extra knowledge to, and asking them to spread that
4 knowledge, because of the people people refer to, and also
5 give us feedback, what is the hall talk, what is the real
6 opinion.

7 So it's kind of a formal, but yet informal process
8 where we have some people that we're going to give some
9 extra early training to. And we will continue to work with
10 industry and external stakeholders, including a workshop in
11 the fall. We envision a parallel process of training the
12 pilot plant staff and our own staff on what the expectations
13 are for the work.

14 MR. COLLINS: Chairman, I can't tell you how
15 important this change management aspect is. I know Hub and
16 I have had discussions on the ability to reach out to the
17 inspectors, the individuals who are charged with
18 implementing this process, who to date have been somewhat
19 intentionally shielded from the development of it, just
20 because of the transition phase that we're in during that
21 process.

22 We are actually working with our Office of Human
23 Resources, I see the inspector is here, looking for some
24 resources to help us with the development and implementation
25 of a fairly defined communications plan, to include

130

1 identifying change agents, change leaders out in the field,
2 define training programs, feedback mechanisms.

3 As you know, you can't mandate buy-in. We have to
4 provide the tools for that, we have to provide the
5 information, a reason for people to move in that direction.

6 That will be a fairly significant task for us in
7 the next two to three months. Actually, we're looking
8 forward to it, because this is actually the roll-out of the
9 program and this is where we find out where we are.

10 MR. GILLESPIE: On slide 29, we highlight some of
11 the key dates. On here you can see that we'll be coming
12 back for final approval once we get internal and external
13 comments on this complete package in March of '99.

14 The last senior management -- the senior
15 management meeting this April would take place much the same
16 as it has before. We'll have an implementation workshop in
17 October of '99. At that point, we're about halfway through
18 the pilot process. We're three months into the six.
19 Implement the new process at all plants in January
20 of the year 2000 is our target. The last senior management
21 meeting, in what I might call the traditional mold, would be
22 targeted for April of the year 2000, and the first annual
23 review completely under the new process in the spring of
24 2001, and then complete the evaluation in June of 2001, are
25 we where we thought we should be.

131

1 CHAIRPERSON JACKSON: You've got to be sure to
2 develop some metrics for measuring -- define what success
3 is.

4 MR. GILLESPIE: We're going to have to have two
5 sets of metrics, one for the pilots and then one for full
6 scale. It's a different scale, going from eight plants to
7 68 plants.

8 MR. COLLINS: Chairman, there is an additional
9 policy issue having to do with the April 1999 senior
10 management meeting. Clearly, the context of that meeting
11 historically is defined. Bill and I will engage the
12 Commission at the appropriate time, which will be soon, on
13 whether we want to use this meeting as a step-off to move in
14 the direction of the new processes or whether, for the sake
15 of continuity, we want to retain the existing process. This
16 is just to give you early notice. There will be further
17 discussions.

18 CHAIRPERSON JACKSON: Okay. Any final Commission
19 comments? Commissioner Dicus?

20 COMMISSIONER DICUS: Just a quick question. Are
21 there any remaining or significant differences between where
22 you are and what you've developed so far and where the
23 industry is and what it has relayed to you?

24 MR. GILLESPIE: I think they're here, so they'll
25 speak.

132

1 CHAIRPERSON JACKSON: She has to leave.

2 MR. GILLESPIE: The most significant difference, I
3 would believe, from my perspective, is that there is a
4 possible feeling we haven't achieved as much reduction in
5 inspection for the PIs as might have first been desired and
6 there is a specific concern that we still look at corrective
7 action, problem identification problems as key.

8 So we're maintaining this every two year
9 independent review of an eye ball coming in. Now, maybe
10 after some cycles, we'd find that isn't necessary, but we
11 think that's such a key part to the whole thing right now,
12 that it's very important to have in.

13 I think those would be the two.

14 COMMISSIONER DICUS: Will the pilot programs help
15 to ferret that out or is it going to take longer?

16 MR. GILLESPIE: I believe it's going to take
17 longer to understand that and six months is not going to be
18 enough time to completely resolve the one on looking at
19 corrective action programs on a two-year cycle. That's
20 still already a very extended cycle.

21 MR. COLLINS: I think an illustration of that
22 would be given the level of information effort, to what
23 degree, once the process matures and we become more

24 confident in its scope and its depth, to what extent will we
25 allow licensee self-assessments in these areas to provide

133

1 input to the PIs and serve as a substitute for NRC direct
2 inspection. That will be an area that we will engage in the
3 future as a further refinement of this process.

4 CHAIRPERSON JACKSON: Commissioner Diaz.

5 COMMISSIONER DIAZ: I'm going to try to present a
6 little global question. Since I like to learn from my
7 elders, I'm going to present it in the same manner that
8 Chairman Jackson did. I'm going to give you my bias.

9 I think the Commission is going to ask to vote,
10 and correct me if I'm not right, this is what my bias is,
11 into a single integrated process that is going to be
12 risk-informed and that's going to be very firm; not fixed,
13 but very firm. So that ambiguities and lack of objectivity
14 is going to disappear.

15 That, therefore, we can expect everybody, the
16 licensees, the public, the staff and the Commission, to have
17 a predictable process. We'll be not only risk-informed, but
18 we'll be aided by inspection.

19 There will be an interaction in this process that
20 will result in what I call minimal deviations between
21 inspection processes and predictors.

22 Is that correct? Are we going on with one thing
23 that is very firm and very stable and very predictable?

24 DR. TRAVERS: That is, in fact, the objective of
25 what we've been about and as you point out, in risk-informed

134

1 space, certainly you use risk to become more objective and
2 we intend to use it as a tool.

3 I want to make sure that we haven't
4 under-emphasized in the discussion we've had today the
5 importance of the people, the inspectors who are going to
6 apply this and the insights and experience base that they
7 are going to bring to bear as we assess these issues
8 against, as you point out, and I think it's a good term of
9 art, firm, but not fixed criteria.

10 We have yet to provide, and we will provide, some
11 additional information on how we would assess inspection
12 output in a way that's comparable to what we're suggesting
13 be applied in the performance indicators. But I think
14 you've captured it well.

15 COMMISSIONER DIAZ: Okay. Because the viability
16 of the process is going to depend on stability. I mean, the
17 information has to be there, the sequences have to be
18 properly, and unless you have that, you will have unstable
19 process and it is very important for us to know what the end
20 product is going to be.

21 It's not going to be something that somebody can
22 tickle to make it a little better, to change it, you know,
23 this firm process, you're going to have to really have a big
24 two-by-four to say, uh-uh, this plant is really in the red,
25 when it's showing on the white; I mean, that type of a

135

1 stability.

2 CHAIRPERSON JACKSON: Or vice versa.

3 COMMISSIONER DIAZ: Or vice versa.

4 MR. COLLINS: Commissioner, could I ask you, just
5 for my own elaboration.

6 COMMISSIONER DIAZ: Yes.
7 MR. COLLINS: To explain your last point, the
8 interaction between processes, is that what I heard you say?
9 COMMISSIONER DIAZ: Yes. Right. The interaction
10 --
11 MR. COLLINS: The PIs and the inspection?
12 COMMISSIONER DIAZ: And the inspection, right.
13 MR. COLLINS: Okay.
14 MR. GILLESPIE: Our vision is that the baseline
15 inspection, risk-informed baseline inspection is an
16 indicative, not a diagnostic type inspection. We need to
17 keep it on exactly the same scale by cornerstone as the PIs,
18 so that we can deal with it in an equivalent nature.
19 COMMISSIONER DIAZ: And what I mean by deviations,
20 there's going to be times that they don't match. That's not
21 necessarily bad. On the contrary, it draws attention to the
22 fact that you need to have a corrective action that takes
23 place.
24 MR. GILLESPIE: Part of the feedback to reexamine,
25 is the PI correct or are we looking at the right thing.

136

1 COMMISSIONER DIAZ: That's right.
2 MR. GILLESPIE: And we do expect that. This isn't
3 a perfect program. It's our first start.
4 CHAIRPERSON JACKSON: Commissioner McGaffigan.
5 COMMISSIONER MCGAFFIGAN: Nothing.
6 CHAIRPERSON JACKSON: Commissioner Merrifield.
7 COMMISSIONER MERRIFIELD: I do have a comment and
8 a brief question at the end.
9 I think that I would like to compliment the staff,
10 and by the staff I mean not only the folks here in
11 Rockville, but also the hard work that was done in the
12 regions to make this document. This is a weighty piece of
13 work. It obviously represents significant efforts on the
14 part of a lot of people and for that I think their hard work
15 should be recognized.
16 That having been said, I'd like to be the fourth
17 person, fourth Commissioner today to make note of Mr.
18 Lochbaum's testimony. And in it, he quotes, he says "The
19 draft documents in the SECY paper may be useful working
20 documents for the NRC and industry, but they cannot be used
21 to educate the public. They contain too much nuke speak;
22 i.e., technical jargon and acronyms."
23 Well, I don't know if I completely can identify
24 with that, but I think it is a very large document that is
25 difficult, and I spent a lot of time this past weekend

137

1 trying to digest it. I don't think it is as user-friendly
2 as it could be and I think as part of looking toward March,
3 I think -- and, in fact, I presume you intend to spend more
4 time on improving that.
5 The last piece I would quote would be a memo from
6 Mel Knapp to Sam Collins, dated January 19, talking about
7 the NRR response to tasking associated with public
8 communications. In it, Mr. Knapp said, "In fact, your
9 recommendation to improve the clarity of our writing is
10 supported by the NRC plain language action plan that was
11 submitted by Chairman Jackson in response to a Presidential
12 memorandum dated June 1, 1998, regarding the use of plain
13 language in government agencies."
14 And I footnote, this is obviously something that
15 Vice President Gore has spent significant time working on

16 and I think he's to be complimented for it.
17 In his plan, we have committed to using plain
18 language in all of our documents, other than regulations, as
19 of October 1, 1998, and in all proposed and final
20 rule-making documents by January 1, 1999.

21 So I leave it with a question. Is it your
22 intention to to go back, now that you've got the document as
23 a whole, to try to perhaps slim it down and make it a little
24 bit more user-friendly and try to eliminate some of the NRC
25 speak, as Mr. Lochbaum has mentioned?

138

1 CHAIRPERSON JACKSON: Let me predicate your
2 question. I hope you're not saying necessarily before it
3 goes out in this form, because they are coming back in
4 March.

5 COMMISSIONER MERRIFIELD: No. I don't think we
6 should slow ourselves down. I don't. I think we can go out
7 with this document, but I do think we may want to continue
8 to refine it.

9 MR. GILLESPIE: Actually, the critical task ahead
10 is to take this document, which is reasonably somewhat
11 technical in certain places and is difficult to understand,
12 but for the audience it was intended to do, the next step
13 is, in fact, translating this not only for the public, which
14 we're going to have to do and we're working with Victor
15 Dricks, who is the person we work with in Public Affairs,
16 almost daily now, he's getting very involved in what we're
17 doing.

18 We also have to translate it for our own staff,
19 into the agency's management directives and inspection
20 procedures and inspection manual chapters, in a very
21 understandable way.

22 So I don't think our intention would be to try to
23 take this document and make it something it wasn't.

24 CHAIRPERSON JACKSON: And rewrite it.

25 MR. GILLESPIE: And rewrite it. It's intended to

139

1 take the concepts and scope and positions and data in this
2 document and put it into a more acceptable form for each of
3 the given audiences. The public is definitely one of our
4 major audiences and we will be doing that, yes.

5 COMMISSIONER MERRIFIELD: That's fair. That's
6 fair. The only final comment I would make in that regard is
7 Commissioners are an audience, too. As I was reading it,
8 there was a degree of repetitiveness.

9 CHAIRPERSON JACKSON: We're all rocket scientists.

10 COMMISSIONER MERRIFIELD: So in the future, maybe
11 a little bit more scrubbing there might be helpful, even for
12 us.

13 MR. GILLESPIE: And I agree. We were pumping out
14 a very detailed product very fast here.

15 COMMISSIONER MERRIFIELD: It's very difficult and
16 I give you great credit for that. It is very difficult.

17 MR. GILLESPIE: I apologize for that one.

18 CHAIRPERSON JACKSON: No, it's okay. No apologies
19 needed. Thank you very much. A lot of hard work. I'm
20 going to say that anyway in my overall closing comments, but
21 let me just compliment you now on the quality of the work,
22 the intensity of the effort, the involvement with the
23 various stakeholders and commitment to the task. It showed
24 here today and thank you very much.

25 What we're going to do now is I'm going to call

140

1 forward Mr. Lochbaum from the Union of Concerned Scientists.
2 We always wedge him at the end, and we're not going to do
3 that today.

4 CHAIRMAN JACKSON: Good afternoon.

5 MR. LOCHBAUM: Good afternoon. I'm last at my own
6 UCS staff meetings except for the times I get bumped
7 altogether, so I'm kind of used to that. That's my problem.

8 I would like to start with, if we have the slide,
9 slide 2. A lot of this apparently has already been
10 discussed, so I'll try to cover the remaining parts.

11 We also would like to join and say that the staff
12 is duly commended for the comprehensive and thorough
13 oversight process recommendations that have been outlined in
14 the SECY paper. They faced a daunting challenge while
15 seeking a Goldilocks oversight process, one that is not too
16 stringent nor too lax, but one that is just right, that that
17 was indeed a challenge, and we think they did a very good
18 job in meeting many or satisfying many of the concerns we
19 have addressed in the past or raised in the past.

20 On paper, this process appears fundamentally sound
21 and capable of successfully meeting the stated objections or
22 stated expectations; however, it must be noted that on
23 paper, so was the old process. So it's not the process that
24 will make or break the effort; it's the implementation.

25 A process was developed with the objective of

141

1 increasing public confidence in the NRC's regulatory
2 function. Even though the seven cornerstones to safety are
3 easier to understand than the concepts that were contained
4 in the SALP process, the proposed reactor oversight process
5 is substantially different than the old process. The public
6 needs a chance to understand the proposed process.

7 The transition plan has a column labelled
8 Communication. Other than a few press releases and a 30-day
9 comment period for the overall process, there's not much in
10 the way of educating the public. The draft documents and
11 the SECY paper are useful working documents for the NRC and
12 industry, as Mr. Gillepsie indicated, but they're not really
13 useful for educating the public.

14 We felt that a brief plain-English description of
15 the proposed process -- and I'm going to have to take my own
16 medicine here, because in the slide, I misspelled
17 plain-English, so in the future, I'll try to use gooder
18 grammar.

19 [Laughter.]

20 MR. LOCHBAUM: We felt that some brief -- not
21 rewriting the document, but a briefer --

22 CHAIRMAN JACKSON: Up-front kind of summary?

23 MR. LOCHBAUM: Summary of what it is that's being
24 discussed for people to decide whether they want to wade
25 into the full SECY or not, just like a screening document

142

1 would be helpful, and have that contained in the Federal
2 Notice, Federal Register Notice.

3 In addition, it appears that this public notice
4 period will -- public comment period will end before the
5 enforcement section is made available. That doesn't seem
6 fair for the public.

7 CHAIRMAN JACKSON: But it won't be before the

8 process is implemented.

9 MR. LOCHBAUM: But the comment period will end and
10 all the comments will be in before the enforcement process
11 becomes available for comment, so people won't be commenting
12 on information that's not available.

13 CHAIRMAN JACKSON: No, that doesn't mean that they
14 won't in the period between March and June.

15 MR. LOCHBAUM: A smaller subset of the public,
16 like myself and other public interest groups, will probably
17 remain engaged, but the larger public will only get one shot
18 at it, and they're only going to get a shot at two of the
19 three elements.

20 CHAIRMAN JACKSON: Well, maybe they should get two
21 shots at it, get a shot at the enforcement process when it's
22 developed?

23 MR. LOCHBAUM: That's true. There's a number of
24 ways of doing that, but right now, the enforcement process
25 comes --

143

1 CHAIRMAN JACKSON: Because we can't put out what's
2 not developed yet.

3 MR. LOCHBAUM: I agree with that, also.

4 CHAIRMAN JACKSON: Okay.

5 MR. LOCHBAUM: Slide 4.

6 The NRC sample inspections provided a very small
7 slice of the overall picture of nuclear plants. We felt
8 that it was important that the NRC properly characterize its
9 findings.

10 Based on my experience prior to joining UCS, it
11 appeared to me that inspection findings were graded on a
12 curve because the threshold for a non-conforming condition
13 seemed lower at a plant which the staff believed to have
14 performance problems than it was at a plant which the staff
15 believed was doing okay. The staff's feelings towards
16 licensee performance must not direct or influence inspection
17 findings. Otherwise, you will have a self-fulfilling
18 prophecy situation.

19 The reason that's important is that the proposed
20 baseline inspections will concentrate on areas not covered
21 by performance indicators.

22 CHAIRMAN JACKSON: But not exclusively.

23 MR. LOCHBAUM: Not exclusively. There will be
24 some overlap, but the focus will be on non-PI areas. So
25 there will be little chance to confirm or refute inspection

144

1 findings. You won't be able to check it against the
2 performance indicator to see if it seems to be right or too
3 high or too low. Therefore, inspection findings are likely
4 to pass through the assessment process basically
5 unchallenged; therefore, it's imperative that inspection
6 findings be just right.

7 I've looked at the NRC's inspection manual, which
8 tells inspectors what to examine and how often, but it
9 doesn't provide much guidance in the form of objective
10 acceptance criteria.

11 I looked at it from the standpoint if I was asked
12 to go out and look at that area, how would I know what was
13 right or wrong, what was acceptable or unacceptable, and it
14 really doesn't provide much in the way of an answer key; it
15 would pretty much be left up to my own judgment, and
16 depending on -- based on my consulting experience, sometimes

17 the licensee is pleased with that judgment, sometimes
18 they're not pleased with that judgment.
19 So whenever possible, you need to eliminate
20 judgment and at least have the objective criteria out there,
21 whenever possible. It's not going to be possible in every
22 case.
23 We also felt -- right now, the NRC posts the
24 inspection reports for some nuclear power plants on its web
25 site. We felt that it would be useful to post all of the

145

1 inspection reports issued for the operating plants within
2 the last year.
3 Slide 5.
4 The assessment process -- the biggest concern we
5 have with the assessment process is the staff's indication
6 of the success for executive overrides being 5 percent.
7 That seemed way to high to us. We felt it should be zero.
8 The system should allow or tolerate overrides, but 5 percent
9 should not be a success criteria; that's more an indication
10 of a failure.
11 The reason we say that is basically there's about
12 25 plants in each region. That success criteria would allow
13 one plant in each region to have an executive override for
14 the results, or five plants across the country to have the
15 assessment results overridden by subjective judgment.
16 Again, that provision should be there when the
17 staff needs it, but that shouldn't be a success criteria for
18 it. That would indicate there is something wrong with the
19 assessment process that needs to be fixed.
20 CHAIRMAN JACKSON: How would you limit overrides?
21 Is it a matter of management oversight, programmatic
22 discipline guidance, or just edict, or something else?
23 MR. LOCHBAUM: Well, I think the success criteria
24 would be no overrides, and then when one of these occurred
25 and when the staff was justified in bumping up or bumping

146

1 down the results, then that should also trigger a review of
2 the assessment process -- do we need to adjust it somehow,
3 or is it one of those cases that's the exception where we
4 don't need to adjust it, it was good. But that's who we
5 felt that should be handled.
6 COMMISSIONER MCGAFFIGAN: Madam Chairman, one of
7 the things I thought -- points I thought Mr. Lochbaum was
8 going to make is executive overrides, whether the goal is
9 zero or 5 percent, presumably should be well documented. I
10 mean, the fact that an override occurred presumably should
11 be documented, and the case for why the override occurred
12 presumably should be in the record somewhere. If I were a
13 licensee, I guess I'd demand that through whatever due
14 process we have.
15 MR. LOCHBAUM: I was indeed going to make that
16 point a more general observation, but not specifically tied
17 to overrides.
18 Slide 6.
19 The proposed assessment process relies heavily on
20 performance indicators. We looked at the performance
21 indicators and have concern about some but not all of the
22 performance indicators.
23 The first one that we're concerned about is the
24 reactor coolant system specific activity performance
25 indicator. This PI is intended to monitor the integrity of

1 the fuel cladding barrier.

2 In April of 1998, UCS provided a technical report
3 to the NRC following months of research on our part that
4 indicated -- upon which we concluded that it is illegal and
5 potentially unsafe for any nuclear power plant in the
6 country to operate with any known fuel leakers.

7 We have since submitted two 2.206 petitions
8 against individual plants that we know are operating with
9 fuel leakers. Those two plants are now in a raise to see
10 who has the most leakers, and they're both up to three.

11 In our report, in those petitions, we have
12 challenged the bases for the RCS specific activities,
13 technical specification. We respectfully request that the
14 NRC staff answer these concerns before adopting this PI.

15 In April, this technical report was turned in for
16 an allegation, which went off to wherever allegations go, so
17 we haven't yet heard an answer.

18 The second PI we have a concern with is
19 containment leakage, which Commissioner Dicus mentioned
20 earlier. Currently, there's no way to operate a plant with
21 leakage greater than 100 percent of L-sub-A; therefore, it
22 tends to be a virtually meaningless indicator.

23 As I understand it, the intent of the indicator is
24 to report the as-found condition, so you could have greater
25 than 100 percent. You would then fix it before you were

1 allowed to restart.

2 It still is a meaningless indicator because it
3 doesn't represent the current conditions of the plant. It
4 also would not indicate the problems that DC Cooke and other
5 plants have had where containment barrier integrity is a
6 much better indicator.

7 I understand the concern and I share the concern
8 that there is not a readily available indicator; I guess we
9 would prefer to say "to be determined" rather than use a
10 simple but useless indicator as a surrogate. It's okay to
11 wait in this case rather than use something that provides no
12 useful information.

13 The safety system performance indicator suffers
14 from the same problem we talked about last week on
15 probabilistic risk assessments. They don't account for
16 system degradation caused by passive design problems, or
17 blunders, to use Mr. Thadani's term.

18 For example, the emergency power performance
19 indicator has a green to white threshold of greater than
20 0.025. The NRC inspection report 50.213 96-201 dated July
21 31st, 1996 on Haddam Neck -- this is also called the
22 Vergilio report -- indicated that that system's station
23 batteries would not have worked in the case of an accident.

24 COMMISSIONER DIAZ: Excuse me. Before you go, let
25 me zero in on something. Specifically, let me zero in on

1 the word zero, because I do have a problem with that. You
2 seem to be saying zero leakers or zero executive actions,
3 and there's no such thing as zero defects. I mean, the word
4 plain-English is obviously a small error, but it's there.
5 And it is impossible, absolutely impossible to have any
6 industrial activity that doesn't have some defects. That's
7 why we put three barriers, you know. I mean, we have the
8 primary coolant and then we have the -- so, you know, I

9 think that some leeway to operate within a safety envelope
10 is necessary. If we start using the word zero, nothing will
11 work in this country.

12 MR. LOCHBAUM: I agree with that fully. In our
13 petition and in the technical report, we suggested the NRC
14 staff make the licensees do a safety evaluation that defines
15 what is the acceptable limit. It's not zero, but what is,
16 backed by analysis, not by Ouija Board stuff.

17 COMMISSIONER DIAZ: But isn't that what the
18 specific activity under coolant tries to infer, that --

19 MR. LOCHBAUM: We have not found that.

20 CHAIRMAN JACKSON: Are you saying the analysis
21 that supports the specific --

22 MR. LOCHBAUM: We haven't found any analysis.

23 CHAIRMAN JACKSON: -- activity PI, you don't see
24 it? Is that the point you're making?

25 MR. LOCHBAUM: The only thing we can find is that

150

1 that one percent fuel failure, which is basically the
2 justification for the specific activity, is used in off-site
3 dose calculations. We haven't seen the analysis that says
4 if you're operating at close to one percent fuel failure and
5 the accident starts, that you'll stay below the 10 CFR 100
6 limits. Not like in containment temperature limits, you
7 have an operating temperature, you also have an accident.

8 The analysis shows that if you start at this point
9 and you throw in the consequences of the accident, you
10 arrive at the second point. On specific activity, you only
11 have one number, and it appears to be the accident number,
12 not the normal operation number. So that's the disconnect
13 we observed and we figure needs to be resolved. There is
14 clearly a number that can be justified. We feel just that
15 the analysis needs to be done.

16 COMMISSIONER DIAZ: So it's not no fuel leakers,
17 but some analysis that specifies what the activity is, is
18 what you're saying.

19 MR. LOCHBAUM: Right. Right now, there needs to
20 be a design and licensing basis established, that they don't
21 have it, so they're not legally allowed to do that.

22 COMMISSIONER DIAZ: Okay. Thank you.

23 MR. LOCHBAUM: In our view.

24 Getting back to the Vergilio report, that report
25 indicated that the station batteries would not have provided

151

1 the motor voltage necessary or the output voltage necessary
2 in case they were in an accident. It was tested every month
3 or however often batteries are tested for years, and it
4 always passed the test, but in case of an accident, which is
5 really the only reason that they're there, they wouldn't
6 have worked. So the system performance indicator would have
7 indicated very high reliability or very high availability,
8 but the things wouldn't work, and those kinds of issues need
9 to be captured.

10 CHAIRMAN JACKSON: So how do you capture them?

11 MR. LOCHBAUM: Well, I think instead of just
12 something being removed from service, if it's degraded, that
13 also gives you information about safety performance, and
14 that needs to be captured in your process somehow, not only
15 the number of hours that it's removed from service, but also
16 the number of hours that it's not available or it's not
17 functional. That would give you insights into where you
18 steer your resources, both on a licensee side and the

19 regulator's side.
20 CHAIRMAN JACKSON: So are you saying the issue has
21 to do with not making a binary judgment that it works or it
22 doesn't, but in certain cases, there has to be some
23 consideration of degradation?
24 MR. LOCHBAUM: I think it's related to that. I
25 think it's larger from the standpoint of what defines

152

1 something working or not working in terms of risk-informed
2 regulation and these indicators is, right now, just whether
3 it's in service or not in service. It needs to be, if it's
4 functional -- it needs to be a broader definition because
5 that's reality.

6 In this Vergilio report, the voltage wasn't there.
7 So that kind of information needs to be captured if you're
8 going to really have a meaningful indicator. Because in
9 that case of the station batteries at Haddam Neck, if that
10 had been discovered today, under this new process, it would
11 not have triggered a green to white or any of those
12 regulator response bands, and yet that was a severe problem,
13 so that something needs to reflect that.

14 Slide 7, please.

15 One last remark. We've looked at the benchmarking
16 that was done in the SECY paper, and we noticed that for DC
17 Cooke and Millstone, none of the performance indicators
18 showed in the red or the unacceptable performance category.
19 So the question that we can't answer but we can ask is, does
20 this mean that the staff would not have shut down these
21 plants, or does it mean that these thresholds are too
22 lenient? And I don't know what the answer is. I think the
23 staff needs to answer that question before rolling out the
24 new process.

25 Under the assessment process, it says in the

153

1 enforcement policy that it's non-punitive. The staff can
2 impose a multi-million-dollar penalty, and has, on a
3 licensee after a process, administrative process that allows
4 for the violation to be contested and the fine to be
5 appealed. In a dictionary, punitive is defined as
6 "inflicting, involving or aiming at punishment."
7 Punishment is defined as "a penalty inflicted on an offender
8 through judicial procedure." It seems reasonable to us that
9 the NRC's process is indeed a punitive process. That's the
10 good news. It's supposed to be punitive, in our eyes. The
11 bad news is that the enforcement actions are so randomly
12 applied that this policy is totally ineffective. There are
13 plenty of examples to illustrate arbitrary and capricious
14 enforcement actions. To us, the classic cases are those
15 associated with the duration of the non-conforming
16 condition.

17 The statute permits the NRC to assess a penalty up
18 to \$110,000 per violation, per day that the violation
19 existed. The staff very rarely invokes this provision.

20 In 1996, the NRC staff fined LaSalle for 20 days
21 that a problem existed at that facility. In 1998, the NRC
22 did not fine the DC Cooke licensee for a problem that lasted
23 about the same duration, in fact almost -- I think it was
24 also 20 days.

25 The staff must develop the means to consistently

154

1 and meaningfully apply the per-day provision. The reason we
2 think that's important is not just to collect a lot of money
3 or anything; is that time is also a risk factor. The longer
4 something stays in a non-confirming or a violating
5 condition, it's more significant than if it only lasted in
6 that condition for an hour. Yet, the enforcement policy
7 doesn't reflect that reality. So if you're going to risk-
8 informed regulation which includes some form of
9 risk-informed enforcement, then the time factor has to be
10 properly considered. Right now, it's really not being
11 considered.

12 We were encouraged throughout this process that
13 the staff did identify a number of areas where the outcome
14 is going to be communicated to stakeholders. We think
15 that's -- with some of the exceptions we noted earlier, we
16 think that's very good.

17 In responding to Commissioner McGaffigan's point,
18 we also think it's very important to document staff
19 decisions that produce that outcome, whether they're
20 overrides or decisions not to take enforcement action.
21 Whatever the decision is throughout these processes, it's
22 very important that there be a paper trail.

23 As a licensee, you can't make a change to your
24 plant or decide not to make a change to your plant on some
25 safety equipment without providing some documentation and

155

1 accountability as to why you did or did not take that
2 action. We figure the staff ought to live up to that same
3 standard for the same reasons.

4 Thank you.

5 CHAIRMAN JACKSON: Thank you.

6 Commissioner Diaz, or Commissioner McGaffigan?

7 COMMISSIONER MCGAFFIGAN: I think we asked all of
8 his questions of the previous panel.

9 MR. LOCHBAUM: I appreciate that too, by the way.

10 CHAIRMAN JACKSON: Commissioner Merrifield.

11 COMMISSIONER MERRIFIELD: Thank you very much.

12 CHAIRMAN JACKSON: Thank you.

13 We now will hear from NEI. Thank you.

14 CHAIRMAN JACKSON: I may have to leave after about
15 seven minutes.

16 MR. BEEDLE: Good afternoon.

17 CHAIRMAN JACKSON: Good afternoon.

18 MR. BEEDLE: Could we have the first slide,
19 please, then? We'll try and cover this in eight minutes.

20 First of all, I would also like to acknowledge the
21 fact that the Staff has done an awful lot of hard work on
22 this project.

23 In addition to that, the comment that was made by
24 Frank Gillespie about the need for some indication from the
25 Commission about where they feel the Staff is headed with

156

1 this in order to conduct a program for some change
2 management within the agency, because we are also involved
3 in the same kind of a process with the industry.

4 We have got maybe in some sense a bigger problem
5 of trying to get the industry to understand what is
6 happening in this case. We have planned two workshops here
7 in the near term, February 2nd and 3rd, and we have got some
8 significant turnout interest and I would add while there are
9 a lot of questions, there's also support for it.

10 A question concerning data collection -- the

11 industry has agreed to produce that data and I don't know
12 that we have got any plant that has been reluctant to do
13 that. I think they are very interested in trying to
14 accomplish that process, and at the heart of that support is
15 a belief that this process is going to give us a very
16 objective and clearly understandable way of determining
17 performance in the industry, one that the regulator and the
18 licensee both understand that we'll be able to see and
19 understand what the Staff is looking at.

20 It will place things in perspective. That will
21 give us the ability to correct situations in a timely manner
22 to avoid every getting into these conditions that we spend
23 so much time talking about.

24 One more observation, and that is the fact that
25 many of the comments and questions that have been asked

157

1 today of the Staff as well as Mr. Lochbaum are questions
2 that I think are equally applicable to the present and on
3 the record assessment process that we have, so I think we
4 have made a lot of changes in the thinking and the way that
5 assessment is proposed and I think it offers an awful lot of
6 opportunity for both the NRC and the utilities to control
7 allocation of resources of this process, so with that, I
8 would to Steve and let him talk about some specific details.

9 MR. FLOYD: Okay, thank you. Good morning -- or I
10 guess it is afternoon now. What I would like to do before I
11 get into my comments, is respond to a few of the questions
12 that were raised earlier this morning with some of the other
13 speakers.

14 First of all, starting with performance
15 indicators, on the scram indicator as an example, I just
16 wanted to point out that the 20 scrams per year for risk
17 significant scrams, that is over a three year period, so it
18 is sort of an average of about seven per year as compared to
19 25 what I would call the vanilla scrams as a threshold for
20 unacceptable on an annual basis for the other scrams.

21 While the thresholds may appear to be perhaps too
22 lenient, and how could we possibly allow that many scrams,
23 if you go back to the early to mid-'80s the average plant
24 was actually having about eight scrams per year during that
25 time period, which would have put the average plant in the

158

1 yellow band so to speak, and we actually had a number of
2 facilities that were in the 25 to 30 range per year on
3 scrams. It would have put them actually in the red zone.

4 So I think really what it does is it begs the
5 issue of what is the purpose of the performance indicator?
6 If it is just to allocate NRC resources and indicate an area
7 for a declining trend that warrants different, additional
8 attention, then it might be appropriate to question the
9 performance indicator, but if it is also to portray to the
10 public what is the safety significance of the performance of
11 the plant, which we believe is the purpose of the overall
12 assessment process, then to us it makes sense to put an
13 indicator in the system that is important from a risk
14 perspective irrespective of what the performance level is.
15 If it happens to be good, that's great; if the performance
16 happens to be poor, then the chips fall where they are and
17 you deal with it at that level.

18 COMMISSIONER MERRIFIELD: Yes -- I just don't want
19 to spend too much time on this.

20 The Chairman has got to go. I mean I brought up
21 the question about the 20 scrams over a three year period
22 and I think we have been working with NEI to try to come up
23 with a way of appropriately regulating a mature industry and
24 we have gone a long way and we will continue to go towards
25 rationalizing our regulations into a risk-informed,

159

1 performance-based matrix.

2 That is the direction you want us to go. I think
3 you would agree we are going in the right direction on that.
4 The hazard is because you are a mature industry we are
5 treating you that way, and to say, well, in the '80s our
6 average plant had eight a year and so, you know, don't be so
7 worried about 20, if we are going to regulate you as a
8 mature industry the way it ought to be, we are going to be
9 basing that to a certain extent on where you are now, not
10 where you were in the '80s.

11 MR. FLOYD: I totally agree with that, and that is
12 why the threshold between the green and the white zone is
13 set at three and not some lower number where it could be set
14 if you really wanted to make it truly risk-informed.

15 For example, the break point between the white and
16 the yellow threshold, which is six in the table, as was
17 pointed out by the Staff is really kind of a bounding value
18 that is actually conservative for a good number, perhaps a
19 majority of the plants.

20 From the reviews that were done, probably a number
21 around 10 to 12 is a more typical value for what would be an
22 appropriate threshold using the rough risk values that Mr.
23 Baranowsky went over and yet we chose the bounding value of
24 six to bracket all the plants, so I think there is a
25 built-in acknowledgement that we are not trying to go all

160

1 the way back to where performance was in the '80s but we are
2 trying to reflect what today's reality is.

3 COMMISSIONER DIAZ: But isn't the real issue that
4 scrams by themselves, you know, we used to have scrams in
5 plants because they saw the state power supplies were not
6 able to supply enough current and boom! -- they went -- and
7 there was nothing else involved, period.

8 But what we are really talking, we are talking
9 risk-informed is something that relates actually to let's
10 call it one of my favorite words, risk configuration of the
11 plant and the performance, and I think the question is if we
12 are really risk-informed in the scrams, is 20 a good number?
13 I think is a good question.

14 I think non-consequential scrams you could have,
15 but if it is a risk-informed scram we should determine that
16 the plant configuration has changed because of the scram,
17 not just the number of scrams.

18 MR. FLOYD: I totally agree.

19 COMMISSIONER MERRIFIELD: Thank you.

20 MR. FLOYD: On the containment leakage indicator,
21 I do want to point out that that is not just the integrated
22 leak rate test for one class of plants we perform three
23 times in 10 years and for the Appendix J, Option B plants
24 would be performed once in 10 years, but it also adds to it
25 each time you find an as-found condition as a result of a

161

1 LOCA leak rate test, you would add that to your baseline
2 value for your integrated leak rate test value as last

3 performed to show what the cumulative impact was of having
4 whatever the condition might be that was causing an increase
5 in the containment leakage rate.

6 So in our view it is a somewhat useful indicator
7 in that it is going to reflect how many times a plant might
8 be dropping from, say, the green zone down into the white
9 zone as a result of having as-found leakage, which would
10 indicate if that happens repetitively a problem in
11 maintaining containment leakage boundary integrity through
12 valves, and so we think it is important from that
13 perspective.

14 On a safety system performance indicator we
15 totally agree with Mr. Lochbaum that it will not pick up
16 design issues and that is why in the risk-informed baseline
17 inspection program we certainly support the need to go back
18 and look at as-built configuration aspects of the plant to
19 make sure that when you are measuring a certain parameter
20 that you are measuring it in the right way and that it is
21 valid to be paying attention to what that indicator is
22 telling you, but that is why it is a two-part process and
23 not just based on the performance indicators.

24 If I could have Slide 3 -- thank you.

25 There are a couple of significant open issues that

162

1 I did want to raise. They are significant not in the fact
2 that I don't think they can all be resolved. In fact, I
3 think they all can be resolved. They are significant
4 because it is difficult to go much further than what we have
5 gone today without resolving and getting an answer on these
6 issues.

7 The first one really goes to the heart of what I
8 think was a lot of the discussion today, and that is how do
9 you assess the significance of inspection findings
10 consistent with the philosophy which is embedded in the
11 performance indicator threshold approach, so that you don't
12 wind up with a lot of subjective insight from an individual
13 inspector at one plant that thinks that this is a
14 significant finding and therefore colors that cornerstone,
15 if you will, in terms of its performance, and another
16 inspector has a different view.

17 It is not in the SECY and I know the Staff was
18 somewhat reluctant to discuss some of their thoughts on
19 this, but I don't feel that reluctance. They have actually
20 shared in a public meeting a very early-on draft concept as
21 to how that would be done.

22 We have some comments on it, but we think overall
23 it is headed in the right track and what it does it is looks
24 at what is the duration of the condition that was found,
25 what is the event and the frequency for the events for which

163

1 that piece of equipment is there to respond to, and what
2 degree of redundancy or other backup capability for the
3 function that is provided by that component exists at that
4 facility, and through a matrix type of approach which now
5 allows you a very structured and very predictable way of
6 binning, if you will, what is the significance of that
7 finding, you can make it very consistent, we think, with the
8 same concepts that are embedded --

9 CHAIRMAN JACKSON: But you are saying that is
10 where they are going?

11 MR. FLOYD: I think that is where they are headed

12 and we think they are on the right track there.

13 We think that is a reasonable approach and looks
14 as good as any.

15 CHAIRMAN JACKSON: Can you --

16 MR. FLOYD: Yes. Consistency of enforcement
17 action with the assessment process -- as you noticed,
18 there's only two pages out of the roughly 500 pages that do
19 address that.

20 I think Mr. Lieberman responded to that.

21 There has been a lot of good interaction, we
22 believe, between the industry and the Office of Enforcement
23 on that and we do appreciate that.

24 I guess our bottom line is we think enforcement
25 should be based on significance of findings equivalent to

164

1 the threshold concepts -- same philosophy that -- same issue
2 that we have to resolve with the inspection findings and it
3 needs to be very consistent.

4 I would just point out that when we look at the
5 various options in the paper in our view not all of those
6 options are consistent with the principles that are embodied
7 in the balance of the assessment paper, particularly the
8 aggregation of findings.

9 I guess the analogy that someone on the Staff
10 mentioned at one meeting is 1,000 BBs don't equal a cannon
11 ball, and we think that holds true.

12 That is the whole philosophy behind measuring
13 performance and allowing an expected deviation in the norm
14 and this recognition that we are not running a zero
15 defect --

16 CHAIRMAN JACKSON: I understand the point you are
17 making but it also is true that 1000 BBs shot at the same
18 time can equal --

19 COMMISSIONER DIAZ: It's the same kinetic energy.

20 CHAIRMAN JACKSON: It's the same kinetic energy.

21 MR. FLOYD: Well, I think the real danger here is
22 when you look at a typical plant's corrective action
23 program. A typical licensee captures around 800 to 1000
24 items in its corrective action program, and I am not sure
25 just because the licensee found them and put them in their

165

1 corrective action program versus an inspector finding
2 them --

3 CHAIRMAN JACKSON: But, see, I think we have
4 already addressed that actually in the changes that have
5 already been made to the inspection policy and guidance
6 having to do with an explicit statement not to be mining the
7 corrective action programs --

8 MR. FLOYD: Oh, I understand that -- my only point
9 was trying to put in balance 12 inspection findings when the
10 licensee has already identified and is dealing with 800 or
11 900 items and why there is more significance placed on the
12 12 --

13 CHAIRMAN JACKSON: The point being the following,
14 Mr. Floyd. If it is risk-informed, okay, then that is the
15 point I was making earlier in the assessment process, you by
16 definition have narrowed the focus when you say
17 risk-informed and therefore if in fact, going to your
18 earlier point, that the things are lined up in the
19 inspection program, around the cornerstones, have thresholds
20 associated with them, that by definition is the trigger, but
21 I would agree with your concern relative to assuring that

22 this translates into criteria that the inspectors use as
23 they are documenting.
24 MR. FLOYD: I agree that risk-significance is the
25 test.

166

1 CHAIRMAN JACKSON: Right, and so if the things are
2 aligned, then that -- and that is the check we have to make,
3 that in point of fact that addresses itself.

4 MR. FLOYD: Yes, it does.

5 Eliminating the baseline inspection activity
6 adequately covered by PIs -- I don't think this is a major
7 driving concern of ours across the board, but in one
8 particular area, the reactor protection area, radiation
9 protection area for occupational exposure, that was the one
10 area that we believe the performance indicators came about
11 as close as any of the other areas to being a fairly
12 comprehensive set that does cover what is important in that
13 occupational exposure area.

14 CHAIRMAN JACKSON: You all work on that one.

15 MR. FLOYD: And that one we will have to work on.

16 CHAIRMAN JACKSON: Because I think the issue seems
17 to come down to what does adequate coverage mean?

18 MR. FLOYD: Exactly.

19 CHAIRMAN JACKSON: Okay? That is number one.

20 MR. FLOYD: We are hard-pressed to come up with a
21 significant finding, inspection finding, that wouldn't
22 already be captured by the PI.

23 CHAIRMAN JACKSON: Captured by it, right -- and
24 baseline is meant to be just that. It is a baseline and so
25 as such you are not looking to go below it, but it does

167

1 relate to what does adequate coverage by the PI mean.

2 MR. FLOYD: Pilot plants we totally agree with the
3 pilot plant schedule. We think that is reasonable and we
4 would like to see that go off on schedule.

5 There is a lot of industry support for the pilot
6 project. We now have more than enough volunteers to meet
7 the two plant per region target that the Staff has to
8 conduct this pilot and we also think that there will be a
9 lot of good useful information coming out of the pilot.

10 CHAIRMAN JACKSON: What do you mean when you say
11 ground-rules? Tell me what your concern is there?

12 MR. FLOYD: Well, only that it is not defined
13 exactly how the pilot program will be run yet. We have a
14 number of plants that have agreed to be a candidate pilot
15 plant with what they think is the understanding as to how
16 the pilots will be run and what the program would look like,
17 but if that were to change drastically they would
18 reevaluate, but assuming it doesn't, I think we are in
19 pretty good shape.

20 CHAIRMAN JACKSON: Okay.

21 MR. FLOYD: Next slide, please. On transition
22 issues, we see a number of them -- technical issues, we are
23 in the process of developing a performance indicator manual
24 to put more definition and firm criteria as to what goes
25 into the performance indicator, how you calculate it, what

168

1 doesn't count in the performance indicator, so that we get
2 as consistent a response on the PI data as possible.

3 We do acknowledge as the Staff has mentioned the

4 need for some additional benchmarking once we get those
5 definitions nailed down and we also recognize that this
6 first set of PIs that are in the assessment program are the
7 near-term set I think was the words the Staff used and that
8 there is an opportunity for additional PIs down the road.

9 In fact, we had proposed some in the shutdown area
10 as an example. Quite frankly there just wasn't enough time
11 to evaluate all of the potential performance indicators.

12 CHAIRMAN JACKSON: So you are amenable to PI
13 additions and changes over time?

14 MR. FLOYD: Yes. We think that is appropriate to
15 do that as we get more experience with it.

16 CHAIRMAN JACKSON: And then with regard to
17 benchmarking, I mean I note that both NEI and NRC
18 benchmarking employed surrogate data for data that is not
19 readily available at this time.

20 MR. FLOYD: That's correct.

21 CHAIRMAN JACKSON: And so I would assume then
22 additional benchmarking means to be able to do that with
23 data that is not just surrogate data --

24 MR. FLOYD: That's correct.

25 CHAIRMAN JACKSON: -- so you can have more

169

1 confidence.

2 MR. FLOYD: You can have the actual performance
3 indicator data that would be in the program.

4 CHAIRMAN JACKSON: Right, so that you would have
5 more confidence in the actual benchmarking.

6 MR. FLOYD: Absolutely, and that would be done in
7 conjunction with the pilot activity.

8 CHAIRMAN JACKSON: Okay.

9 MR. FLOYD: In the administrative area, reporting
10 mechanisms, as Mr. Beedle mentioned, we don't see any
11 reluctance on the part of any licensee to voluntarily report
12 this data. The mechanism that we are looking at and have
13 discussed with the Staff is perhaps an appendage to the
14 third quarter monthly operating report as a way to get that
15 data in in a reasonable fashion.

16 We are also looking at trying to make that both as
17 easy for the licensees and the Staff as possible by putting
18 enough electronic medium and having the data just have to be
19 entered on a quarterly basis and the software would
20 automatically update the algorithm for the appropriate
21 interval and compute the trend curves to make it as easy as
22 possible on everybody.

23 CHAIRMAN JACKSON: Everybody has that capability?

24 MR. FLOYD: We believe so now, yes. We don't
25 think it is very difficult to do if it's done with a normal

170

1 data disk.

2 Revisions to the inspection manual -- we know
3 there is a lot of work to be done there and I won't say any
4 more about that.

5 CHAIRMAN JACKSON: I mean all of this has to go
6 along with a bunch of other things having to do with the
7 changed management. There's that.

8 MR. FLOYD: That's correct.

9 CHAIRMAN JACKSON: A lot of other process changes,
10 training, et cetera, et cetera.

11 MR. FLOYD: My next two slides really focus on
12 just that issue, the transition issues. We see this as a
13 major change for both the NRC and the industry.

14 For the NRC we do endorse and support the need and
15 the recognition that they have expressed for strong change
16 management within the NRC to ensure I think, again going to
17 what Commissioner Diaz's point was, recognition that all
18 industrial processes have random error. A zero defect
19 cannot be the goal because it cannot be achieved.

20 What really I think needs to be reinforced is that
21 performance within the expected norms is fully acceptable
22 performance and what we are really looking for in this
23 process is when does the performance start to deviate from
24 expected norms such that additional attention can be brought
25 to bear as appropriate.

171

1 CHAIRMAN JACKSON: Let me just say something
2 because I am sure you all are going to be testifying at this
3 hearing next week. I mean I am assuming that this is
4 reinforcing what to this point the Staff has been working
5 with you and others to build into the process.

6 MR. FLOYD: Exactly.

7 CHAIRMAN JACKSON: Not that this is something
8 that --

9 MR. FLOYD: It's not a new issue.

10 CHAIRMAN JACKSON: Right. It is not a new issue.
11 It is not that the process as developed doesn't have this
12 recognition. You just want to ensure that on a go-forward
13 basis -- not that it is not focused on the safety. I mean
14 that is the whole point of the cornerstones and the
15 risk-informed approach built around that and it would be
16 helpful if you would recognize that as such and reinforce it
17 and say that it is something that needs reinforcement, as
18 opposed to the way it is listed. It makes it sound as if it
19 is a missing element.

20 MR. FLOYD: I hope I captured that with "ensure"
21 but that's -- I will readjust that.

22 Likewise the industry has issues to deal with as
23 well --

24 CHAIRMAN JACKSON: Thank you.

25 MR. FLOYD: -- and I think this goes to a question

172

1 perhaps Commissioner McGaffigan asked the Staff, and that is
2 what if you go out, inspect, and you come up with a finding
3 which you determine has extremely low or perhaps negligible
4 risk or safety significance and yet it still is a little
5 noncompliance with the regulation. How do you handle that
6 and treat that?

7 I think we are going to have to be careful as an
8 industry to make sure that we don't inadvertently
9 de-emphasize the need to be in compliance with all of
10 today's regulations until such time as we change them --

11 CHAIRMAN JACKSON: That's right.

12 MR. FLOYD: -- if we decide to change them because
13 we find one that if you can violate it regularly and it
14 doesn't have any impact maybe it ought not be a regulation,
15 but that is another effort in another time to deal with
16 that, and you don't have latitude to decide that --

17 CHAIRMAN JACKSON: That's right. That's an
18 important point. I mean that the disposition of them
19 according to the risk significance is where the relief valve
20 can come --

21 MR. FLOYD: That's correct.

22 CHAIRMAN JACKSON: -- but not that it is something

23 that people can willy-nilly ignore.
24 MR. FLOYD: Exactly. The other things that are
25 very important and bear out the real need for licensees to

173

1 have is a good strong self-assessment capability and a very
2 effective corrective action program.

3 That is going to be the key to licensee's success
4 under this assessment process and Ralph already mentioned
5 the information forms.

6 MR. BEEDLE: May we have the last slide, please?
7 Only one note I would make on this one. That is
8 the enhanced public confidence and I think this gives us the
9 ability to put the events and conditions at the plant in
10 proper perspective.

11 I think with that we will gain better public
12 perception of the operation of these nuclear plants and the
13 operation of the NRC.

14 CHAIRMAN JACKSON: Okay. Commissioner Dicus --
15 Diaz?

16 COMMISSIONER DIAZ: That's okay. No, I don't have
17 any more questions.

18 CHAIRMAN JACKSON: Commissioner McGaffigan?

19 COMMISSIONER MCGAFFIGAN: Nope.

20 CHAIRMAN JACKSON: Okay. Well, on behalf of my
21 Commission colleagues, I would like to thank --

22 COMMISSIONER DIAZ: Especially Commissioner
23 Dicus --

24 [Laughter.]

25 CHAIRMAN JACKSON: -- thank the NRC Staff, NEI,

174

1 and the Union of Concerned Scientists for a very informative
2 meeting and a number of very important and insightful
3 comments.

4 In addition, I would like to congratulate the
5 Staff and our stakeholders, both those who are here and
6 those who are not, for why I do consider to be, and I hope
7 you all continue to feel this way, to be an outstanding
8 cooperative effort in coming this far this fast.

9 While I cannot prejudge the outcome of the
10 Commission review of this matter, although we give lots of
11 advertisements, I can posit that any weaknesses identified
12 in the proposed programs cannot be the result of any
13 insufficient levels of the diverse input that we have had.

14 Again, I want to reemphasize that I actually
15 believe that the level of NRC stakeholder and NRC
16 interaction on this issue represents to this point the best
17 of what we have ever been able to achieve in terms of
18 openness, which I remind everyone is in fact one of our
19 principles of good regulation.

20 It is clear that the Staff has organized its
21 program logically and has provided much-improved clarity
22 notwithstanding Commissioner Merrifield's comments about
23 plain English, with which I agree in terms of the need for
24 some kind of summary statement, but clarity of purpose over
25 the existing NRC programs for assessment and inspection, and

175

1 enforcement, but with more work clearly understood that has
2 to be done in the inspection area.

3 The use of the cornerstones of safety to tie
4 operational concerns to the NRC fundamental mission of
5 protecting public health and safety is a feature which in my

6 estimation significantly aids in focusing our attention, and
7 if one takes that in conjunction with the risk-informed
8 inspection performance indicators and the assessment
9 guidance, my initial impression is that we actually gain a
10 much stronger footing as we attempt to do our jobs but at
11 the same time to maximize the efficient use of our
12 resources, albeit with a clear understanding that there is
13 an upfront cost for us and for our licensees.

14 The Commission will be providing its feedback to
15 the process in the very near future. Nonetheless, I would
16 encourage all of you to press on with addressing the issues
17 you can at this time. I understand both the comments the
18 Staff has made as well as those you have made, Mr. Beedle,
19 that the Commission has to signal its clear support for this
20 because it does require changed management here and among
21 the nuclear power industry licensees.

22 We are due a final product in March and the Staff
23 should continue to move toward that product, and so unless
24 any of my colleagues have any closing comments, we are
25 adjourned. Thank you.

*

176

1 [Whereupon, at 1:15 p.m., the briefing was
2 concluded.]

3

4

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25