

1 UNITED STATES OF AMERICA
 2 NUCLEAR REGULATORY COMMISSION
 3 ***
 4 OFFICE OF THE SECRETARY
 5 ***
 6 BRIEFING ON PROPOSED REACTOR
 7 OVERSIGHT PROCESS IMPROVEMENTS
 8 AND ENFORCEMENT

9 ***
 10 PUBLIC MEETING

11 One White Flint North
 12 Room 1F-16
 13 11555 Rockville Pike
 14 Rockville, Maryland
 15 Friday, March 26, 1999

16
 17 The Commission met, pursuant to notice, at 9:07
 18 a.m., the Honorable SHIRLEY A. JACKSON, Chairman of the
 19 Commission, presiding.

20 COMMISSIONERS PRESENT:

- 21 SHIRLEY A. JACKSON, Chairperson
 22 EDWARD MCGAFFIGAN, JR., Commissioner
 23 JEFFREY S. MERRIFIELD, Commissioner
 24 GRETA J. DICUS, Commissioner
 25 NILS T. DIAZ, Commissioner

2

1 STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE:

- 2 STEPHEN BURNS, DEPUTY GENERAL COUNSEL
 3 KENNETH HART, TECHNICAL COORDINATOR
 4 RALPH BEEDLE, NEI
 5 STEVE FLOYD, NEI
 6 BOB BISHOP, GENERAL COUNSEL, NEI
 7 DAVID LOCHBAUM, UCS
 8 FRANK MIRAGLIA, NRC STAFF
 9 SAMUEL COLLINS, NRC STAFF

3

1 P R O C E E D I N G S

2 [9:07 a.m.]

3 CHAIRMAN JACKSON: Good morning. The Commission
 4 is very pleased to welcome members of the NRC staff and
 5 representatives of the Nuclear Energy Institute and the
 6 Union of Concern Scientists here today.

7 In this meeting, the NRC staff will discuss
 8 progress in developing a revised power reactor oversight

9 program that has taken place since our January 20 meeting on
10 this topic.

11 As many of you know, the changes we will discuss
12 today are intended to resolve a number of weaknesses in the
13 NRC reactor inspection assessment and enforcement processes.
14 These weaknesses were identified by a number of sources,
15 including the NRC Commission and staff, the nuclear power
16 industry public interest groups, and the Congress.

17 As early as 1996, opportunities to improve the NRC
18 senior management meeting process were identified, which
19 prompted us to enlist the aid of Arthur Andersen &
20 Associates for assistance in developing recommendations for
21 a more scrutable and objective process.

22 Incremental improvements marked the intervening
23 period, with the development and use of plant information
24 matrices, improved inspection report preparation guidance,
25 and Commission direction to develop an integrated reactor

4

1 assessment program.

2 Throughout, my colleagues and I have actively
3 encouraged the staff to risk-inform the reactor inspection
4 assessment and enforcement processes. To that end, I
5 provided my thoughts on the subject to NRC senior managers
6 at a senior management meeting in July of last year and at
7 that time, we discussed elements of an assessment process
8 that might be based on the cornerstones of safety and a
9 risk-informed baseline inspection program.

10 Since that time, the staff has built on these
11 concepts admirably, I think, and with a lot of seminal input
12 from the nuclear industry and also the public and
13 governmental sources to create a fundamentally different
14 oversight program from that which currently is in place.

15 The staff recently forwarded to the Commission
16 SECY 99-007A, recommendations for reactor oversight process
17 improvements. Is there going to be a B? This paper
18 augments the information in the predecessor paper, 99-007,
19 and provides greater detail, as the Commission had asked, on
20 proposed enforcement program changes and assessment
21 methodologies, addresses public and Commission comments on
22 the original proposal, and reports on the results of
23 benchmarking that has taken place for the inspection finding
24 assessment process.

25 This represents the results, all of this, of a

5

1 synergistic approach. It includes input, as I've said
2 repeatedly, from our power reactor licensees, industry
3 advocacy groups, public interest groups, individual states,
4 and last, but certainly not least, the NRC staff, including
5 an in-depth and substantive involvement from all the
6 regions.

7 And the staff now requests that the Commission
8 approve the concepts and scope of the changes presented.
9 This meeting is intended to facilitate Commission
10 deliberation on this request and we're encouraged by
11 feedback from our stakeholders indicating that the program
12 appears to meet the goals the staff detailed in the paper
13 before us today.

14 Specifically, the new program is intended, first,
15 to ensure that plants to continue to operate safely; second,
16 enhance public confidence in our regulatory oversight;
17 third, improve efficiency and effectiveness; and, fourth,
18 reduce unnecessary regulatory burden.

19 We look forward to the presentations. I believe
20 that the Commission will benefit from a thorough discussion
21 of at least three topics in our meeting today; one, what
22 degree of assessment burden should we assign to our capable
23 inspectors; second, how enforcement should be integrated
24 with the assessment process; and, third, how do we ensure
25 that we do not minimize inappropriately the significance of

6

1 inspection findings.

2 I understand that copies of the viewgraphs and
3 SECY 99-007A are available at the entrances to the meeting.
4 We are now ready to hear from our eight closest friends and
5 we've all made a treaty, the Commissioners, that we will do
6 our level best not to ask any questions until you have gone
7 through your presentation. If we make it, it will be
8 unprecedented, but I believe we are going to work at that.

9 Now, on the other hand, Mr. Beedle, when you
10 arrive, we may ask questions from the beginning.

11 COMMISSIONER MERRIFIELD: Madam Chairman, if I may
12 --

13 CHAIRMAN JACKSON: See? No, no, no, no, no.

14 COMMISSIONER MERRIFIELD: I think a measure of
15 success of this meeting would be our not using up the
16 entirety of the three and a half hours allotted to it.

17 CHAIRMAN JACKSON: We will see.

18 COMMISSIONER MERRIFIELD: Summary and quick
19 comments of the staff would also probably be appreciated.

20 CHAIRMAN JACKSON: I see. So this is direction to
21 the staff. Begin.

22 MR. MIRAGLIA: Good morning, Madam Chairman,
23 Commissioners. I intend to be brief. The staff is here
24 today to discuss recommendations in the improvements of the
25 reactor oversight process. As indicated, this briefing

7

1 follows the activities and status since the meeting of the
2 Commission in January.

3 Since that last meeting, we've been working with
4 our stakeholders in public fora to develop a mutually
5 acceptable reactor oversight process.

6 In the context, I think we want to pay particular
7 note to the efforts of the regional office to support this
8 activity. It's been significant and invaluable, as well.

9 One point that I would like to stress is that as
10 always, the performance assessment process does not change
11 the agency's ability to act on any significant safety issue
12 that arises. We don't have to wait for the outcome of the
13 licensee performance assessment process.

14 As indicated, the staff is seeking the
15 Commission's approval regarding the scope and the concepts.
16 With me today, on my left, is Sam Collins, the Director of
17 the Office of Nuclear Reactor Regulation; Frank Gillespie,
18 Deputy Director, Division of Inspection Program Management,
19 NRR; William Dean, Chief of the Inspection Program Branch,
20 NRR; Morris Branch, Reactor Operations Engineer, NRR.

21 To my right, Jim Wiggins, Deputy Regional
22 Administrator, Region I; Jim Lieberman, Director, Office of
23 Enforcement; and, Alan Madison, Transition Task Force
24 Leader, NRR. With that, I will turn to Frank Gillespie, who
25 will open the staff's presentation.

8

1 MR. GILLESPIE: Good morning, Chairman Jackson,
2 Commissioners. The staff is here, as you said, today to
3 complete the discussion of the development efforts started
4 in our January briefing of the Commission and to mark an
5 important transition to the implementation phase of this
6 program.

7 In SECY 99-007, this documents the change and
8 serves as the basis, as you said, for today's briefing. We
9 believe that the topics listed to be discussed will address
10 the open questions from the last meeting and provide more
11 detail than the presenters.

12 In addition, we'd like to acknowledge up front
13 that we did get a large number of comments and many of the
14 comments will be dealt with in implementing documentation in
15 the detailed comments. So that when you see that the
16 comments are not necessarily dealt with in this paper, we
17 basically have a catalogue of comments which we're going to
18 need to deal with as we're writing the specific inspection
19 manual chapters and the implementing documentation
20 themselves. So these comments have been saved.

21 As part of the transition process, the staff is
22 requesting, as the paper said, approval to proceed to full
23 implementation in January of 2000. As we proceed into the
24 next months, there is a significant investment in writing
25 procedural documents, training a broad crosssection of the

9

1 staff, industry commitments to training their staffs,
2 developing processes and infrastructure for delivering
3 performance indicator information and digesting and
4 displaying information for the public.

5 Commission comment and approval, we feel,
6 therefore, at this point, is extremely important at this
7 time in order to continue on this very aggressive schedule.

8 While Bill Dean will cover the transition task
9 force organization and address any questions on staffing the
10 current effort, let me address the establishment of what we
11 call the executive forum, which consists of the deputy
12 regional administrators and is the reason Jim Wiggins from
13 Region I has joined us at the table.

14 Jim is serving as the chairman of the forum, which
15 was intended to give critical, very critical review, advice
16 and comment on focused areas of principal concern to the
17 regions as we move forward into this phase of
18 implementation. I would note that on the forum, there are
19 no NRR members. This really is intended to be the regional
20 critical review of what we're doing and we felt this was
21 extremely important for that independent look at what we're
22 doing.

23 Their effort is just starting and Jim can address
24 those questions later at his point in the presentation, and
25 any suggestions on the role that you would see this type of

10

1 executive forum serving that you might have.

2 With that, I'm not going to duplicate future
3 discussion. I'm going to turn it directly over to Bill
4 Dean, so we can get into the substance.

5 MR. DEAN: Good morning, Chairman, Commissioners.
6 If I could have the next slide, please. This slide
7 indicates the members of the transition task force. I
8 myself am the task manager; Alan Madison, at the other end
9 of the table, is the task force leader.

10 This indicates the major segments or programs that

11 are incorporated under the transition task force. All of
12 the members of that task force are here.

13 I would like to point out, in particular, Augie
14 Spector, who is helping us out in the communications area.
15 That is, with the rapid pace at which this program is
16 moving, the vast number of internal and external
17 stakeholders, the communications aspect of this process is
18 extremely important and Augie is providing us great support
19 in this area, as well as the other members of the task
20 force.

21 The next slide, please. This slide describes
22 basically the major transition milestones. You'll note the
23 first two items there, the original Commission presentation
24 in January and the public comment period in February have
25 been completed and we're at the point now with 99-07 Alpha

11

1 and this Commission briefing, at the point that we're
2 seeking Commission approval for proceeding with full
3 implementation.

4 This outlines the fairly substantial milestones
5 that remain, leading toward full implementation beginning in
6 January of 2000 and completion of the project review 2001.
7 So this is still a long way to go, but we're making good
8 progress.

9 Next slide, please. What I would like to spend a
10 few minutes talking about right now is, as Frank alluded to,
11 our approach in dealing with the public comments. Following
12 the Commission briefing and the issuance of SECY 99-007, we
13 issued a Federal Register notice that included a
14 questionnaire to help focus the public on areas that we are
15 looking for comments on. As you know, that paper was fairly
16 massive, and so we felt that the questionnaire would help
17 achieve comments in particular areas.

18 We received comments from 28 respondents. Most of
19 these respondents were industry respondents, but we did
20 receive several comments from public advocacy groups, like
21 UCS and Public Citizen, as well as two state regulatory
22 agencies from Pennsylvania and Illinois, and one public
23 citizen.

24 As Frank noted, a lot of these comments dealt with
25 implementation and developmental work, and so a lot of these

12

1 comments will be addressed as we develop the process, and
2 we've established a database to collect the comments and to
3 track basically our resolution of these comments. But a
4 number of them will not get resolved until we finish
5 development of a lot of the implementation guidance, as well
6 as going through the pilot program.

7 Next slide, please. Basically, the high level
8 comments can be grouped into four areas. The first is that
9 there is not adequate time or opportunity for the NRC to
10 seek or much less incorporate comments it received on
11 changes to the process. Secondly, that there were still
12 major developmental efforts to be accomplished that would
13 not receive public scrutiny; in particular, enforcement
14 policy and the significance determination process, which are
15 the main elements of 99-07 Alpha.

16 Third, that the feasibility of the process needed
17 to be demonstrated, especially for those plants that had
18 numerous problems with low significance that did not
19 necessarily trip a PI threshold. There was concern

20 expressed in that area. And, fourth, how would the NRC
21 prevent deterministic methods and, thus, subjectivity from
22 creeping back into the program through inspection findings.
23 I'd like to deal with the first issue or,
24 actually, the first two issues are fairly related, which is
25 about concerns for public comment. We are making every

13

1 effort to keep the public apprised of our developments
2 through public observations of our frequent meetings with
3 NEI as we develop the processes; making publicly available
4 many of our working documents and conducting public
5 workshops next month, April, and as well as in May, there
6 will be public workshops.

7 We also will be seeking specific public comment on
8 SECY 99-07 Alpha by issuing a Federal Register notice and as
9 Jim Lieberman will discuss during his part of the
10 presentation, a separate Federal Register notice on the
11 enforcement policy itself associated with the pilot program.

12 With respect to the feasibility of the process,
13 the feasibility review that we conducted several weeks ago,
14 that Morris Branch will discuss in just a few minutes, has
15 given the confidence to proceed with the pilot program.
16 Developmental work still remains and we expect to refine the
17 process as we move through the pilot program and gain
18 further experience.

19 But we are comfortable that we are heading down
20 the right track, although at a very rapid pace.

21 Regarding the issue of how do we deal with a plant
22 that has numerous low level issues, we are currently working
23 with the Office of Research to determine if a process to
24 assess the risk significance of a collection of low safety
25 significant issues is feasible. A basic tenet of this

14

1 program is that as long as a licensee remains within the
2 licensee response band of performance, that we will allow
3 the licensee to resolve issues with a minimal amount of NRC
4 intervention.

5 However, this issue is a concern to many of our
6 external and internal stakeholders, so we are pursuing
7 development of a tool for a process to determine that some
8 risk significance or risk characterization of such a
9 situation is feasible.

10 Finally, with respect to the concern raised about
11 the subjectivity of our inspection process, we are not going
12 to totally remove the subjective element from our oversight
13 program. But what we have done with this process is infuse
14 a greater degree of objectivity through the inclusion of
15 performance indicators, a greater focus on risk significance
16 of our inspection findings, and a more predictable,
17 consistent and scrutable process through our agency action
18 matrix.

19 We also plan, as part of our annual assessment
20 process, to provide not only assessment of licensee
21 performance, but also the oversight process itself,
22 including the inspection program.

23 Basically, that concludes my remarks this morning
24 and if there are no questions, I would like to introduce
25 Morris Branch, a member of the transition task force, who

15

1 led the feasibility review effort and development of the
2 significance determination process. And Gareth Perry is

3 going to take my seat for a few minutes. He's a
4 representative from the Division of Systems Safety and
5 Analysis, who was a key member of that transition task
6 force.

7 Thank you.

8 MR. BRANCH: Good morning. I am here today to
9 briefly describe the two tasks that were key elements in the
10 development of the new reactor oversight process. The first
11 task was the development of a process for determining the
12 risk significance of inspection findings and the second task
13 was to conduct the feasibility review of the above process
14 in other elements of the reactor oversight program to
15 determine if they are feasible to pilot in June.

16 Before I begin, I would first like to say that
17 this effort involved a wide variety of agency assets. Our
18 task group included members from Research, NRR, the Office
19 of Enforcement, Federal Training Center, and all four
20 regional offices. Mr. Gareth Perry, of the Division of
21 Systems Safety and Analysis of NRR, along with many others,
22 provided valuable PRA insight for the process development.
23 Mr. Perry is here today to answer any questions you may have
24 in the PRA area.

25 My background is inspection. I was a field

16

1 inspector for 16 years, resident inspector, senior resident
2 inspector, and since I've been in headquarters, I've led
3 several of the AE design reviews. I bring the end user
4 perspective to this project.

5 I would then like to briefly describe our efforts
6 to date in developing the processes to assign a risk
7 characterization, which we refer to as a significance
8 determination process, the STP, to an inspection finding.
9 This process is needed for the alignment of an inspection
10 finding for a cornerstone so it can be dovetailed with plant
11 performance indicators, PIs, during the plant assessment
12 process.

13 Slide, please. From this slide, you can see that
14 an inspection finding can take several routes. This slide
15 points out the areas where we have essentially completed
16 development of the STP work, as well as areas where
17 additional effort is needed. The slide also demonstrates
18 that the output of all the STP processes will be an input to
19 the plant assessment and, if necessary, enforcement process
20 that Mr. Jim Lieberman will describe later.

21 The to-be-determined on the slides represent areas
22 where more work is needed. For example, we still need to
23 make further progress in the areas of emergency
24 preparedness, radiation safety, safeguards, and shutdown
25 activities. We continue to work with industry

17

1 representatives in a publicly observed arena to further
2 develop this process.

3 We have made considerably more progress in the
4 development of a process to deal with items that may impact
5 an initiating event or mitigation of system cornerstones
6 associated with power situations, and I would like to
7 describe that process logic now, if there are no questions.

8 Next slide, please. Please note that this process
9 was developed using inputs derived from other agency
10 products, including Reg Guide 1.174; NUREG-5499, which
11 provides the likelihood probability of initiating events;

12 NUREG-4674, which describes the ASP screening rules; and, we
13 use typical equipment and human performance reliability
14 values generally consistent with those obtained from PRA
15 models.

16 Because this process is evolving, also, the
17 likelihood of initiating events currently in the SECY are
18 different from the values used in the feasibility study and
19 when Research provides more refined information as part of
20 their efforts, the values may change again.

21 We're just trying to describe our process and
22 concept here, not the final product.

23 From the diagram, you can see that the first step
24 in the process is to clearly identify the concern. During
25 process development and during the feasibility review, which

18

1 I will discuss later, it became clear that the inspector's
2 concern in any assumption has to be formulated prior to
3 using the tool. This part of the process is similar to
4 performing an engineering calculation. You first have to
5 state the problem, the assumption you are making, and then
6 you can use the process and expect repeatable results. This
7 is an assumption-driven process.

8 The next step, phase one, involves a screening of
9 issues for risk significance. This screening will be
10 accomplished by field inspectors. We believe that many
11 items will be screened as non-risk-significant in this step
12 and will be passed to the licensees for resolution through
13 their corrective action program.

14 Since we have used the screening criterion similar
15 to that used in the ASP program, we expect some results.
16 For example, during a given year, approximately 1,500 LERs
17 are issued. Of those, 50 to 100 are given a detailed review
18 and approximately ten to 15 are determined to be of risk
19 significance. Our process forces an inspector to make
20 reasonable, but conservative assumptions; therefore,
21 inspectors will most likely pass more items than necessary
22 into the phase two review.

23 That's okay. We would rather have false positives
24 at the inspector level that can be refined later during the
25 phase two process.

19

1 After the screening and you have determined that
2 an item requires a phase two review, the inspector has to
3 ask what initiating events are impacted by the findings.
4 There may be more than one scenario that has to be reviewed.
5 We have attempted to provide guidance to allow a field
6 inspector to conduct his phase two review. However, until
7 the inspector becomes more familiar with the process, we
8 anticipate additional risk analyst help will be needed.

9 The next step in the phase two review involves
10 determining the frequency of the initiating event and the
11 duration of the degraded condition. You then determine the
12 likelihood of occurrence of initiating event while the
13 degraded condition exists and then consider the availability
14 of mitigation equipment.

15 Mitigation of the risk significance of an issue is
16 based on the equipment available to perform the high level
17 safety functions, reactor heat removal, inventory control,
18 et cetera. The general rule of thumb is that each line of
19 mitigation available represents an order of ten change for
20 the better in delta core damage frequency. After you have
21 finished the phase two review, you will have determined the

22 final worst case significance of an issue.
23 This determination is represented by a color
24 scheme similar to that used in the PI threshold values. We
25 have built into the process a phase three review, if needed.

20

1 This review will be performed by risk analysts and will
2 allow refinement of the risk characterization of the
3 significance of an issue prior to final actions associated
4 with the plant assessment or enforcement processes.

5 Using this process, industry worked through
6 several examples of issues that we evaluated in the
7 feasibility review and they got similar results. The
8 process appears to be repeatable as long as the assumptions
9 are the same. To ensure consistency between regions and
10 inspectors, we're considering, at least for the pilot, to
11 also perform a sample review of items that go through the
12 phase two review and are determined to be green by the
13 inspector.

14 Are there any questions before I continue with
15 discussion of the feasibility review?

16 CHAIRMAN JACKSON: Keep going.

17 MR. BRANCH: Next slide, please. Section 4 of
18 SECY 99-007 describes the staff's plans to test the
19 workability of the new reactor oversight process in early
20 1999. This test was advertised as a limited review of a few
21 plants using available data to demonstrate the ability to
22 assign a risk characterization to items typically contained
23 in a plant's issue matrix, the PIMs. The staff also plans
24 to conduct and exercise a new plant assessment matrix on the
25 limited data and to reach conclusions related to actions to

21

1 be taken using the new process.

2 Because of schedule constraints, the feasibility
3 review was performed at a time when many elements of the new
4 reactor oversight process were still under development.
5 That was okay because this review was intended to identify
6 improvement standards to support the pilot and the pilot is
7 intended to identify and correct any additional program
8 problems prior to full implementation in January 2000.

9 Before I describe the process and the results of
10 the review, I would like to discuss some of the limitations
11 associated with this effort.

12 Data review was from a non-risk-informed
13 inspection program and in some cases, the PIMs represented a
14 level of effort more than that in either the old core or the
15 new baseline programs. Only six of the proposed 20 PIs were
16 available and this restricted the team's plant assessment
17 efforts to only the initiating event and mitigation system
18 cornerstones.

19 The team did not have the luxury of looking
20 backwards, reviewing more data in order to determine what
21 additional considerations may have influenced the plant's
22 performance review outcome. However, insights from
23 reasonable personnel were solicited.

24 With that, I would like to discuss the process and
25 the SALP code.

22

1 Next slide, please. The plants reviewed were D.C.
2 Cook Units 1 and 2 for 1996-97 time period; Millstone's
3 Units 2 and 3 for the '94-'95 time period; St. Lucie 1 and 2

4 for 1997-98 time period; Waterford 3 for 1997-1998 time
5 period.

6 The participants for this one-week feasibility
7 review consisted of several inspectors or first-line
8 supervisors from the four regions, several risk analysts
9 from headquarters, a member from OE, and a member from the
10 training center. The first day we spent training and
11 providing an overview of the new process to the team.

12 We broke into two groups during the second and
13 third day and processed as many PIMs entries as we could
14 through the risk characterization process. We could only
15 effectively review about 20 to 30 issues per group in the
16 two days allotted. However, we did process items that we
17 suspected to be of risk significance. That was hardware
18 items from LERs that challenge the risk assessment tool.

19 The fourth day, we assigned the limited PI data to
20 a cornerstone and colored some of the assessment inputs. On
21 the last day, we simulated a plant assessment based on the
22 data available and provided reasonable recommendations based
23 on the action matrix. The regional representatives provided
24 insight as to what actions were actually taken at the time
25 and attempted to explain the differences between what we

23

1 would recommend with the new process versus what was done
2 under the old.

3 Next slide, please. The results of the new
4 process was determined feasible to pilot. The exercise did
5 challenge the risk characterization process and many
6 feedback items were incorporated, but more work is needed.
7 The review determined that most of the risk important items
8 were design or hardware related and this insight was passed
9 to the task group developing the inspection procedures.

10 Based on the limited data reviewed, actions
11 proposed by the new process were similar to those actions
12 actually taken, with the exception of a few plants, but even
13 then the actions taken by the region were well explained
14 when put in the context of previous year's performance,
15 which affects how the action matrix is utilized.

16 While it is clear that inspector training is
17 needed and there would be more involvement of risk analysts
18 in executing the process, the review team came away from
19 this effort with a good appreciation of the process and its
20 capabilities.

21 Are there any questions?

22 CHAIRMAN JACKSON: I think what we may need to do,
23 so that we don't lose the thread, is to pause and see if
24 there are a few questions, because I believe the next stage
25 is talking about enforcement.

24

1 MR. BRANCH: Enforcement, yes, ma'am.

2 CHAIRMAN JACKSON: Is that correct? So let me
3 just ask a few questions and then we'll just go in order
4 down the line. That way, we can try to keep it fairly
5 disciplined.

6 You talked about the need for more risk analysts.
7 Is that to say that the intent would be to increase the
8 number and then have it go back down again as the inspectors
9 become more comfortable with going through? I mean, how, in
10 fact, would this work?

11 MR. COLLINS: Madam Chairman, I think the
12 statement that Morris indicated as a result of the
13 feasibility studies would tell us that SRA involvement is

14 necessary to supplement.

15 CHAIRMAN JACKSON: On a continuing basis.

16 MR. COLLINS: On a continuing basis.

17 CHAIRMAN JACKSON: As a supplement.

18 MR. COLLINS: To supplement those decisions and
19 processes that are now focused towards the resident and the
20 senior staff. This is somewhat in response to your first
21 concern, an assessment of the burden on our inspectors as a
22 result of the process, particularly the assessment process
23 itself.

24 We have talked internally and we're trying to be
25 very circumspect about where this program is driving our

25

1 overall resources, but we are actively discussing the need
2 for not only more involvement by SRAs, which might redefine
3 what their current tasks are and focus in more towards
4 ongoing processes rather than right now they're focused,
5 more or less, towards the results of our traditional
6 process, but also for the next class of SRAs, which is
7 typically a two-year training cycle.

8 It's time to think about that not only in support
9 of this program, but in support of overall agency succession
10 planning.

11 CHAIRMAN JACKSON: Have you dealt with the issue
12 of regional managers, particularly at the branch chief
13 level, finding themselves having to manage some plants under
14 the old process and some under the new, at least in the
15 pilot phase?

16 MR. COLLINS: Yes. This topic was brought to our
17 attention, quite appropriately, by Region III this week,
18 when myself, Bill Dean and other members of the team rolled
19 out some aspects of these processes.

20 There were branch chiefs there from DRP and other
21 members of the Region III staff. I thought we had a very
22 good meeting and it was very interactive.

23 One of the issues that was brought forth was the
24 balance between branch chiefs, which typically now are
25 assigned two to three, sometimes four, depending on plant

26

1 performance, individual plants. We took that issue away.

2 One of the areas that we are exploring, however,
3 is the need to supplement regional staffing, particularly in
4 the interim, but perhaps for longer periods, with an
5 individual who would serve as an oversight process
6 coordinator, who would essentially look at the process in a
7 wide view and who would support the individuals who are
8 actually implementing the process as far as feedback,
9 refinement, and, also, to some extent, to look at the
10 processes to be sure that they're being applied equitably,
11 consistently amongst all plants, and those coordinators
12 would communicate to be sure that that's being done on an
13 overall national basis.

14 So it is an issue that's only one sensitivity that
15 we have as far as being able to provide for some relief, but
16 we committed to Jim Dyer yesterday to take that issue away.

17 There were two solutions which were proposed. I
18 think we have to work through those. One was grouping the
19 pilot plants under one branch chief. Initial discussions
20 determined that might not be the right thing to do for a lot
21 of reasons. So obviously we have to provide for some
22 additional support.

23 CHAIRMAN JACKSON: Is our public outreach
24 effective in engaging the public living around the plants?
25 MR. COLLINS: Now, you're referring to currently,

27

1 as we receive comments, or in the future with our
2 communications plan, or both?

3 CHAIRMAN JACKSON: Right, all of the above.

4 MR. COLLINS: All right. Let me ask the staff to
5 address the comments and perhaps for the communications
6 people to address it.

7 MR. MADISON: Actually, I'd like to address that.
8 We haven't, to date, gone out to each of the pilot plants,
9 but it is, in our thinking, jointly with NEI, to attempt to
10 reach the public surrounding each pilot facility and offer
11 ourselves for questions and answers.

12 MR. COLLINS: I think to some extent, Chairman, as
13 far as we've gone with the rollout of the process and the
14 communication with our stakeholders, at the regulatory
15 information conference, of course, we had a very detailed
16 breakout session.

17 There were members of the public on limited
18 accessibility, certainly, since the meeting was held in
19 downtown Washington, but probably on a little higher level,
20 we're sensitive to the transition issues which were brought
21 to us as a result of terminating the SALP with the state
22 partners.

23 We did provide for a fairly detailed discussion
24 for the states in that forum and a number of the states did
25 attend the regulatory information conference, and Paul

28

1 Lohaus has coordinated that for us. That's only one aspect
2 of the wider spectrum of the public.

3 CHAIRMAN JACKSON: If you go to your significance
4 determination process, and you talked about assumptions, I
5 guess the question becomes how many individual judgments and
6 assumptions are involved in the process.

7 MR. BRANCH: The assumptions have to be clearly
8 stated. It depends on the issue. One of the examples we
9 put in the Commission paper was dealing with an MOV that may
10 have hardened grease. Your assumption, in order to run it
11 through the process and actually use the risk assessment
12 tool, you have to say what that means; that that means the
13 valve is inoperable and, therefore, the train of equipment
14 is not available to do its function, and then that's the
15 assumptions you would have to make.

16 CHAIRMAN JACKSON: So you basically have to make a
17 binary judgment in terms of applying the risk methodology,
18 because, in fact, I mean, I know people are talking about it
19 in terms of so-called dynamic PRAs, but people are not
20 really dealing with degraded performance; something works,
21 but it's degraded. They think you have to make an
22 assumption that it's either going to perform its intended
23 function or it doesn't. Is that correct?

24 MR. BRANCH: Yes. It's just like 91-18, the
25 generic letter, allows a licensee to declare the equipment

29

1 operable, but degraded, but then that degraded condition
2 goes into a corrective action program for correction.

3 CHAIRMAN JACKSON: Well, it has a slightly
4 different meaning when you're talking about doing an
5 analysis in risk space in terms of decision trees.

6 MR. GILLESPIE: And we have designed the process,
7 and I'm going to reiterate what Morris said, to allow false
8 positives to come through and, hopefully, in making that
9 binary decision, there is a conservatism built into the
10 initial phase one questioning.

11 It does lead, in much of the procedures manual,
12 the inspector through; if this train is out, is another
13 train of the same system -- is another system performing the
14 same function. So it has a process in it that leads the
15 inspector's thought process through it. So it's not ad hoc.

16 The other thing is, and this is going to be, I
17 think, a significant improvement, Research, in the shorter
18 term, is going to be supplying us with -- we had asked for
19 system and they said they were going to try to give us
20 plant-specific table one and table two, if you look at that
21 enclosure, so that the inspector won't have to try to
22 interpolate, at a boiling water reactor, how it relates to a
23 steam generator tube rupture.

24 The first process was using some generic insights
25 with a mixture of initiating and mitigating effects from the

30

1 two different designs and Research is supporting us so that
2 the inspector at a particular facility will be able to see
3 his facility in those tables, and that's going to take a lot
4 of --

5 CHAIRMAN JACKSON: So the tables are generic or
6 they are plant-specific?

7 MR. GILLESPIE: These tables are generic in the
8 test process, but our intention is now to go to
9 plant-specific tables for the individual inspectors, again,
10 to bring more consistency for the individual plant decisions
11 to bear.

12 MR. PERRY: Maybe I can add to that. I think
13 those tables are intended to remain as they are. What Frank
14 is referring to is that we would like to have tables that
15 will help the licensees determine -- or the NRC staff to
16 determine which column of the table two that they're in.

17 So that those tables will tell you which systems
18 you have available to respond to different mitigating
19 systems for the different reactor types.

20 CHAIRMAN JACKSON: We're also interested in this
21 issue of guidance on assumptions. You could have hardened
22 grease with an MOV. The question is, is the default
23 assumption that it's inoperable or is the default assumption
24 that it is operable. And if you're going to be able to have
25 consistency in approach plant-to-plant or region-to-region,

31

1 you're going to have to deal with issues like that. You
2 agree?

3 MR. PERRY: Yes.

4 MR. GILLESPIE: Yes.

5 MR. BRANCH: Yes.

6 MR. PERRY: I think one of the important things
7 about the way the system has been set up, though, is that it
8 begs for a clear definition of those assumptions.
9 Therefore, it opens up a pathway for discussion, basically.
10 So it will be very clear what people are assuming and I'm
11 not sure that -- I mean, it may be that -- it's true that in
12 one plant, this does lead to an inoperability, and in
13 another plant, maybe --

14 CHAIRMAN JACKSON: All I'm trying to say is that

15 there needs to be something that bounds that discussion.
16 MR. PERRY: That's right.
17 CHAIRMAN JACKSON: Because it can't be all over
18 the map.
19 MR. PERRY: No, no.
20 CHAIRMAN JACKSON: Otherwise, how you go about
21 doing a risk determination is affected very strongly by that
22 kind of thing.
23 MR. PERRY: Yes.
24 CHAIRMAN JACKSON: And let me ask you this
25 question. How are you going to deal with

32

1 non-hardware-related issues? Like corrective action program
2 deficiencies or sleeping operators in the control room or
3 programmatic breakdowns. How does that play in here?
4 MR. MADISON: The process, as it stands, does not
5 address programmatic issues. We are working with, as was
6 mentioned earlier, Research in looking at the -- these
7 generally fall into the lower level or lower risk
8 significant types.
9 CHAIRMAN JACKSON: But what about the operator
10 sleeping in the control room?
11 MR. MADISON: That would actually fall outside the
12 process. I think Jim could probably address that question
13 better.
14 CHAIRMAN JACKSON: All right. Well, you can
15 address it when your turn comes, so we won't get out of
16 sequence here.
17 Also, I was looking at the particular feasibility
18 review plants and if you look at those plants, especially
19 for D.C. Cook and Waterford, a fair number of the findings
20 that were assessed actually couldn't be screened with your
21 risk model.
22 So how are you going to -- how are you proposing
23 to treat those?
24 MR. BRANCH: There are still holes that we have to
25 work on. Some of the issues we're dealing with, shutdown

33

1 risk, we currently do not have a screening tool for that
2 yet. We're working on that. We've put in place, though, I
3 think as you read through the SECY, that the inspectors are
4 going to have to call risk analysts or talk to someone else
5 to get that insight right now, until we can develop that.
6 Fire issues were -- several of the issues were
7 fire issues. We're working currently to develop a process
8 in the fire area, where they will feed into this process.
9 Once they determine the likelihood of events and the
10 equipment that you can use to mitigate, then it feeds right
11 into this process, and we're going to change the tables here
12 somewhat to allow it to dovetail right into this process.
13 CHAIRMAN JACKSON: So going back to -- you
14 mentioned shutdown risk. If a plant is in a state of forced
15 shutdown, it seems that you revert back to the manual
16 chapter 0350 process. Is that right?
17 MR. BRANCH: I was referring mostly to just
18 shutdown activities during refuelings.
19 CHAIRMAN JACKSON: But let me pursue this line.
20 You're basically saying that because you don't have the
21 performance indicators, you can't use this process. You
22 don't believe that the inspection findings --
23 MR. BRANCH: No, no.
24 MR. MADISON: No, no, no. What Morris is saying

25 is that the tool that he has developed, at its current

34

1 design, does not directly address shutdown issues. It
2 doesn't properly characterize the risk significance of
3 shutdown issues.

4 What we're working with others and NRR and
5 Research to develop is a front-end device that would help
6 properly characterize the risk significance of the shutdown
7 issues that feed into this process and decide what aspects
8 of the process are applicable during shutdown.

9 There were some draft concepts in the radiation
10 protection emergency preparedness and the safeguards area
11 attached. We have similar concepts in fire protection,
12 shutdown risk. They weren't as well along as the ones that
13 we attached to it, so we didn't put it with the paper.

14 MR. GILLESPIE: I will say, also, this afternoon,
15 there is a tabletop exercise of feasibility study for the
16 emergency planning process, participating with all the
17 regions, and it's going on. Tom Essig, from our Emergency
18 Planning Group, is heading that this afternoon. So we do
19 have an ongoing process that is actually stepping forward.

20 And in the next week, I think it's scheduled for
21 April 8, there is a similar tabletop for the refinement of
22 the radiation protection process. Then we'll work forward
23 for safeguards and shutdown, also.

24 It's just that they can't use this tool, but a
25 similar parallel tool which is specific to the topic area is

35

1 going to be necessary.

2 MR. COLLINS: Chairman, not to lose, I believe,
3 the statement you made, which is also important, there are
4 other policy decisions and programs which need to be
5 consistent and commensurate with this process as it is
6 proposed.

7 One of those is the agency's approach to plants
8 that are on extended shutdowns. As you appropriately
9 referenced, we currently use the 0350, manual chapter 0350
10 process as guidance on how to interact with our
11 stakeholders, particularly licensees, in regards to
12 long-term shutdown.

13 That policy, the senior management meeting
14 concept, the Commission meeting that now typically follows
15 the senior management meeting concept, all of those would
16 have to be and are being looked at to be consistent with our
17 ongoing process.

18 As you know, we have a SECY paper, 99-86, which
19 very recently was provided to the Commission that touches on
20 some of those areas.

21 CHAIRMAN JACKSON: Commissioner Dicus.

22 COMMISSIONER DICUS: The paper does not describe
23 how positive inspection findings have been factored into the
24 process, which leads me to believe that positive inspection
25 findings will not be part of the process. Is that true?

36

1 MR. MIRAGLIA: That is true.

2 COMMISSIONER DICUS: Only negative findings and
3 then the risk characterization of them.

4 MR. MIRAGLIA: That's true.

5 COMMISSIONER DICUS: And I had a similar question
6 to the Chairman's on where we were with emergency

7 preparedness in radiation safety, et cetera, but I think
8 you've addressed that with the process that you have
9 ongoing.

10 My question really concerned whether or not you
11 will be far enough along that these things can be included
12 in the training sessions in April.

13 MR. MADISON: That is our goal, is to get those to
14 at least where we can train, in draft form. They may not
15 actually be signed off, but we'll train on those processes.
16 We'll decide if they're ready go to.

17 COMMISSIONER DICUS: Then finally, I understand
18 that the inspection report will document the phase one
19 screening and the phase two risk characterization, but have
20 you determined what the standard inspection report will look
21 like or is this to come later?

22 MR. MADISON: We're still working in that
23 direction.

24 COMMISSIONER DICUS: Thank you. That's it.

25 CHAIRMAN JACKSON: Thank you. Commissioner Diaz.

37

1 COMMISSIONER DIAZ: First, let me make a statement
2 of a simple kind that I think I need to do. It's kind of a
3 my pet theory that the probability of successful closure of
4 any process of endeavor is inversely proportional to the
5 numbers of degrees of freedom in the process. The more
6 things you deal with, the more problems you have.

7 But that's okay, everybody knows that. But the
8 problem is there is a second part to that, which is that the
9 additional degrees of freedom that have less importance
10 proliferate and add to the N factorial much more faster than
11 the larger issues. So you can actually start going down a
12 path and keep going.

13 And the reason that I bring that up is because in
14 the paper, and it refers to the significance determination
15 process on slide eight, there is a statement that we're now
16 going to look at the sign-in assistant to analyze the risk
17 significance of numerous small problems of low safety
18 significance, which, in the aggregate, could be significant.

19 This is what I call adding degrees of freedom to a
20 process that is still looking at the major components and
21 trying to determine how they interact, and then looking at
22 something that really is very difficult to look at. It's
23 undetermined. It might not add, in the front end, to the
24 process.

25 And there's two ways that people normally deal

38

1 with small issues and one is very easy. People take them
2 and score them. So they'll be higher. Then they put
3 whatever signs --

4 CHAIRMAN JACKSON: If it's less than one, it
5 becomes smaller.

6 COMMISSIONER DIAZ: Yes, but then you can put
7 whatever sign you want on it. But since they're always
8 positive, they're always above the line.

9 However, Mother Nature has something that I really
10 want to the staff to understand, which is when you take
11 noise or small things in any kind of signal analysis data
12 and so forth and you croscorelate it with itself, the
13 noise drops out, and the reason is that they have different
14 signs and positive things, tend to compensate negative
15 things.

16 And if we look at the negative things and start to

17 aggregate them without really putting them in the context of
18 all the things, we can always get an aggregate that keeps
19 increasing and, of course, you can always start looking at
20 lower and lower and lower levels.

21 So I would caution, when we look at the things,
22 that it would be balanced and that at the front end of the
23 process, we do not emphasize the very small safety
24 significant things, because we really don't know how to deal
25 with them. They will complicate the process and they will

39

1 eventually lead to a stalemate in how do you deal with those
2 things.

3 MR. COLLINS: I'm going to take some liberty,
4 Commissioner Diaz, and assume there is a question in there.

5 COMMISSIONER DIAZ: Good. It was hidden.

6 MR. COLLINS: The staff acknowledges and agrees
7 with your intent. Right now, what we are trying to
8 understand is would we lose any valuable information by not
9 considering, in the aggregate, these types of issues.

10 Examples would be corrective action programs that
11 licensees implement are trending information. Licensees
12 have the ability, and it's a very sophisticated system, some
13 more than others, to link low level items to get most likely
14 to programmatic issues rather than safety significant
15 issues. And we want to ensure that, as an agency, before we
16 raise the threshold for consideration of these types of
17 issues, that we don't lose value information.

18 This gets a little bit into a statement that was
19 made earlier about how do you handle the subjectivity in the
20 process. There is a general feeling amongst the staff and,
21 anecdotally, I think, at least some industry agrees,
22 although they would agree that it's their role to do it,
23 with the preponderance of evidence or the gut feeling, if
24 you will, based on information that doesn't tie neatly
25 together, but you can draw lines through that have a

40

1 tendency to support the performance of overall programs and
2 should that reach us to an auction or to a mandated
3 threshold by which we go and periodically review the status
4 of a program, even though the indicators wouldn't lead you
5 in that direction.

6 That's still under assessment. These lower level
7 issues could potentially be an input to that decision-making
8 process.

9 COMMISSIONER DIAZ: You do understand that by
10 following many, many, many, many, many small things, you
11 could do precisely what you do not want to do, which is to
12 focus on the big, big, big, big, things. You could start
13 more, more, more, more time doing that, with less, less,
14 less returns.

15 CHAIRMAN JACKSON: It's a question of the balance
16 and where you place the weight.

17 MR. COLLINS: Yes.

18 CHAIRMAN JACKSON: Commissioner McGaffigan.

19 COMMISSIONER MCGAFFIGAN: I'm afraid I'm going to
20 take a little bit more time. I asked a lot of the questions
21 of the staff privately. I'd first give an impression.
22 I have some real misgivings, not about the pilot, the
23 industry is willing to have the pilot, but about this thing
24 being ready by January 2000 for implementation and I think
25 somebody said at the outset the goal was to get our sign-off

1 on that and, in theory, and I'm very far from that.

2 But let me give you some questions that will tell
3 you why. On the positive, since we've been talking about
4 positive inspection findings, I'm looking at the last paper
5 and I'm surprised that Mr. Gillespie's answer because the
6 attachment to the last paper, the 99-007, in response to the
7 direction that the Commission had given I previous SRMs,
8 that the staff should continue to include positive findings
9 in inspection reports, you said, yes, we are, positive
10 inspection findings will remain in the inspection reports.

11 I guess maybe we didn't ask the right question,
12 which is you don't intend to use them in the assessment
13 process, is that right?

14 MR. GILLESPIE: That's true. Right now, in the
15 assessment process, there is no folding in of positive
16 findings. There is no risk measure on how much safer a
17 certain finding gets a plant to fold it in.

18 COMMISSIONER McGAFFIGAN: I think there is a huge
19 hole here that is still not filled. You've given us this
20 process for taking an individual inspection finding and
21 coming up with a core damage frequency number or some sort
22 of judgment of risk, but you are not telling us how you take
23 the sum of inspection findings, the sum of performance
24 indicators, and assign a color to and properly balance them
25 all and assign a color to a cornerstone, unless a single

1 inspection finding that's yellow or white puts them in the
2 cornerstone into white.

3 In which case, in the process, you get a random
4 event where you get a white inspection finding, you're
5 otherwise a pretty darn good plant and you're suddenly white
6 or yellow in the cornerstone. I'm just trying to understand
7 that.

8 MR. GILLESPIE: And if that happens, going by a
9 threshold is a step from turning us to being into more
10 diagnostic and more included and engaging more. So if there
11 is a clear understanding why a threshold is broken, then we
12 have a decision point at that point.

13 It's not -- things do happen and we recognize
14 that, and so these are thresholds where we go from -- into
15 -- I would say into a diagnostic mode. We depart from our
16 baseline and get more involved and want to understand what
17 the problem is.

18 Once you get the specifics of the problem and
19 understand it, then you have a decision on further action.

20 So someone going past a threshold, an individual
21 threshold, may not, in fact, be a long-term major issue.

22 COMMISSIONER McGAFFIGAN: But I think it's a
23 disadvantage for the client. If it's a random event and
24 somebody happens to -- and it's a bad event, you guys
25 calculate delta CDF and it's five-timeteten-to-the-minusix

1 or something, and you guys, whatever the threshold is and
2 it's way above it, you say, my gosh, this is a bad event.

3 But it's because a piece of equipment randomly
4 failed or whatever. I don't know what it is.

5 CHAIRMAN JACKSON: Excuse me. I think the real
6 question one has to understand is whether a threshold is
7 tripped by virtue of a given failure of a piece of
8 equipment, propagating into a certain core damage frequency

9 region.

10 I think the real issue is how do you relate the
11 given inspection finding to whether or not a plant crosses a
12 threshold vi -vis a cornerstone.

13 MR. MADISON: Frank, maybe I can address some of
14 that. First of all, in the significance determination
15 process, the object of the process is to fully characterize
16 the finding, including all mitigation capability, which may
17 be an operator with a procedure in hand, and the positive
18 findings that you may have in that process.

19 Also, the assessment process does not take any one
20 issue and color cornerstone or the overall process. There
21 is no intent to color the cornerstones any color and if you
22 look in -- when you look in the action matrix, you saw that
23 there were no colors for cornerstones or colors for
24 strategic performance areas.

25 The colors were associated with inputs, either

44

1 performance indicator or inspection inputs, and the actions
2 that we would take out of that matrix would be in response
3 to those.

4 COMMISSIONER MCGAFFIGAN: I misunderstood at the
5 time. I didn't think it was a single input. I thought it
6 was a composite input that you were -- but I'll just --
7 rather than belabor it, I'll -- another thing that I am very
8 worried about, and I guess we'll hear from Mr. Lochbaum
9 later, the pencil-whipping, the significance process -- you
10 know, maybe it's good enough to pilot, but I am quite
11 concerned that it's becoming darn close to risk-based.

12 Also, there is pencil-whipping that goes on in
13 both directions. I have been the -- I won't go through the
14 case, but I have seen it where headquarters staff looking at
15 what was done in region, and basically said that that --
16 something that was allegedly risk significant really wasn't
17 and that the assumptions -- I mean, it's these assumptions
18 that were used that were extraordinary in order to drive up
19 and make an inspection finding.

20 I know you're going to work on that, but it's -- I
21 have my doubts that this is going to be a straightforward
22 process. Then you've got the other hole the Chairman
23 mentioned earlier, which is how do you deal with all the
24 programmatic issues, which were dismissed quickly as, well,
25 maybe a lot of them are non-risk-significant, maybe, except

45

1 for the sleeping operators.

2 I fear that, for better or for worse, we may be
3 abandoning all sorts of rules that are on the books that --
4 you know, some sort of delta CDF calculations that are
5 insignificant, in which case we should have a massive
6 rule-making pretty darn quick to get rid of all that stuff,
7 or I don't know what.

8 But I have grave misgivings about a lot of this,
9 now that I see the flesh being put on the bones, and I'll
10 just leave it at that.

11 MR. MIRAGLIA: May I make a comment, Commissioner,
12 with regard to that? I think it's clear from the staff's
13 paper and the briefing today that there's still lots of work
14 to be done. We do not have all of the answers. The staff
15 is here to say that we know enough to pilot it, and the
16 pilot is going to inform us as we go along.

17 I think we have to make sure that we are not

18 losing useful information in terms of some of the low
19 significance things that we talked about and we really have
20 to understand the process. I think the pilots are going to
21 inform the process.
22 The idea of the significance matrix and process is to give
23 scrutability and an understanding. Is there mutual
24 understanding on both sides of the table that a threshold
25 has been crossed? Is that objective inscrutable and

46

1 reproducible, that there is agreement that a threshold has
2 been crossed? And then the degree of engagement will
3 change, depending on which threshold it is and then that has
4 a focused kind of discussion then on what those issues and
5 what the significance is.

6 I think it's to add a discipline to meet the
7 Commission's objectives of having this process to be
8 objective, scrutable and reproducible.

9 Are there still lots of questions? I think the
10 staff would definitely agree with you, there is still lots
11 of work to be done. I think we'll learn a lot by the pilots
12 in terms of where we can go and when this process can be
13 fully implemented.

14 CHAIRMAN JACKSON: I think a question may be more
15 is a six-month pilot, in the end, going to be enough,
16 depending upon the degree of completeness of the answers to
17 various questions.

18 But if the fundamental intent is that the pilot is
19 going to flesh out those answers, then it may be that the
20 six-month and immediately going January of 2000 may not be
21 feasible.

22 So I think that that is the question.

23 COMMISSIONER MCGAFFIGAN: I'm just putting
24 everybody on notice that I don't think it is.

25 CHAIRMAN JACKSON: Well, that's fine and the

47

1 Commission can say that the pilot should go on and with the
2 particular objective of fleshing out a whole series of
3 questions and if it's premature to say it will happen in
4 January of 2000, it's premature to say it will happen in
5 January of 2000.

6 But that's why you do the pilots, in point of
7 fact.

8 MR. COLLINS: I'd like to just acknowledge that I
9 believe, at this point in time, we're working to the
10 Commission's schedule.

11 CHAIRMAN JACKSON: That's right. It's the
12 Commission's schedule.

13 MR. COLLINS: And if the Commission believes that
14 that schedule is inappropriate or the depth and breadth of
15 the --

16 CHAIRMAN JACKSON: Right. And the Commission, as
17 a whole, will make that determination.

18 MR. COLLINS: Yes, ma'am.

19 MR. GILLESPIE: What I'd like to say, later, on
20 the last slide, we're working with the Office of Research,
21 as Bill said, and if it's worthwhile, although it may not be
22 at this time, we are working on this concept of a number of
23 program failures and, in fact, we did a small pilot effort
24 as part of the corrective action program only two weeks ago
25 at Clinton and we had previously done something similar in

48

1 this vein at Beaver Valley.

2 So we are actively pursuing it and maybe at the
3 end, if there is time and there is still question on that,
4 we can just give a little bit more insight into what we're
5 trying there as a new concept.

6 CHAIRMAN JACKSON: Commissioner Merrifield.

7 COMMISSIONER MERRIFIELD: Thank you, Chairman. An
8 up-front comment. First off, I want to compliment the staff
9 for a lot of hard work. This is an excruciating process to
10 get where we are. Obviously, we've commented, as
11 Commissioner McGaffigan has, that it's a work in progress
12 and I think we recognize that.

13 In terms of timeliness, I think we should adhere
14 to the time line and do the reassessment and perhaps it may
15 or may not be in January, that we need to give you more
16 time. But I think it's important for us to keep the
17 pace going.

18 That goes to my first question. Between November
19 1999 and January of the year 2000, what interaction do you
20 plan with the Commission, the industry and the public to
21 share the lessons learned from the pilots and how will
22 stakeholders be able to weigh in on the changes that you
23 deem are appropriate to the pilots and the recommendations
24 you'll be giving to the Commission?

25 MR. COLLINS: Commissioner Merrifield, we can

49

1 answer some of that now and perhaps defer a little bit of
2 that to the communications plans.

3 COMMISSIONER MERRIFIELD: That's fine. Given our
4 time limits, briefing us -- that's fine.

5 MR. COLLINS: As well as the Chairman's question
6 on public involvement, I believe we'll elaborate on that at
7 the communications plan time.

8 MR. MADISON: There's a lot of that work that has
9 to happen. We're developing some of the concepts, some of
10 our thinking in this area. But we had originally intended
11 all along to have a meeting in the October-November
12 time-frame with the public to describe our lessons learned
13 at that point from the pilot program. We feel that there's
14 also, following that, a definite need for interaction with
15 the Commission to describe our progress and lessons that
16 we've learned and decide where we go from there.

17 CHAIRMAN JACKSON: May I just make a comment?
18 Fundamentally, it is always a prerogative of the Commission
19 to say when it wants to be engaged and how and give the
20 staff that guidance.

21 COMMISSIONER MERRIFIELD: I recognize that. When
22 I looked at slide five, which showed a number of milestones,
23 none of those indicated any either stakeholder meetings or
24 meetings with the Commission in the time line.

25 MR. MADISON: I think when we get to the

50

1 communications plan, we'll go over pages and pages of it.

2 COMMISSIONER MERRIFIELD: Let's keep going. You
3 received several comments regarding the issue of manual
4 scrams. Now, in the backup paper, you've indicated that
5 manual scrams should be treated as the same as automatic
6 scrams from a risk perspective and you believe that there is
7 no difference between them.

8 I remain somewhat concerned about the potential of
9 sending the wrong message with respect to conservative

10 decision-making by operators. Having read the paper, I know
11 the position.

12 What I'd like is a brief description of the
13 analysis you have that supports your conclusion.

14 MR. PERRY: Could I ask a clarification of what's
15 the conclusion you want?

16 COMMISSIONER MERRIFIELD: You conclude that there
17 is no difference between manual and automatic scrams from a
18 risk perspective and what I'm attempting to assert is that
19 we may be sending the wrong signal to operators not to worry
20 about -- making them too conservative about using manual
21 scrams when they feel that they're necessary.

22 MR. PERRY: I think we discussed that in Region
23 III yesterday, in fact, because they raised the same issue.
24 We have opposing views, but one of the views is that the
25 necessity to perform a manual scram usually means there is

51

1 something wrong. The fact that there is something wrong is
2 related to the risk.

3 So I think it's in that sense. The manual scrams
4 here are those that are done in response to conditions that
5 would have led to a scram in any case.

6 MR. COLLINS: Unplanned.

7 MR. PERRY: Unplanned scram, if you will. This
8 doesn't relate to those manual scrams that occur when the
9 plant is being brought down for an outage, where the plant
10 may be scrambled manually.

11 MR. GILLESPIE: Let me suggest, because this --
12 your point was actually a point of much discussion in one of
13 our in-plant meetings. The industry people, plant manager
14 level kind of people really came up and said that there is
15 no way that our operators, as well trained as they are, if
16 they see the plant in trouble, are not going to do it,
17 because of this.

18 And so what I'd suggest is -- I mean, this is not
19 in-depth analysis. This is a judgment. And that was their
20 reaction. You're balancing the insight you're getting from
21 a safety condition which would either cause an automatic
22 scram or you're doing a manual scram just right before the
23 automatic scram is going to come into play anyway and the
24 information that that gives you of the operation of the
25 facility, against a very subjective judgment, is that the

52

1 operator would fight his entire training not to do it.

2 And I'd say this, Ralph Beedle and Steve Floyd, on
3 the industry side, maybe should address this when it's their
4 turn, also, because it was a point of discussion, exactly
5 your point about is this going the wrong way or sending the
6 wrong message, and this is a balance and it was a judgment.
7 It's not a calculation here.

8 MR. COLLINS: Commissioner Merrifield, let me have
9 a take-away for the staff here, but I want to be sure and I
10 want to be sure that we understand your issue, for our sake.

11 Clearly, it's not the intent for the staff to send
12 any message that manually scrambling the plant in a dynamic
13 situation to preclude automatic scram or challenge to safety
14 systems, the safety actuation systems, is the wrong thing to
15 do.

16 What the staff, I believe, needs to provide to the
17 Commission is a basis that we will gain information as a
18 result of this particular indicator that is not available
19 any other way, and, therefore, we're not compromising, by

20 using this as an indicator, our message to the operators.
21 We will endeavor to do that and we will get back
22 with the Commission.
23 COMMISSIONER MERRIFIELD: It raises the question,
24 it obviously has in the regions, about the potential for a
25 mixed message there.

53

1 MR. COLLINS: Yes, and Region III brought that up
2 yesterday and it's a valid issue.
3 COMMISSIONER MERRIFIELD: Right. Going to slide
4 nine, you indicate that licensee identified issues, and this
5 is sort of a general take-away I get from this slide.
6 When reviewed by NRC inspectors or candidates for the
7 inspection finding risk characterization process, do you
8 have any concerns that will serve as a disincentive for
9 licensees who aggressively identify their own problems or
10 inhibit licensees from disclosing these problems to the NRC?
11 MR. BRANCH: No. What we are trying to do with
12 the characterization process is to come up with an
13 indication of what the issue represents as far as how it
14 would compare to a PI. That's what we're doing here.
15 So when licensees identify issues and write LERs,
16 if there are risk-significant issues, we want to know about
17 them and we want to run through the process and actually use
18 that data for the assessment process.
19 COMMISSIONER MERRIFIELD: My last question for
20 this section is a follow-up to a question that was asked by
21 the Chairman related to the 0350 process. I guess I was
22 somewhat left unclear how the interaction for plants that
23 are in extended outage -- what your planning is -- right
24 now, we're going to a process that would be relatively
25 disciplined as it relates to operating plants.

54

1 Yet, if we have a plant in an extended outage,
2 we're going to a 0350 process, which is, arguably,
3 relatively undisciplined.
4 So I'm interested in the interaction.
5 CHAIRMAN JACKSON: I would disagree that 0350 is
6 undisciplined. It may not be referenced in the tight way to
7 cornerstones of safety and so on. That's the difficulty,
8 which is why I raised the question, but it has its
9 discipline built into it. It's a very disciplined process.
10 COMMISSIONER MERRIFIELD: All right. Chairman, I
11 misspoke. I would argue -- that's fine. I would argue it
12 has less discipline, perhaps, and one could argue the degree
13 of less discipline.
14 MR. MIRAGLIA: From an overall perspective,
15 Commissioner, I think that the comment that the staff was
16 giving is that the Commission has clearly indicated to the
17 staff to look at our assessment processes and then have an
18 alignment and an integration of those kinds of things.
19 In terms of the plants in extended shutdown, we
20 have lots of work to do and as we have that process better
21 defined, it's going to impact and influence the processes
22 and procedures for 0350.
23 You are going to hear today how we're aligning the
24 enforcement process. So as these tools are developed and we
25 get those thresholds defined and more predictability and

55

1 discipline in the process, the intent would be to go back

2 and inform those processes, as well.
3 We're just not that far along. We've looked at
4 350 to the extent that deficiencies and concerns have been
5 raised, to try to look at those issues there, and this is
6 going to further inform those kinds of processes in the
7 future.

8 COMMISSIONER MERRIFIELD: So you would foresee
9 greater alignment between the two processes down the road.

10 MR. MIRAGLIA: Absolutely. I just don't think
11 we're there yet.

12 MR. GILLESPIE: If I could, let me see if I could
13 inject what I will call a scale here on risk significant
14 events, because our screening process basically took the
15 precursor screening process and tried to delve into what was
16 the thought process behind it and simplify it, so that the
17 risk analyst wasn't needing an inspector who could use it.

18 But when you look at the -- as Morris said, when
19 you look at the precursor data, our own reports, we're
20 looking at a number of -- the number of greater than like
21 ten-to-the-minusix, although the precursor program deals
22 in a different calculation. It's an instantaneous risk.

23 But we're only looking at less than ten events a
24 year. So in a scale -- and this, I think, addresses
25 Commissioner McGaffigan's point just a little bit -- there

56

1 is an expectation and history tells us that about one
2 percent of all the LERs and everything reported will
3 probably result in a broken threshold, including things
4 found by the licensee and put into his own corrective action
5 program.

6 So we should have an expectation that there's at
7 least ten occasions per year when we should be getting more
8 diagnostic and saying what's going on here, just based on
9 our own information and past history.

10 But that's not thousands and so the greater use of
11 the SRA in those events is very doable in a scale sort of
12 sense. It's more the exception than the rule.

13 So I would just like to interject that, because
14 that dealt with a lot of our thinking about if you let twice
15 as many things through the screening process as really
16 should get through, what does that mean? It means 20 items
17 instead of ten, in a whole year, for a whole industry. So
18 that puts in a slightly different perspective, I think.

19 That's part of our thinking in developing the idea
20 of allowing false positives through and trying to come up
21 with a conservative approach, but handleable.

22 COMMISSIONER MCGAFFIGAN: Madam Chairman, I was
23 first going to agree with you on the manual chapter 0350
24 process. It isn't clear to me that it's undisciplined. I
25 think what it does --

57

1 COMMISSIONER MERRIFIELD: But I want to make a
2 clarification. It was not my intent to say undisciplined.
3 I meant to say less disciplined.

4 COMMISSIONER MCGAFFIGAN: And just so it's clear
5 to me, it's less disciplined because I think that the heart
6 of many manual chapter 0350 processes are in the hole that
7 the Chairman identified at the outset, which is programmatic
8 deficiencies, which this process doesn't lend itself to,
9 this calculating whether it's ten-to-the-minusix CDF or
10 not.

11 I also am a little concerned with the answer about

12 there being ten risk significant events a year. I know the
13 industry is good, but if we're down to having sort of an
14 expectation at the outset that we have ten findings a year
15 that we have to worry about, then I think we're also saying
16 unless performance indicators are bad, everybody is going to
17 be in green and we're not going to have much to do.

18 So maybe it's that these programmatic issues are
19 the things that are going to again drive things -- drive us
20 into having to do something, but it's -- I don't know.

21 CHAIRMAN JACKSON: Commissioner Diaz.

22 COMMISSIONER DIAZ: I just wanted to point out
23 that Commissioner McGaffigan has elicited a kind of a
24 question or comment which I think you all are doing it, but
25 maybe the Commission is not hearing well.

58

1 That is that these processes are not risk-based
2 processes and that's -- and no matter how much PRA you put
3 into them, and hopefully there will be more, there is a
4 technical basis which is fundamental to the PRA or to
5 whatever we do.

6 I mean, do you have one pump functional that was
7 capable of providing the required function? Do you have the
8 amount of water? Regardless of what the PRA results said
9 you could have done, if, during mode five, you had, quote,
10 an event and the temperature in the core went up by two
11 degrees and it went up to the very high temperature of 110
12 degrees, how do you assess that.

13 And the other thing is the regulatory basis. So
14 you have three things that are playing in here and I think,
15 from my viewpoint, what Commissioner McGaffigan's comment
16 has elicited is that in some case, we need to understand a
17 little better how the interplay of the technical basis, the
18 regulatory basis, and the risk-informed processes are
19 convergent to provide us with the right information, and
20 they are not independent of each other.

21 MR. COLLINS: Right. That's a legitimate issue.
22 I think when we get to Jim Lieberman's presentation, perhaps
23 slide 19 has a tendency to integrate where we are with our
24 license requirements as far as compliance with rules and
25 regulations and acknowledging that those issues exist within

59

1 the industry and they will not be ignored by the agency as
2 opposed to the dispositioning of those issues on the
3 approach commensurate with risk and safety and a process
4 that's defined to ensure that's done consistently.

5 I believe we'll touch upon some of those areas in
6 Jim's presentation and certainly if we don't satisfy the
7 Commission --

8 CHAIRMAN JACKSON: Then we'll now go to Jim's
9 presentation. So we can get to that. Thank you.

10 MR. LIEBERMAN: Good morning, Chairman Jackson and
11 Commissioners. Slide 13. We've developed a new approach to
12 enforcement and integrate in the new overall reactor
13 oversight process.

14 Our plan is to apply it during the pilot process.
15 It should make the enforcement process simpler, clearer,
16 and, most importantly, more risk-informed and
17 performance-based.

18 The approach is described in SECY 99-007A.
19 Following Commission approval of the paper, we plan to
20 submit to the Commission an interim revision to the

21 enforcement policy to address the pilot program for
22 publication in the Federal Register. This is providing
23 notice to the pilot plants and serve as a basis to obtain
24 public comments on the enforcement approach.
25 The current escalated enforcement process has been

60

1 successful in focusing attention on compliance issues to
2 improve safety. We've used enforcement to provide
3 regulatory messages, to improve performance. Sometimes,
4 however, mixed messages were provided because the staff did
5 not always integrate the SALP and enforcement processes.

6 In reconsidering our enforcement approach, in
7 light of the new assessment process, we wanted to integrate
8 enforcement into the overall reactor oversight process.
9 We've discussed various approaches to achieve this
10 integration in public stakeholders' meetings.

11 If I could have the next slide. As a first step,
12 informally, in the enforcement approach, we considered the
13 purposes of enforcement and assessment. They're similar.
14 Each process evaluates the safety significance of individual
15 compliance issues. Both serve as a basis to formulate
16 agency responses to violations of performance issues. The
17 enforcement process uses sanctions, such as citations and
18 penalties. It also uses processes similar to those
19 described in the action matrix of the assessment process,
20 such as regulatory conferences to discuss declining
21 performance, 50.54(f) letters as a means of information, and
22 orders.

23 Both provide incentives to improve compliance and
24 performance, as you provide a measure of deterrence, since
25 presumably licensees strive to avoid negative performance

61

1 labels and the associated regulatory attention, similar to
2 licensees today when they try to avoid enforcement
3 sanctions.

4 Finally, both provide the public with NRC's views
5 on the status of performance and compliance.

6 If I could have the next slide. Given the
7 similarity and the purposes of both enforcement and
8 assessment, our goal is not to have two separate processes.
9 Rather, we want an enforcement program that compliments the
10 assessment process, not drives it.

11 The assessment process will be considering
12 compliance issues, as well as findings that might not be
13 violations. Enforcements, on the other hand, only focuses
14 on violations. It should be used in a manner that maintains
15 an emphasis on compliance and serves as a basis to document
16 compliance issues and obtain corrective action.

17 Enforcement also has a focus on safety, consistent
18 with the philosophy of the new assessment process. We want
19 enforcement to be more risk-informed and performance-based.
20 We want to maximize the likelihood that what's considered
21 significant from an assessment view will be considered
22 significant from an enforcement view and vice versa.

23 To achieve this, we should evaluating individual
24 enforcement findings once, using the same process for both
25 assessment and enforcement. As with our other programs, we

62

1 want to design any new enforcement process in a manner that
2 would not create unnecessary regulatory burdens. We want to
3 simplify the process and make it more predictable, creating

4 a more effective and efficient process.
5 Making the enforcement process more consistent and
6 more predictable should add to public confidence.

7 If I could have the next slide.

8 We've come up with an approach that meets our
9 objectives. Essentially, it provides violations under two
10 groups. The first groups are those violations which would
11 be evaluated under the significance determination process
12 and considered by the HC action matrix. The second group
13 includes three types of violations; first, violations
14 outside the assessment process, such as willful violations
15 and those that impede or may impact the regulatory process;
16 second, violations that involve actual consequences, such as
17 over-exposures and substantial releases of material; and,
18 third, particularly significant violations.

19 If I could have the next slide. As to the first
20 group, we will be building on the interim enforcement policy
21 for severity level four violations. That went in effect
22 March 11. Violations will be considered for either formal
23 or informal enforcement action based on the assessment
24 process.

25 Severity levels are not needed to be used.

63

1 Violations which are evaluated by the assessment processes
2 inputs to the regulatory response band, white, yellow or
3 red, will be considered for formal enforcement. These
4 violations, being risk or safety significant, would result
5 in notices of violations, requiring formal responses, unless
6 NRC already has the required information on the docket.

7 Violations evaluated by the assessment process as
8 inputs to the licensee response band, green, will be
9 considered for informal enforcement and treated as non-cited
10 violations. These violations are not considered risk or
11 safety significant.

12 We plan to continue exceptions one, two and four
13 of the interim enforcement policy. These three exceptions
14 address failing to restore compliance, failing to place the
15 violation in a corrective action program, and certain
16 willful violations.

17 The third exception, which addresses repetitive
18 level four violations identified by the NRC would no longer
19 be needed, as the issue of repetition is more of an
20 assessment issue and, therefore, should be addressed in the
21 assessment process.

22 To maintain consistency in regulatory messages,
23 the assessment action matrix and not the enforcement process
24 will be utilized to formulate the agency response to root
25 causes and emphasize the need to improve performance for

64

1 safety significant violations. We would not be using civil
2 penalties for most group one violations.

3 The assessment process will provide for
4 conferences to discuss declining performance and compliance
5 issues. Licensees will have incentives to avoid being
6 labeled white, yellow or red band performance so that
7 further negative impacts and civil penalties normally would
8 not be needed to deter violations covered by the assessment
9 process.

10 A question was raised earlier about programmatic
11 issues relating to problems with corrective action programs
12 and how would that be treated in the process.

13 From an enforcement perspective, in the absence of
14 a risk significance, those items would be considered a
15 non-cited, as they would be treated as green. They'd be
16 included in inspection reports and they'd be placed into the
17 PIM.

18 If the licensee crosses into a white area, such
19 that it now is in the regulated response band, now we go
20 into a more diagnostic mode. That information would be
21 utilized in helping us plan our approach. But if the
22 failures to take corrective action, a repetitive violation,
23 are not in and of themselves risk significant or safety
24 significant, then they would still be considered as
25 non-cited violations.

65

1 If I could have the next slide. The traditional
2 enforcement process with a potential for civil penalties
3 would be retained for the second group of violations. These
4 are violations where a more deterrent approach may be
5 warranted.

6 We reserve the traditional approach with the four
7 existing severity levels for violations which are not
8 evaluated by the significance determination process, and,
9 therefore, are outside the assessment process for
10 deterrents. These would be violations involving willfulness
11 and discrimination, sleeping operator issue, such as Peach
12 Bottom, would be included there, because that was an
13 integrity issue.

14 Also, violations which impede or impact the
15 process, the NRC process of oversight would also be subject
16 to the current enforcement process. These violations would
17 include violations associated with reporting issues, by
18 completing inaccurate information to the agency, failures to
19 obtain NRC approval such as for 50.59 changes to QA plans,
20 and other issues that impact our ability to oversee
21 licensees.

22 In addition, the traditional enforcement process,
23 given the importance to avoid actual consequences, would be
24 retained for violations involving over-exposures and
25 substantial releases of material, because there the barriers

66

1 failed.

2 Finally, we reserve the authority of the
3 Commission to utilize traditional enforcement approach with
4 civil penalties for particularly significant violations,
5 such as exceeding safety limits or involving accidental
6 criticality.

7 If I could have the next slide. The approach that
8 I have been discussing is a clear shift from our past
9 approaches to enforcement, which we've been using for almost
10 30 years. It would take regulatory functions which, in the
11 past, have been separate activities and integrate them.
12 Enforcement will compliment assessment as part of the
13 overall reactor oversight process.

14 We will be escalating our regulatory responses
15 based on safety significance. The new approach will retain
16 a compliance focus as we move to a more risk-informed and
17 performance-based regulatory process.

18 The new process should deter violations and result
19 in improved performance as the licensees strive to avoid
20 regulatory costs, such as increased inspection costs and
21 regulatory attention given by compliance and performance
22 issues with safety impacts as evaluated by the assessment

23 process in the action matrix.
24 There will be a reduced need for civil penalties
25 and its associated burdens. An enforcement process that is

67

1 consistent with the assessment process provides for more
2 consistent and more predictable regulatory responses should
3 further public confidence. Once the assessment process has
4 evaluated the violations, enforcement will be relatively
5 straightforward, making the process more -- easier to
6 implement and thus more efficient than the current process.

7 I'd be happy to answer any questions you might
8 have.

9 CHAIRMAN JACKSON: Let me ask a few questions
10 here. You talk about a two-track approach and you talk
11 about violations involving something with actual
12 consequences.

13 But some of the violations that actual
14 consequences that were identified in the paper seem to have
15 this SDP-like evaluation process. For instance, if you talk
16 about worker radiation protection.

17 And I guess I don't understand why those kinds of
18 processes cannot be folded into an SDP type evaluation.

19 MR. LIEBERMAN: Those types of violations will be
20 evaluated under the SDP process and will be assigned colors
21 for the action matrix. But when a worker is over-exposed or
22 a member of the public is exposed, in our view, that raises
23 to a level of unacceptability that should not happen.

24 Over-exposure is extremely rare at reactors and we
25 want to keep it that way. So that's why we feel that is

68

1 appropriate to have a civil penalty if that happens.

2 CHAIRMAN JACKSON: Okay. Then you mentioned that
3 the assessment action matrix formulates