

1 UNITED STATES OF AMERICA
2 NUCLEAR REGULATORY COMMISSION

3 ***

4 OFFICE OF THE SECRETARY

5 ***

6 STAFF PROPOSALS FOR URANIUM
7 RECOVERY REGULATORY ISSUES

8 SECY PAPERS 99-011, 99-012 AND 99-013

9 ***

10 PUBLIC MEETING

11 Nuclear Regulatory Commission
12 Room 16-1F
13 One White Flint North
14 11555 Rockville Pike
15 Rockville, Maryland
16 Thursday, June 17, 1999

17 The Commission met in open session, pursuant to
18 notice, at 9:07 a.m., the Honorable SHIRLEY A. JACKSON,
19 Chairman of the Commission, presiding.

20 COMMISSIONERS PRESENT:

- 21 SHIRLEY A. JACKSON, Chairman of the Commission
- 22 EDWARD McGAFFIGAN, JR., Member of the Commission
- 23 GRETA J. DICUS, Member of the Commission
- 24 JEFFREY S. MERRIFIELD, Member of the Commission
- 25 NILS J. DIAZ, Member of the Commission

2

1 STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE:

- 2 KAREN D. CYR, General Counsel
- 3 ANNETTE VIETTI-COOK, Secretary
- 4 KING STABLEIN, Chief, Projects & Engineering
- 5 Section
- 6 JOSEPH HOLONICH, Deputy Director, Division of
- 7 Waste Management
- 8 CARL PAPERIELLO, Director, NMSS
- 9 JOHN GREEVES, Director, Division of Waste
- 10 Management
- 11 WILLIAM FORD, DPV Presenter
- 12 MYRON FLIEGEL, DPV Presenter
- 13 JAMES J. FIORE, Deputy Assistant, DOE
- 14 WILLIAM SINCLAIR, Director, Division of Radiation
- 15 Control, Utah Department of Environmental
- 16 Quality
- 17 GARY SMITH, Deputy Director, Technical
- 18 Assessments, Bureau of Radiation Control, Texas
- 19 Department of Health
- 20 WILLIAM KEARNEY, Chairman, Uranium Industry
- 21 Commission, Wyoming Mining Association
- 22 DAVE CULBERSON, Fuel Cycle Facilities Forum
- 23 RICHARD LAWSON, President & CEO, NMA
- 24 DIANE CURRAN, Counsel SRIC

3

1 STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE:

2 [Continued]

- 3 CHRIS SHUEY, Environmental Health Specialist,
- 4 Southwest Research and Information Center
- 5 ANTHONY THOMPSON, Counsel, National Mining
- 6 Association
- 7 LOREN SETLOW, Office of Radiation and Indoor Air,
- 8 EPA

9 KATIE SWEENEY, Associate General Counsel, National
10 Mining Association
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

4

P R O C E E D I N G S

[9:07 a.m.]

1
2
3 CHAIRMAN JACKSON: Good morning, ladies and
4 gentlemen. Today the Commission will be hearing from a
5 number of participants about several policy issues
6 associated with uranium recovery. Our presenters today are
7 the NRC staff, the Department of Energy, the Conference of
8 Radiation Control Program Directors aka CRCPD, the State of
9 Utah, the Wyoming Mining Association, the National Mining
10 Association, the Fuel Cycle Facilities Forum and the
11 Southwest Research and Information Center.

12 The purpose of the briefing is to discuss the
13 issues that are presented in three papers presently before
14 the Commission, SECY99-011, 012 and 013.

15 At the direction of the Commission these three
16 papers were made publicly available through the Public
17 Document Room and the NRC web site to provide early access
18 to the information to interested stakeholders.

19 Experience in using and implementing existing NRC
20 requirements in 10 CFR Part 40 to regulate uranium and
21 thorium recovery facilities has suggested that some
22 revisions are needed. The staff has concluded that
23 revisions to the regulations are necessary to establish
24 requirements that are tailored for in situ leach facilities
25 and to resolve current policies issues to ensure safety

5

1 without imposing an unnecessary burden.

2 Therefore, the staff has recommended to the
3 Commission the following: (1) preparation of a draft
4 rulemaking plan for a proposed new 10 CFR Part 41 on
5 domestic licensing of uranium and thorium recovery
6 facilities; (2) specific requirements for in situ leach
7 facilities; (3) allowance of disposal of other similar
8 materials in uranium mill tailings impoundments; and (4)
9 allowance of processing alternate feed material at uranium
10 mills.

11 Because of the various interests associated with
12 these issues, the Commission will hear a variety of
13 stakeholder presentations this morning. The NRC staff will
14 open an overview of the issues and recommendations discussed
15 in the papers. This will be followed by the other
16 presentations that will focus on points of agreement and
17 disagreement with the staff's proposed plans and
18 preferences.

19 All of the issues to be discussed today are
20 generic and are of broad applicability to NRC activities.
21 However, aspects of some of these same issues currently are
22 being litigated in three adjudications before the Atomic
23 Safety and Licensing Board. Because the Commission is the
24 appellate body in each of the pending adjudications, it will
25 not entertain in this briefing any arguments or discussions

6

1 of the case-specific issues in litigation. Let me repeat --
2 it will not entertain in this briefing any arguments or
3 discussions of the case-specific issues in litigation.

4 We have an unusually large number of participants
5 in our meeting today and a reasonable tight schedule, some
6 might say unreasonably tight schedule. I ask that each of
7 the presenters focus their message to the Commission and be
8 precise. Your presentations today should be based on the
9 assumption that the Commissioners are familiar with the
10 content of your written material. Let me repeat -- your
11 presentations today should be based on the assumption that
12 the Commissioners are familiar with the content of your
13 written material.

14 COMMISSIONER MERRIFIELD: Madame Chairman, I
15 presume that means you mean that they should be reading the
16 written testimony provided.

17 CHAIRMAN JACKSON: You have got it.

18 COMMISSIONER DICUS: That is correct, because we
19 are and we want you to be concise.

20 CHAIRMAN JACKSON: We are requesting this so that
21 the time scheduled for this briefing will also allow time
22 for questions, this is to all to the presenters. Because
23 the NRC staff happens to be sitting here does not mean that
24 it is directed merely at them.

25 I understand that copies of all the viewgraphs and

7

1 statements and the three Commission papers are available at
2 the entrances to the room. Unless my colleagues have
3 anything more they wish to add, Dr. Paperiello, please
4 proceed.

5 DR. PAPERIELLO: Good morning, Madame Chairman,
6 Commissioners, and thank you.

7 With me at the table are Mr. King Stablein, the
8 Acting Deputy Branch Chief of Uranium Recovery and Low Level
9 Waste; Mr. Joe Holonich, Deputy Director of the Division of
10 Waste Management; John Greeves, the Director of the Division
11 of Waste Management; and Mr. Ford and Mr. Fliegel who are
12 the Project Managers in the Division of Waste Management.

13 As you have indicated, the staff is here this
14 morning to brief the Commission on issues in the uranium
15 recovery program. Three of the four issues are documented
16 in Commission papers that have been previously provided.
17 The issues are related to concerns with the NRC's
18 requirements under the Uranium Mill Tailings Control Act of
19 1978, better known as UMTRCA.

20 In my view the issues represent significant public
21 policy questions as well as the reasonable assurance of
22 protecting the public health and safety. Because of this,
23 the staff is looking to the Commission for guidance. You
24 will hear from two other staff members who have filed
25 differing professional views on the issues in our papers.

8

1 A fourth issue, concurrent jurisdiction with
2 states, has not yet been presented to the Commission in a
3 paper. Staff has been working with the Office of General
4 Counsel to determine what recommendations should be made.
5 Once this effort is completed we plan on providing a paper
6 with recommendations on this issue.

7 These issues arise in large part because of a
8 change in technology over 20 years since UMRCA was enacted.
9 When the law was passed, Congress envisioned a very robust
10 nuclear power industry and the price of yellow cake
11 processed at these uranium mills was over \$40 a pound. At
12 that time the extraction of uranium was done mainly by
13 conventional mills. In situ leach facilities and heap leach
14 facilities were used to process ores that were uneconomical
15 to run through a conventional mill.

16 Today the price of uranium is not \$40 a pound but
17 about \$10 a pound. Nearly all the convention mills in
18 operation when UMRCA was passed are now under reclamation.
19 The in situ leach process, an extremely small activity at
20 the time of UMRCA's enactment is now the predominant form
21 of uranium production. UMRCA and subsequent NRC
22 regulations were focused on the technology of conventional
23 mills. The change in technology from convention milling to
24 solution extraction has generated a set of issues that were
25 not envisioned when Congress passed UMRCA.

9

1 I would like to now introduce Mr. King Stablein,
2 the Acting Assistant Branch Chief for the Uranium Recovery
3 and Low Level Waste Branch, who will discuss the major
4 issues presented in our Commission papers.

5 MR. STABLEIN: Good morning, Chairman Jackson,
6 Commissioners. Thank you for your introductory remarks, Dr.
7 Paperiello.

8 Could I have slide one, please?

9 I have heard your message to briskly step through
10 these issues, and I will attempt to do, stating what the
11 issues are, what the options are for addressing the issues
12 and some of the major pros and cons for each, understanding
13 that you all have read the papers and know this material
14 already. So I will move right along.

15 On the first slide we have the four major
16 regulatory issues confronting the Commission and staff
17 presently. The regulation of the in situ leach facilities,
18 the disposal of material other than 11e.(2) byproduct
19 material and in tailings impoundments, the processing of
20 material other than the traditional natural ore in the
21 uranium mills, and, finally, concurrent jurisdiction.

22 I will discuss the first three of these four and
23 the options and the pros and cons.

24 CHAIRMAN JACKSON: These represent the issues in
25 total that the uranium recovery staff is involved with, or

10

1 these are just the focus of your discussion today?

2 MR. STABLEIN: These are the major issues that we
3 are involved in and the ones that will be discussed today.
4 There are a lot of other issues that we are struggling with
5 as well, but this briefing could get even more complex. But
6 these are the ones we will focus on.

7 COMMISSIONER DICUS: So, we have to resolve these
8 first before we can go further to resolve the other ones, is
9 that what you are saying?

10 MR. STABLEIN: These are probably the ones that

11 underpin the regulatory framework that could hopefully deal
12 with the body of issues.

13 Could I have slide 2, please?

14 The first major issue is the regulation of the in
15 situ leach facilities and, not to confuse things, but under
16 this particular major issue, there are two important aspects
17 that we need to distinguish. The first one is the industry
18 view that NRC regulation of groundwater is duplicate of
19 EPA's Safe Drinking Water Act program, if in fact NRC has
20 jurisdiction at all over the groundwater in the wellfields.
21 The Safe Drinking Water Act provides a program, the
22 Underground Injection Control Program, by which EPA and the
23 EPA primacy states assure the protection of groundwater and
24 protection from contamination. And it is the view of some
25 that NRC's efforts in this area are simply redundant and not

11

1 needed.

2 OGC has looked at the EPA program and has
3 concluded that NRC can rely on the EPA process. Based on
4 the comprehensive nature of the EPA's program and the
5 latitude that the Commission has in regulating in situ leach
6 facilities in the absence of specific regulations and laws,
7 OGC has concluded that the EPA program would provide an
8 adequate basis for us to defer regulation in this area.

9 CHAIRMAN JACKSON: But the industry's view is that
10 we really have no jurisdiction, is that correct?

11 MR. STABLEIN: That is the industry view.

12 MS. CYR: Our view is really that the agency has
13 sufficient flexibility, in terms of the nature of what our
14 authority is, that it lets us look at alternative ways of
15 meeting that responsibility. We looked at the scope of the
16 EPA and it appears to us, and this would be subject to
17 further examination in the context of a rulemaking or a
18 specific case by case basis, but it appears to us, based on
19 our look, that the scope of their program is one that the
20 agency might well be able to rely on to meet its
21 responsibilities.

22 MR. STABLEIN: The second aspect of this issue of
23 regulation of in situ leach facilities is the question of
24 which of the many waste streams involved in the process
25 should be subject to NRC regulation by defining them as

12

1 11e.(2) byproduct material. You have got the stream
2 involved with the production bleed, which is the
3 over-pumping to keep fresh groundwater coming into the area.
4 You have got the actual extraction wastes where the uranium
5 is being concentrated in the process. And you have got the
6 restoration waste waters as the licensee attempts to restore
7 the groundwater. So each of these could be classified,
8 depending on your interpretation of 11e.(2) byproduct
9 material as 11e.(2) or not, and some of the options we will
10 be talking about hinge on this.

11 Right now the post-extraction waste waters are
12 classified as 11e.(2) and the production bleed is classed as
13 11e.(2), whereas the restoration waste waters are classed as
14 mine waters, mine waste waters which are subject to EPA or
15 EPA state regulations.

16 One major part of this problem is that, depending
17 on how these streams are classified when the waste material
18 is moved to the evaporation ponds, there is a danger of
19 getting commingling of wastes and getting 11e.(2) and

20 non-11e.(2) wastes commingled together, and we have guidance
21 that precludes non-11e.(2) waste being put into tailings
22 impoundments, leaving the industry in a difficult position.
23 Hopefully, we will address those in some of our options.
24 Could I have slide 3, please?
25 With respect to that first aspect that I

13

1 discussed, that is, the possibility of relying on EPA's
2 Underground Injection Control Program, the staff has
3 recommended that we defer regulation to EPA in this area.
4 The presence of an EPA or EPA primacy state permit would
5 allow NRC to cease being concerned about groundwater
6 contamination, groundwater restoration based on the opinion
7 of OGC and our staff analysis.

8 With respect to the second problem of which waste
9 streams are 11e.(2) and who should regulate what, we have
10 looked at four options. The first option is the status quo,
11 maintain the current situation. We would regulate
12 production bleed and discrete processing wastes as 11e.(2)
13 and the states and EPA would continue to regulate the mine
14 waste waters. This really continues to leave the licensees
15 with the problems dealing with how to dispose of the wastes.

16 However, I forgot to mention with regard to all
17 four of these options, we consider that health and safety
18 are protected by any of the four, perhaps more clumsily
19 by one than anyone, but all four are protective of health
20 and safety.

21 The second option that we have looked at is
22 classifying all of these liquid effluents as 11e.(2)
23 byproduct material and regulating them all under NRC. And
24 this has the positive value of providing regulatory clarity.
25 We would be responsible for them. It removes the ambiguity

14

1 and eliminates dual regulation. So it doesn't provide for a
2 reduction in NRC's regulatory burden on licensees and staff
3 could use more resources in reviewing, for example,
4 evaporation pond designs and it could affect our dam safety
5 program. In other words, there are some staff resource
6 impacts to going this route, attractive as it is from the
7 point of view of clarity.

8 Going in the other direction, the NRC could, in a
9 sense, pull back and only be responsible for the wastes most
10 directly related to the concentration of uranium in the ISL
11 process. This would mean that the production bleed, as well
12 as the mine waste waters, would not be under our purview,
13 because they wouldn't be 11e.(2) material, and so we would
14 basically just have our Radiation Control Program in the
15 satellite facilities and the central processing building.

16 The downside of this, or one possible downside is
17 that you would have perhaps the creation of numerous on-site
18 disposal facilities all over the western United States which
19 would not be under NRC jurisdiction. However, it is true
20 that the states would be regulating these under their mining
21 regulations so that these would not be unregulated.

22 Finally, Option 4, which builds on Option 3
23 really, it adds to seeking a legislative initiative in which
24 UMRCA would be amended to classify only the post-ion
25 exchange wastes at the in situ leach facilities that is

15

1 11e.(2) byproduct material. Now what this adds to Option 3
2 is that it would give Congressional mandate to the direction

3 that the NRC was going in. It would free us from the
4 litigative risk that would pertain to Option 3 in that we
5 are changing agency practice and direction, and so Option 4
6 is attractive in that sense. And the staff's recommendation
7 from all this was Option 3 or Option 4 -- Option 4, of
8 course, building on Option 3.

9 CHAIRMAN JACKSON: What happens to restoration
10 wastes from ISL operations today?

11 MR. STABLEIN: They can be disposed of in a number
12 of ways. You have the sludge that develops from trying to
13 clean up the water. Depending on how it is defined, it can
14 be put with 11e.(2) material or it can be put in an
15 evaporation pond that is non-11e.(2) material, or it gets
16 commingled presently.

17 CHAIRMAN JACKSON: Did the staff consider the
18 option suggested by Dr. Fliegel? Is that how you pronounce
19 your name.

20 MR. FLIEGEL: Yes.

21 CHAIRMAN JACKSON: To give licensees an option of
22 how they designate the restoration wastes?

23 MR. STABLEIN: We considered it, but I don't
24 recall the specific discussion as to how that went.

25 Mr. Holonich.

16

1 MR. HOLONICH: I don't recall either, but we did
2 consider it. We looked at a number of options, including
3 giving licensees the ability to dispose of 11e.(2) on-site
4 under mining waste regulations for the state. We would have
5 to consult with the Commission but the AEA does allow us to
6 do that as an option, but the industry really is focused on
7 wanting to get out of the dual regulation perspective and
8 believes that other than post-ion exchange waste, everything
9 else should be considered as mine waste, so we really were
10 focused on that issue.

11 COMMISSIONER McGAFFIGAN: The Chairman just asked
12 a question with regard to how it is treated today. In the
13 paper it says that at least some of these wastes would
14 likely be classified at T-NORM, but if -- this, you are
15 referring to evaporation pond sludges. As I understand the
16 situation today, those are regulated by state today. So why
17 the "would likely be"? The states either have classified
18 them as T-NORM or they haven't. How do states classify this
19 material today? And how do they regulate it, do they
20 regulate it as T-NORM?

21 MR. STABLEIN: Well, my understanding was they
22 regulate it as mine waste, and I am not sure what the T-NORM
23 addition adds to that.

24 MR. HOLONICH: I think "would likely" was just a
25 poor choice of words, Commissioner. The waste that comes

17

1 from post-uranium extraction activities such as reclaiming
2 the groundwater, we have said -- we look at that as a mine
3 waste. The states have been regulating that as a mine
4 waste. I think the "would likely" was just a bad term, bad
5 choice of words.

6 COMMISSIONER DICUS: If I could add, I think the
7 issue of T-NORM, I think the states are still struggling
8 with that. Now, CRCPD is here and I would like for them to
9 address that. But I think trying to come up with their
10 regulations and how they are going to deal with this, they
11 have a task force or maybe it is a commission now that is

12 dealing with T-NORM and I think that is a whole other realm.
13 So when a CRCPD representative talks, perhaps they can
14 address that.

15 COMMISSIONER MCGAFFIGAN: That is exactly where I
16 was headed. Given that they have been struggling with
17 T-NORM for many years, to come up with some sort of a
18 regulatory scheme, and I guess the Academy of Sciences has
19 weighed in with some suggestions, if that is how they are
20 going to -- if that is how they are regulated, then there
21 may not be much of a framework. If it is mine waste, maybe
22 there is a framework for mine waste and I just may have
23 gotten confused by the paragraph. So today it is actually
24 regulated as mine waste.

25 MR. HOLONICH: Yes, that is correct. My

18

1 understanding is, for example, in the State of Wyoming it is
2 regulated as mine waste, and I believe it is like four feet
3 of soil has to cover the waste, and that is sufficient to
4 take care of the reclamation.

5 COMMISSIONER MCGAFFIGAN: Is there any sense of
6 what the radiation -- you said all these are protective of
7 public health and safety. What are the radiation
8 consequences of just burying this stuff in four feet? Has
9 anybody done the back of the envelope calculation as to what
10 exposure would be for a typical -- for the use of that site?

11 MR. HOLONICH: The staff has not done any type of
12 analysis like that. We have deferred to the states under
13 their regulation. Maybe when the industry and Wyoming
14 Mining Association speaks, if they have got some background,
15 they can give you a little bit of information on that.

16 COMMISSIONER MCGAFFIGAN: Okay.

17 MR. STABLEIN: If there are no further questions
18 right now, could I have Slide 4, please?

19 The second major issue concerns disposal of
20 material other than 11e.(2) byproduct material in tailings
21 impoundments. And the material under consideration here is
22 material that is similar to what is already being put in the
23 tailings impoundments, low radioactivity waste like dirt and
24 rubble containing uranium and thorium, for example. There
25 are large amounts throughout the country. This material is

19

1 a potential candidate to be disposed in the tailings
2 impoundments, but it is not 11e.(2) material as defined.

3 The staff has guidance which was issued in 1995 on
4 when such disposal is acceptable and provided criteria that
5 the staff would use in making this determination. These
6 criteria did eliminate many types of material from disposal
7 and the key reason for this is, once again, the attempt to
8 avoid dual regulation with the states or with EPA. This
9 could complicate the regulatory framework unduly and
10 actually increase burden on licensees and make the
11 regulatory framework really untenable.

12 So DOE, the long-term custodian, is understandably
13 hesitant to accept sites for long-term care if they are
14 going to be dealing with multiple regulators, perhaps in
15 perpetuity. So, therefore, to avoid the dual regulation,
16 the staff in its guidance has precluded non-AEA material,
17 hazardous material and the like from the tailings
18 impoundments.

19 Industry has advocated expanding the use of the
20 sites to allow other types of material in. There is
21 capacity available. The possibility exists that cleanup of

22 various decommissioning sites throughout the United States
23 could benefit by being able to dispose of the material in
24 these tailing piles, and so industry sees a benefit to that
25 and industry is willing to consider putting almost -- even

20

1 things like limited amounts of special nuclear material,
2 11e.(2) byproduct material. They have asked us to think
3 outside the box as far as what could go into the tailings
4 impoundments.

5 COMMISSIONER MERRIFIELD: Chairman.

6 CHAIRMAN JACKSON: Yes, please.

7 COMMISSIONER MERRIFIELD: Could you, just briefly,
8 could you explain the characteristics of the typical
9 tailings piles and the protective structures underneath in
10 terms of liners and monitoring facilities and things of that
11 nature? What are our requirements on that and what are some
12 of the facilities we have out there?

13 MR. STABLEIN: I can probably start on this and
14 ask Mr. Holonich, who is much more familiar with these
15 structures, to add to them. They are required to be lined
16 and the material has to be a relatively impermeable liner.
17 We need a cap, a radon cap cover on these impoundments.
18 They need to be designed to protect against erosion by
19 various rock sizes.

20 COMMISSIONER MERRIFIELD: Let me ask a more
21 directed question. One of the things that is under -- one
22 suggestion is that some of these piles would be allowed to
23 dispose of materials, TSCA contamination, RCRA
24 contamination, CERCLA contamination. To what degree are
25 these impoundments consistent with the requirements that EPA

21

1 has for the liners for facilities which dispose of those
2 materials?

3 MR. STABLEIN: Let me start on this and then
4 invite Mr. Holonich in. My understanding is that the
5 impoundments are designed to be able to meet the
6 requirements of at least the Solid Waste Disposal Act and
7 the requirements are at least as stringent as for materials
8 that would be disposed of under that Act. The requirements
9 are --

10 COMMISSIONER MERRIFIELD: I'm sorry, I don't mean
11 to get to this level of detail. Subtitle (d) or Subtitle
12 (c) of Solid Waste Disposal Act, because it is a significant
13 difference?

14 COMMISSIONER DICUS: I think the basic -- have we
15 worked out our differences with EPA on disposal of mixed
16 waste? And I think that is what --

17 COMMISSIONER MERRIFIELD: That is part of what I
18 am getting to.

19 COMMISSIONER DICUS: Where are with that?

20 MR. HOLONICH: Let me maybe just step back a
21 little bit and talk about what is in the Act today and what
22 is in the tailings and what is in our regulations. Section
23 275 of the Act required that the administrator promulgate
24 standards for non-radiological constituents in mill tailings
25 that were the same as Subtitle (c) of the Solid Waste

22

1 Disposal Act.

2 It then said the administrator should not issue
3 any permits under that Act because it wanted to keep with a

4 single federal regulator. They promulgated standards both
5 for radiological and non-radiological protection, first, for
6 surface reclamation and then later for groundwater
7 protection. Those groundwater protection standards were
8 incorporated into our regulations in 10 CFR Part 40,
9 Appendix A, Criterion 5. Those requirements include design
10 of impoundments for events that you expect at the site,
11 liners, cleanup standards for radiological and
12 non-radiological constituents, including maximum
13 concentration limits, alternate concentration limits and
14 background.

15 The sites that were in existence prior to that are
16 unlined cells because they were built before our groundwater
17 regulations took effect. Cells that were built subsequent
18 to that are lined. So you can go into mill sites, there is
19 at least one I can think of that has several unlined cells
20 and several lined cells, depending on when the cells were
21 met.

22 So if you go into our regulations, EPA gave us
23 standards for non-radiological like selenium and things that
24 we have incorporated into Part A -- Appendix A, I'm sorry --
25 as well as radiological like radium. The composition of the

23

1 tailings is basically the ore with uranium removed, so you
2 have got radium, thorium, things that you would find
3 naturally in the ore, as well as the chemicals that were
4 added to extract the ore, ammonia and other solutions that
5 were used in the extraction process.

6 COMMISSIONER MERRIFIELD: But would you say that
7 the impoundments that have been built since EPA promulgated
8 those regulations, and we have implemented in a consistent
9 fashion or our own regulations, are ours consistent with
10 Subtitle (c) facilities then?

11 MR. HOLONICH: Yes. We sent the letter to EPA
12 back about two years ago that said we have done this work,
13 we think we are consistent, and if we don't hear from you,
14 we will work with the assumption that you guys believe it is
15 consistent also. We also met with the office director down
16 there and, basically, they said they were not going to look
17 at the compatibility question any more.

18 Now, John, did you want to add something?

19 MR. GREEVES: Commissioner Merrifield's question I
20 think goes to the circle cells that they are building
21 nowadays with double liners, leach A collection systems, and
22 I don't think any of these facilities have double liners,
23 leach A collection systems like the ones maybe you are
24 familiar with. That is a design specification in CERCLA
25 space. And Joe, correct me if I am wrong, but we don't have

24

1 double liner, leach A collection systems out there. Maybe
2 the licensees can clarify that.

3 What we have is liners consistent with Part 40,
4 which is also consistent with the EPA regulations that were
5 put out for mill tailings facilities. There is a
6 difference, I don't want you --

7 COMMISSIONER MERRIFIELD: There is.

8 MR. GREEVES: There is a difference.

9 COMMISSIONER MERRIFIELD: Subtitle (c) facilities
10 require double liners and leach A collection.

11 MR. GREEVES: Correct.

12 COMMISSIONER MERRIFIELD: Okay.

13 MR. HOLONICH: I think we do have some double

14 lined cells with leak detection systems in them. I believe
15 White Mesa is one of the sites that has double liners.

16 COMMISSIONER MERRIFIELD: I have gotten in a far
17 greater level of detail than I should and I would be
18 interested in getting some more detail in the staff later on
19 on that.

20 Just one last question as a follow-up, are we
21 being asked by some of the people who will be testifying
22 today to allow disposal of those types of materials in cells
23 which are unlined, or will they only be in cells that are
24 lined? Or do they make a distinction?

25 MR. HOLONICH: They don't make a distinction, but

25

1 I believe it would be lined cells because it would be all
2 the new cells.

3 CHAIRMAN JACKSON: Why don't we ask them?

4 COMMISSIONER MERRIFIELD: Yes.

5 CHAIRMAN JACKSON: Why don't you go on?

6 COMMISSIONER MERRIFIELD: Thank you.

7 MR. STABLEIN: Could I have Slide 6, please?

8 Five, I think. Sorry. That is moving along a little too
9 quickly. Thank you, yes, that's the right slide.

10 Well, we have talked about the cells a bit. Let's
11 talk about the three options to address this particular
12 issue. Unfortunately the third option dropped off of the
13 slide, but I will resurrect it for you when we get to it.

14 The first option is to retain the current
15 guidance, limiting to certain kinds of AEA material what can
16 go into the tailing impoundment. And of course this has the
17 advantage that we remain the sole regulator of the
18 radiological material in the pile. But this doesn't really
19 do anything to make use of the tailings piles for cleanup of
20 other sites and disposal of materials from decommissioning
21 sites or other places.

22 The second option is to revise the guidance to
23 allow more flexibility in using the disposal capacity of the
24 tailings piles and to finalize this rulemaking to give it
25 good codification as the agency practice. If we went this

26

1 route, we would remove many of the prohibitions currently in
2 place on materials that could be put into the tailings pile,
3 and I am sure we would have to work through which materials
4 we would feel comfortable putting in the tailings pile.

5 And, you know, this would make -- allow for more use of the
6 impoundments for disposal of materials from other sites, but
7 it opens up the possibility of multiple regulators being
8 involved and, hence, we would have to be working with the
9 long-term custodian for their concurrence and commitment
10 that they would take the site even if it has these --

11 CHAIRMAN JACKSON: Non-AEA.

12 MR. STABLEIN: Non-AEA materials.

13 CHAIRMAN JACKSON: What about the third option of
14 legislative.

15 MR. STABLEIN: Well, that is the one that rolled
16 off the slide for some reason, but that is the third option.
17 And it is, of course, the staff's recommended option, which
18 would seek legislative change to provide Congressional
19 certainty to the decision to expand the use of tailings
20 impoundments to remove this possibility of multiple
21 regulation. That is, in fact, the third option, Chairman.

22 CHAIRMAN JACKSON: So it should be on here.

23 MR. STABLEIN: It should be on here. I apologize.
24 CHAIRMAN JACKSON: Okay. Commissioner.
25 COMMISSIONER MCGAFFIGAN: Madame Chairman, Mr.

27

1 Fliegel gives us language for his legislative change. I
2 mean my sense, reading the paper, reading his DPV, you are
3 awful close. But could you -- since you didn't provide
4 language for your legislative change and he has language
5 here, would you go beyond him in the sort of materials that
6 would be allowed, or where is the difference between him and
7 you if are both in agreement that a legislative option would
8 be the best option?

9 MR. STABLEIN: I am sure that Mr. Fliegel will
10 speak to this. I would say that I think we are very close
11 as well. I just haven't written up my exact language yet
12 that I would propose for a legislative package. It will
13 have to be worked with the Office of General Counsel to see
14 what we finally come up with.

15 I feel that the DPV'ers and Mr. Fliegel, in this
16 case, have had an effect on the staff's position and that we
17 have moved closer together since the original DPV was
18 written. But Mr. Fliegel will no doubt comment on this.
19 Now or later, as you wish.

20 CHAIRMAN JACKSON: We will finish your
21 presentation. Try to keep it orderly, difficult though it
22 may be.

23 MR. STABLEIN: Could I have Slide 6, please?

24 Moving to the third major regulatory issue that is
25 confronting staff and the Commission is the consideration of

28

1 processing material in uranium mills other than the natural
2 ore that has traditionally been the feed stock for mills.
3 Of course, that is what is currently being used in mills.
4 But the 1995 staff guidance on processing alternate feed
5 material and Presiding Officer's decisions in 1993 and 1999
6 hearings on license amendments involving applications to
7 process such material are presently before the Commission
8 and I will attempt to avoid any -- going places I shouldn't
9 go with this. I am only going to describe the issue and
10 leave it at that.

11 A key criterion in the staff guidance requires
12 mill licensees to demonstrate that they will be processing
13 the alternate feed primarily for its source material
14 content. In the 1993 hearing on the license amendment
15 request, the Presiding Officer indicated that the staff
16 should consider a financial test to ensure that the licensee
17 is in fact processing this material for financial gain, that
18 they are not just running the material through the process
19 so that it can be legally reclassified 11e.(2) material and
20 thereby being put into the tailings impoundment.

21 In the 1999 hearing on a similar amendment
22 request, the Presiding Officer interpreted "primarily"
23 differently. He interpreted it to mean merely that the
24 licensee actually did run the feed through the mill and did
25 extract uranium from that material without regard for the

29

1 financial benefit that accrued from removal of that uranium.
2 Hence, his decision would reverse or overtake the 1993
3 decision, and this 1999 decision has been appealed to the
4 Commission.

5 CHAIRMAN JACKSON: Let me ask OGC a question.

6 Should the Commission action on this generic issue wait for
7 the specific adjudicatory action to be completed?

8 MS. CYR: The Commission has the option of dealing
9 with a generic.

10 CHAIRMAN JACKSON: Even with the pending
11 adjudicatory. But doesn't the existing guidance include
12 methods of justification other than a financial test?

13 MR. STABLEIN: It does indeed, yes. There are a
14 couple of other tests that would still be in place even if
15 this criterion were removed. You have got -- the
16 "primarily" test would still exist, as I described it. You
17 also have a direct disposal test. If the material could
18 already be disposed of right in the tailings impoundment as
19 11e.(2) and they choose to process it, well, it is clear
20 that they are processing it for the uranium content. There
21 would be no point in running it through just -- there is no
22 -- it would not be a sham disposal situation.

23 CHAIRMAN JACKSON: Right. Did you have a
24 question, Commissioner McGaffigan?

25 COMMISSIONER MCGAFFIGAN: Yes. I am just trying

30

1 to understand the interplay between -- again, I have Mr.
2 Fliegel's legislative language in front of me, which I am
3 sure is not blessed by OGC and lawyers will perfect if it
4 ever becomes Commission position. But if his language were
5 enacted, this whole issue, it strikes me, tends to go away
6 because it is defining stuff as 11e.(2) that could go to the
7 -- you wouldn't have, you know, the processing -- it would
8 be able to be disposed of, under his language, "can be
9 disposed of as a licensed uranium mill tailings
10 impoundment." And so you would be -- you wouldn't be -- if
11 they processed it, like you just said, if somebody chose to
12 process something that could directly go to the impoundment,
13 to the tailings pile anyway, then they must be processing it
14 for its source material value. So, just is there an
15 interconnection between these two issues?

16 MR. STABLEIN: Mr. Holonich?

17 MR. HOLONICH: Yes, there is clearly is, and you
18 have got it Commissioner. Is if you define materials,
19 11e.(2) byproduct material than can go into the tailings, it
20 is not covered by the definition now, then, in fact, if you
21 bring it into the mill and run it through the mill, because
22 you have defined it already as 11e.(2), you have taken care
23 of the sham disposal question because you are purely
24 processing it to get the uranium out now. So, yes there is
25 an interconnection.

31

1 COMMISSIONER MCGAFFIGAN: So the legislative
2 solution, whether it is Mr. Fliegel's or something close to
3 it that you haven't written yet, simultaneously solves this
4 issue to a large degree.

5 MR. HOLONICH: To a large degree. But I am not
6 sure what other material may be out there that they would be
7 considering that might not be covered by the legal
8 definition.

9 COMMISSIONER MCGAFFIGAN: Okay.

10 CHAIRMAN JACKSON: Please.

11 MR. STABLEIN: There are clearly two options for
12 addressing this major issue and they are dependent upon the
13 Commission decision on the 1999 appeal. Either the existing
14 guidance would be retained, including the financial test for

15 "primarily" or the guidance would be revised in keeping with
16 the Commission decision to overturn the financial test.
17 So those are the two options. The staff has
18 recommended the second of the two to modify the existing
19 guidance. I might say that our revised guidance would also
20 include a performance-based amendment whereby the licensees
21 wouldn't have to come back to the staff every time they
22 wanted to process alternate feed material. All that they
23 would have to do is to assess the material that they are
24 considering to run through the mill to see whether it is
25 reasonable to process it for its uranium content, and this

32

1 is same kind of decision they need to make, and do make,
2 with natural uranium ore. So it is an attempt to make this
3 easier for the licensees.

4 COMMISSIONER DIAZ: How do you plan to address the
5 issue of non-agreement states' jurisdiction over the
6 non-radiological components of 11e.(2)?

7 MR. STABLEIN: That is the concurrent jurisdiction
8 question which is my next issue.

9 COMMISSIONER DIAZ: Oh, I see.

10 MR. STABLEIN: I think on the next slide, in fact,
11 Commissioner Diaz.

12 COMMISSIONER DIAZ: Okay. Good.

13 MR. STABLEIN: So maybe we should move to Slide 7,
14 please.

15 COMMISSIONER DIAZ: It was not covered in your
16 paper.

17 MR. STABLEIN: You are perfectly correct. As Dr.
18 Paperiello has stated in his introduction, the staff is
19 working with the Office of General Counsel to determine what
20 recommendations should be made regarding the concurrent
21 jurisdiction issue. Once this effort has been completed,
22 the staff will be presenting a paper to the Commission with
23 those recommendations, and I am not prepared today to go
24 further.

25 COMMISSIONER MCGAFFIGAN: Can we -- is it fair to

33

1 ask the timing of when this might be sent the Commission?

2 MS. CYR: My staff has prepared an analysis to go
3 back and look and see whether there is a basis for any
4 change in views of the earlier opinion. I have not have a
5 chance to review that in depth, but we are getting close.

6 COMMISSIONER MCGAFFIGAN: Because I think it would
7 be useful to treat this whole thing as a package.

8 COMMISSIONER DICUS: To have the fourth paper,
9 yes.

10 CHAIRMAN JACKSON: What do you think, Karen?

11 MS. CYR: Once we reach our conclusion, I am not
12 -- I don't know the extent to which we need to go back and
13 work with the staff one way or the other with it. I would
14 say within a month. I am not sure we can do it much faster
15 than a month.

16 CHAIRMAN JACKSON: Okay.

17 MS. CYR: We might be able to do sooner than that,
18 but I would say we could do it within a month.

19 COMMISSIONER DICUS: That might work.

20 MR. STABLEIN: Could I have Slide 8, please?

21 We have discussed three major issues this morning
22 in a little bit of detail. Depending on Commission
23 direction, Part 41 would provide the vehicle for
24 incorporating the revised regulatory framework for uranium

25 recovery facilities and for having an integrated, coherent,

34

1 stand-alone rule for these facilities.

2 It would be most important that the Part 41 codify
3 the regulatory framework for the three issues that we have
4 talked about today, the regulatory framework for in situ
5 leach facilities, the criteria addressing disposal of
6 material other than 11e.(2) in tailings impoundments, and
7 the processing of alternate feed. As well, and I am sure
8 the Commissioners are aware of this from reading Part 40 --
9 the Part 41 rulemaking paper, we have many ideas for
10 clarifying the existing regulations, removing redundancies
11 or inconsistencies that you find now in Part 40 and Part 40,
12 Appendix A, which could be dealt with in this one
13 rulemaking.

14 CHAIRMAN JACKSON: How many existing sites would
15 be affected by this rulemaking, by this revision and
16 codification?

17 MR. HOLONICH: There are currently 10 license
18 sites that could be impacted by the rulemaking, depending on
19 how much you want to backfit in the rule. New sites that
20 are under review, we have got one active application, I
21 think that will probably be done before the rulemaking will
22 come out, so it will be just -- it will be an operating site
23 with the others.

24 There are probably nine or ten other properties
25 that are left to be developed, that people have identified

35

1 to us that, as those get licensed, would be licensed under
2 this requirement, those are probably the ones that will be
3 impacted the most in terms of the new rule. And I am not
4 sure impacted as much as maybe have a more stable regulatory
5 framework that they could be licensed under.

6 CHAIRMAN JACKSON: What does that represent of the
7 universe of sites?

8 MR. HOLONICH: In terms -- those are the NRC
9 sites. There are about 10 operating, one under -- two under
10 active review, but one is maybe going to be pulling back,
11 and 10 properties that are in states that we regulate.
12 There are agreement state activities that could impact,
13 could be impacted by in. In Texas there are a few operating
14 in situs, there are many more under reclamation, so I think
15 the impact there is not going to be very great. And in
16 Colorado there are a couple of mills, only one of which is
17 operating, so I think the rest would probably be reclaimed
18 before -- or are close to being reclaimed before the rule
19 would go out.

20 CHAIRMAN JACKSON: Mr. Greeves, you were going to
21 make a comment.

22 MR. GREEVES: I just wanted to make sure we
23 recognize the agreement state situation. Maybe you can hear
24 more from the agreement states.

25 COMMISSIONER DICUS: Do we have a reason to

36

1 believe the agreement states are going to address this, that
2 the representative states, maybe is something they should
3 they address when they come to their panel.

4 MR. GREEVES: For completeness.

5 COMMISSIONER DICUS: We will ask them.

6 MR. STABLEIN: In summary, times have changed, the

7 industry has changed. Issues have arisen that need to be
8 addressed in the regulatory framework, and legislative
9 clarification would be a big help in this effort. Staff is
10 looking to the Commission for direction on how to proceed on
11 all these issues. And the staff intends the completion of
12 Part 41 and codification of the revised regulatory framework
13 consistent with Commission direction will hopefully enhance
14 the overall uranium recovery regulatory process. Thank you.

15 CHAIRMAN JACKSON: Thank you very much.

16 Any further questions? Commissioner Dicus?
17 Commissioner Diaz?

18 COMMISSIONER MCGAFFIGAN: I have one question that
19 relates to fees. In one of the papers it mentions that
20 hearing costs can't be collected on 170 fees and go into 171
21 the annual fee, and we have obviously had some hearings.
22 And the suggestion is made that this clarification effort
23 might reduce the necessity for hearings. Does this, writing
24 all these papers also go into overhead and go into 171 fees
25 as well? Because, obviously, this group of folks just had

37

1 their fees increased significantly. And how much of it is
2 the hearings and how much of it is the effort to clarify the
3 framework?

4 CHAIRMAN JACKSON: I think the fee question is
5 something that either Carl or you get the CFO to address. I
6 don't think --

7 COMMISSIONER MCGAFFIGAN: Well, it is in the
8 paper.

9 CHAIRMAN JACKSON: I know.

10 COMMISSIONER MCGAFFIGAN: You know, as argument
11 for why we want to go forward.

12 CHAIRMAN JACKSON: Do you want to make a comment?

13 DR. PAPERIELLO: It is certainly a factor. The
14 program is small and the ratio of direct to indirect effort
15 is something I watch and I am very concerned with. But,
16 yes, writing the papers and doing rulemaking all impact the
17 fees. I don't know, I am sure I could find out exactly the
18 FTE expended in hearings. And, of course, some of that is
19 not just NMSS FTE, it represents OGC FTE, too.

20 But, yes, they are significant when the program is
21 as small as this program is.

22 CHAIRMAN JACKSON: Okay.

23 COMMISSIONER MERRIFIELD: Chairman.

24 CHAIRMAN JACKSON: Yes, please. I am sorry.

25 COMMISSIONER MERRIFIELD: There are a variety of

38

1 questions that are raised by some of the other individuals
2 and groups that will be testifying today about where we are
3 relative to the other agencies that we are dealing with,
4 most notably DOE and the Environmental Protection Agency.
5 There obviously are some suggestions made in these papers
6 about how we might interact with them, and I wondering if
7 you could discuss briefly the interactions that we have had
8 with those two entities over the last six months or so in
9 the development of these papers and where we are going to go
10 from here.

11 MR. HOLONICH: With respect to DOE, we have talked
12 regularly with DOE, both the Grand Junction office and
13 headquarters about what was going on here. We made the
14 aware of the NMA White Paper and the fact that it could
15 change some of the legal definition of the material in the
16 tailings from 11e.(2) to material other than 11e.(2). So,

17 in my mind, and they are going to be addressing you a little
18 later, and they can clarify that, but in my mind they are
19 well aware of the industry position and what we have been
20 doing.

21 We were just at a workshop at the beginning of
22 June where the DOE Grand Junction program office was
23 represented and they heard a briefing on these papers, they
24 heard questions from the industry. We answered questions.
25 I think one important point is even in the revised guidance,

39

1 one of the main criterion in there still says DOE or the
2 long-term custodian, if it is the state, has to agree to
3 take the site. So there is a big powerful role for DOE or
4 the long-term custodian in accepting material other than
5 11e.(2) in the guidance. We did not want to remove that
6 provision from the existing guidance and so we kept it
7 there. And, in fact, I made a similar statement with the
8 DOE reps in the workshop a couple of weeks ago, that we
9 still view that as a very big gate through which the
10 licensees have to pass, so we still look to DOE to have a
11 lot of control in terms of what goes into these tailings.

12 With respect to EPA and the groundwater at
13 solution mines, we have really been dealing more with the
14 states because they have the primacy and the State of
15 Wyoming has been and is the biggest state -- the only state
16 right now where we have license facilities. They have given
17 us comments back in August of last year, Part 41 and the ISL
18 rulemaking effort incorporating ISL requirements into the
19 rule. We have given them copies of the White Paper. They
20 have had attendance at the workshops. We went over the
21 White Paper with them. So the real focus because of Wyoming
22 taking on the EPA primacy has been Wyoming.

23 Now, EPA did have some reps from the Denver office
24 there, but they are really more in terms of the tailings
25 activities, not the groundwater activities.

40

1 COMMISSIONER MERRIFIELD: It might be worthwhile
2 for us, I know we have had other occasions where we haven't
3 necessarily agreed with EPA, but this may be an area where
4 further coordination, if we go down this path, would be
5 appropriate in that regard.

6 The second question I have, very briefly, a lot of
7 the proposals here are based on legislative solutions. Have
8 you had discussions with Dennis Rathman and the folks at the
9 Office of Congressional Affairs to identify who we might
10 seek out to assist us in some of those efforts up on Capitol
11 Hill?

12 MR. HOLONICH: I have not. I don't think anybody
13 on the staff has.

14 COMMISSIONER MERRIFIELD: One of the comments that
15 was made by the National Mining Association is that, given
16 the time in the legislative calendar, depending on a
17 legislative strategy, it is going to be very difficult at
18 this point. From a personal perspective, knowing, you know,
19 what I do about the Hill, my sense and I don't know if you
20 guys have any information to the contrary, this is not an
21 issue that I think is particularly high on the Senate
22 legislative calendar. For us to rely so heavily on Congress
23 to make determinations about where we should go, given that
24 fact, I think is, in my eyes, somewhat dubious.

25 MR. HOLONICH: Commissioner, I think what we tried

1 to lay out in the paper was that we saw that the Commission
2 had some flexibility in how it wanted to address these
3 issues, and here were things we could do such as revising
4 guidance or codifying rules. But we felt that the best
5 solution, the most definitive solution would be through
6 legislation. I think if you step back and look at some of
7 the recommendations like revising guidance, we think you
8 have got some latitude there if you want.

9 COMMISSIONER MERRIFIELD: No, I agree. I mean
10 many of your proposals do involve layers of options. But in
11 some circumstances, some of the papers call for the ultimate
12 option being a legislative one and I think that is -- given
13 this issue, I think that will be difficult.

14 CHAIRMAN JACKSON: I think it is important in
15 terms of rulemaking and how the Commission deals generically
16 with this issue, for the Commission to have clarity. I
17 guess I am putting this to OGC as to where the legislation
18 has to be, the ultimate backstop vice what the Commission
19 can do itself, based on the existing legal framework.

20 COMMISSIONER MCGAFFIGAN: Not to differ too much
21 from my colleague, but I do worry on some of these issues
22 that without legislation, going through a complex --

23 CHAIRMAN JACKSON: Rulemaking.

24 COMMISSIONER MCGAFFIGAN: Heavily adjudicated
25 rulemaking process, following by appeals of the rulemaking

1 in the Appeals Courts and whatever, it may not be any faster
2 even if Congress doesn't get to it this session. I don't
3 see a quick solution to any of this, or any process that I
4 am aware of.

5 COMMISSIONER MERRIFIELD: Not to drag this on
6 further, but it appears we have a lot of --

7 COMMISSIONER DICUS: But you are.

8 COMMISSIONER MERRIFIELD: Well, I mean -- well, I
9 am responding to my colleague.

10 [Laughter.]

11 CHAIRMAN JACKSON: Go, Jeff.

12 COMMISSIONER DICUS: Go for it.

13 COMMISSIONER MERRIFIELD: You know, I don't
14 disagree with that, but the fact remains, you know, unless
15 sui sponte, the folks at the Office of Congressional Affairs
16 have gone up and talked to people up on Capitol Hill about
17 this, what we have is a whole series of things that we are
18 thinking about doing, but with which we have really not had
19 sufficient activity up in Congress to determine whether it
20 is worth our going through that effort.

21 CHAIRMAN JACKSON: Right.

22 COMMISSIONER MERRIFIELD: And so I think, you
23 know, before we start going down a road that is going to
24 involve a lot of activity and effort on the part of our
25 staff. I think we should have a better understanding about

1 where the authorizing committee is coming from, and whether
2 what we are coming up with is --

3 CHAIRMAN JACKSON: Is realistic.

4 COMMISSIONER MERRIFIELD: Is realistic and
5 something that will be acceptable.

6 CHAIRMAN JACKSON: Right. And that is why I think
7 the two things really rest on what Commissioner Merrifield
8 has said, and I think my question to Ms. Cyr, namely, to

9 have more definitive clarity, if that makes sense, with
10 respect to what is really in our hands.

11 MS. CYR: We felt that all -- I mean all the
12 options that the staff proposed here, there was a basis in
13 our current authorities to proceed along those lines. I
14 think Mr. McGaffigan's point is true, I mean they are
15 complicated arguments. We are going back and we are
16 reassessing how we have looked at processing in the past,
17 how we have defined that. We have to go through a process
18 of explaining why we are changing our position from one to
19 the other. That is subject to challenge, the rulemaking
20 outcome is subject to challenge.

21 CHAIRMAN JACKSON: That is the way it is.

22 MS. CYR: But that is the way it is. So, I think
23 the staff's point is you might shortcut some of that if you
24 found -- if you had Congress interested in moving in this
25 area and resolving it that way.

44

1 CHAIRMAN JACKSON: But I think we can take up this
2 notion that we need to have some interaction through
3 Congressional Affairs as to what is realistic on what kind
4 of time scale, which is your point.

5 Okay. I think we have said all we can say on
6 this. Let us hear from Mr. Ford and Mr. Fliegel.

7 Did you have a comment?

8 COMMISSIONER DIAZ: I just had a comment since my
9 mind can only do arithmetic at this time. I just make some
10 numbers and it looks like at the rate we are going this
11 briefing will last seven hours.

12 CHAIRMAN JACKSON: Well, that is why we are moving
13 on.

14 [Laughter.]

15 COMMISSIONER DIAZ: I just wished to point it out.

16 CHAIRMAN JACKSON: Right. Thank you so much.

17 Mr. Ford.

18 COMMISSIONER DICUS: You know there is a pool, the
19 staff I understand has a pool on how long -- a betting pool
20 on how long this briefing will last.

21 CHAIRMAN JACKSON: I will tell you what, you will
22 be able to pay your mortgage.

23 [Laughter.]

24 MR. FORD: William Ford. First slide, please.

25 CHAIRMAN JACKSON: Would you please pull the

45

1 microphone closer?

2 MR. FORD: Sure.

3 I am William Ford and I would like to thank the
4 Commission for the chance to speak to you. I will try and
5 be brief. I wrote the differing professional view on
6 regulation of liquid effluent from in situ leach facilities.
7 Mike Fliegel also wrote a similar one on a smaller section
8 of it. So there is two DPVs on this same issue.

9 This issue doesn't -- well, it talks about liquid
10 waste at in situ facilities. It is also concerned with
11 contaminated piping, equipment, basically, all the waste
12 that comes in contact with liquid. It is concerned with
13 contaminated soil. So it is more than just waste and
14 impoundments.

15 It is also concerned, as you get into it, with
16 safety of the worker from a radiation health standpoint.

17 Second slide, please.

18 My recommendation in this differing professional
19 view is that the Commission should approve Option 2. Option
20 2 is that all the groundwater that is contacted by lixiviant
21 underground, whether it is in the restoration phase or the
22 mining phase is basically 11e.(2) material. Therefore, all
23 the waste, contaminated pipe, equipment, soils, would also
24 be handled as 11e.(2). It would either go to an 11e.(2)
25 disposal site or it would have to be decontaminated and

46

1 released under our regulations.

2 My other opinion is that Option 4, which is the
3 legislative option, in my opinion at this time is undefined.
4 It is not explained what will be done to resolve the waste
5 issues at in situ facilities. Therefore, I recommend that
6 if the Commission choose Option 4, that until Option 4
7 becomes a reality passed by Congress, that we should
8 implement Option 2.

9 Next slide, please, that would be Slide 3.

10 COMMISSIONER MCGAFFIGAN: Madame Chairman, could I
11 just clarify?

12 CHAIRMAN JACKSON: Yes.

13 COMMISSIONER MCGAFFIGAN: You are basically saying
14 you don't agree with the existing guidance that puts these
15 restoration waste waters in EPA and state hands?

16 MR. FORD: I am basically saying that I don't
17 agree with the current staff position the way we handle
18 things with waste, and the proposal Option Number 3. Those
19 two options I don't agree with.

20 COMMISSIONER MCGAFFIGAN: And just to clarify,
21 Option 4, I am not sure it is -- while they didn't put
22 language down as Mr. Fliegel did, they do say that under
23 Option 4 they would seek Congressional approval of
24 essentially Option 3, that only post-ion exchange wastes are
25 11e.(2) byproduct material. You are opposed to that because

47

1 -- or what is it about Option 4 that you are --

2 MR. FORD: Okay. The problem I am also -- I have
3 a problem with Option 3, and we will get to that. Option 4,
4 I looked at those same words and I couldn't decide if they
5 told us where in the process in Option 4 they would make
6 their decision. Would it be identical to Option 3? It
7 would be similar to Option 3. So I wasn't sure.

8 CHAIRMAN JACKSON: Let's let him walk through his
9 presentation, and then if there is any point that we feel he
10 has not address or you would like clarification on, we will
11 ask him.

12 MR. FORD: Option 1, what I want to point out on
13 Slide 3 is that these are some of the major problems that I
14 have with the current approach that we have, which is that
15 when you go to a restoration phase, that at that point in
16 time the groundwater is no longer 11e.(2), it is only
17 11e.(2) when you are actively extracting uranium.

18 The problem I have with that is that I am afraid
19 that it encourages on-site disposal. The bulk of the waste
20 comes out when you go under groundwater restoration, so the
21 bulk of the solid waste in the ponds will -- or land
22 application, however it is disposed, will be produced by
23 restoration fluids. So I am afraid that it would create --
24 encourage the creation of many small disposal sites, these
25 in situ facilities, as opposed to collecting this material

48

1 and centralizing it and disposing of it under our
2 regulations, and DOE would then look over it.

3 I am afraid that it might weaken regulatory
4 authority over liquid, air and solid emissions from
5 conventional and in situ 11e.(2) facilities. Basically,
6 what you are saying is that you have had an 11e.(2) process,
7 that that process contaminated groundwater, and now when it
8 comes to cleanup of the groundwater, it is not our problem
9 anymore. It is the same as like if you had an air emission,
10 you contaminated the air from 11e.(2) process and once it
11 has contaminated the air, we don't care, or soil. So if you
12 have dripping water on soil, then if it happened during the
13 restoration phase and contaminated the soil, we don't care.
14 If it happens during mining, we care.

15 So it would seem to me that this raises the issue
16 of emissions. Do we regulate emissions from 11e.(2)
17 facilities? Are we responsible for cleanup, be it liquid,
18 air or solid of conventional or in situ facilities?

19 I am afraid that it also, in my opinion, increases
20 confusion over the regulation of the disposal of the liquid
21 and solid waste, which I just alluded to in terms of
22 contamination of soil. Is it one way or the other?

23 Slide 4, please.

24 Option 3, in my opinion, basically builds on
25 Option 1. I feel it has most of the same disadvantages as

49

1 Option 1. Option 3 says that only post-ion exchange wastes
2 are 11e.(2) material. That means that there is a whole part
3 of the plant, the wellfield with its thousands of wells,
4 many miles of pipes, the plants where they have -- you move
5 the uranium and load it on the resin, and then the
6 precipitation circuit begins after that. That, basically, I
7 am afraid that that might decrease worker protection in the
8 plant.

9 Primarily I am concerned that it might
10 unilaterally remove NRC authority over the wellfields in
11 parts of the surface facility. That means we would no
12 longer be regulating, because it is non-11e.(2) material,
13 the resin-ion exchange columns or the wellfield areas. And
14 in the past, we have cited violations for radon emissions
15 from these resin-ion exchange columns which are often the
16 same facility with the precipitation circuit and the dryer.

17 So what I am afraid is that we might be
18 unilaterally removing things that we inspect now for
19 radiation exposure.

20 I am also worried that it might call into question
21 NRC authority over aspects of the conventional mill sites.
22 If you just worry about -- if you say that at in situ
23 11e.(2) material only starts at the precipitation circuit,
24 well, -- and anything in front of that is non-11e.(2) at in
25 situ, then the same argument, it seems like you could make

50

1 it at a conventional mill. So the grinding and crushing of
2 the rock, and then the elution of that material onto a
3 resin, basically, what it means is the bulk of the material
4 that goes to a mill tailings pile might not be 11e.(2).
5 Therefore, we might not be regulating 11e.(2), because all
6 that takes place in front of the precipitation circuit,
7 prior to it. So my concern is you might be -- you would be
8 setting authority, you know, precedent where we might be
9 removing a regulatory authority over mill tailings at

10 conventional mills.
11 Next slide, Slide 5, please.
12 Now, I am going to tell you about the benefits of
13 Option 2. Option 2 is basically what we followed up until
14 1995 for 20 years. We were happy with that. Basically, it
15 encourages operators to reduce the volume of radioactive
16 waste. For example, some facilities use land application
17 and they precipitate out their radionuclides, remove them,
18 and then they send that small volume off to an 11e.(2)
19 disposal cell. It discourages the creation of many small
20 disposal sites, so you don't have proliferation of small
21 sites across the country, they have to be brought together
22 to an 11e.(2) site.
23 It assures adequate disposal of radioactive waste.
24 By that I mean it meets our -- it means it will meet our
25 regulations, what we consider adequate. I believe it

51

1 provides a clear definition of regulatory responsibilities.
2 There is no confusion on the inspectors and the regulators
3 as to what piece of equipment we regulate and what piece of
4 equipment we don't regulate in the plant, whether it is
5 restoration water only or mining equipment.
6 And then, finally, it is consistent, and this is
7 on Slide 6, with commitments made to the public in our
8 environmental impact statements and assessments. What we
9 have said is, look, this in situ facility will move in, it
10 will mine, it will restore the groundwater, and when we are
11 through mining, we will remove all the radioactive materials
12 and take them off-site, and that is very popular when you
13 are trying to license one of these facilities. And
14 basically that concludes my presentation.
15 CHAIRMAN JACKSON: Let me just ask you two quick
16 questions. Are you saying that the current policy, this is
17 relative to Slide 6, is allowing disposals on-site that are
18 not in accordance with what we have indicated in our
19 environmental assessments?
20 MR. FORD: Yeah, what I am saying that our
21 environmental assessments and impact statements, it is my
22 opinion, what we have said is that it is 11e.(2) material
23 and so, therefore, it is going to be taking off to an
24 existing 11e.(2) facility.
25 The other alternative they have is -- and this may

52

1 not be stated in these, but since then, that they could
2 dispose of it on-site, but if they did, they would have to
3 dispose of it in accordance with our regulations. They have
4 to have a liner, they would have to have a radon barrier.
5 They would have to be stable for, you know, X amount of
6 years.
7 CHAIRMAN JACKSON: What is your position on the
8 additional option that was proposed by Mr. Fliegel, that is
9 to let the licensee designate the restoration waste as
10 either byproduct material or mine waste?
11 MR. FORD: Do you have a comment on that, Mike?
12 CHAIRMAN JACKSON: Well, I will let you -- I will
13 wait then till Mr. Fliegel speaks, and then if you want to
14 comment.
15 MR. FORD: Yeah, I don't have an immediate
16 response for you on that.
17 CHAIRMAN JACKSON: Okay. Commissioner Dicus.
18 COMMISSIONER DICUS: No, I don't have any
19 questions.

20 CHAIRMAN JACKSON: Commissioner Diaz.
21 Commissioner McGaffigan.
22 COMMISSIONER MCGAFFIGAN: I will try to be quick.
23 You have a backup slide on Option 1.
24 MR. FORD: Yes.
25 COMMISSIONER MCGAFFIGAN: And I would like -- two

53

1 backup slides. I would like you to walk us through that
2 because the heart of it has to do whether the staff still
3 believes in Part 20 or whether we think EPA is right in
4 having these higher limits. And I just want to understand.
5 MR. FORD: Slide 8, please. What I am trying to
6 present here is my opinion of what I think the staff was
7 trying to get at when they first decided to define
8 restoration groundwater as non-11e.(2) material. And if we
9 define material, go with Option 2, could we still meet that
10 same need that they were trying to get at? And it is my
11 opinion that what they were trying to do was they were
12 trying allow discharge to surface waters or uranium at
13 higher concentrations than our 10 CFR 20 liquid release
14 limits in our tables. And the EPA limit for that is 4
15 milligrams per liter maximum for one day, 2 milligrams per
16 liter average for 30 consecutive days. Our 10 CFR 20
17 release limit comes to .44 milligrams per liter.
18 Now, the licensees wanted to meet the EPA
19 standards rather than the more restrictive Part 20
20 requirements. By redefining our regulatory authority over
21 the restoration groundwater, then that becomes non-11e.(2)
22 material and they don't have to -- the licensee, therefore,
23 does not have to comply with our 10 CFR 20 standard.
24 COMMISSIONER MCGAFFIGAN: But your next slide goes
25 on to point out -- it may be a flaw in Part 20 we are

54

1 talking about rather than a flaw in EPA, because EPA assumes
2 dilution and I would assume that dilution does happen, so,
3 you know, -- let me ask Mr. Fliegel the question.
4 Which side do you come down on? I am looking at
5 your viewgraph, and I am not sure -- not Mr. Fliegel -- Mr.
6 Ford. Is Part 20 wrong?
7 MR. FORD: Okay. Let me see if I can answer that.
8 I will skip through on Part -- we are talking about Slide 9,
9 and I will go right to the end. Basically, what is being
10 said here is that the staff, if we had defined it all as
11 11e.(2), by redefining it as non-11e.(2), the staff didn't
12 have to address the issue of whether or not the EPA 2
13 milligrams per liter was safe or not. The .44 -- the Part
14 20 assumes no dilution. The EPA assumes dilution. The
15 staff has the option I think of doing a dose assessment.
16 They don't have to restrict themselves just to the Part 20,
17 they can take into account dilution. So I don't think they
18 needed to redefine to give them -- the industry this
19 flexibility.
20 Alternatively, the staff might decide that the EPA
21 standard is adequate for us, taking into account dose, do a
22 generic dose evaluation and, therefore, if they meet the EPA
23 standard, they have met our requirement for surface
24 discharge for uranium.
25 So I think the same thing could have been

55

1 accomplished without redefining the groundwater as

2 non-11e.(2).
3 COMMISSIONER MCGAFFIGAN: And just, since 1995
4 have people gone out and gotten these EPA discharge permits
5 that you refer to?
6 MR. FORD: Actually, the industry --
7 COMMISSIONER MCGAFFIGAN: Or the state equivalent?
8 MR. FORD: Yeah, there is -- I am aware of two
9 discharge, only of two facilities that have discharge
10 permits. One was obtained in 1980, one was obtained in
11 1986.
12 COMMISSIONER MCGAFFIGAN: Okay.
13 MR. FORD: So the answer is just going on today.
14 DR. PAPERIELLO: I would like to address the issue
15 of Part 20 versus the EPA limit. The Part 20 limits are
16 very conservative, they give no credit, either air-borne or
17 liquid for dilution. As a practical matter this agency does
18 use dilution, but on the reactor side where, in fact, they
19 use the dilution obtained by discharge canal recirculating
20 water to meet the Part 20 limits for a discharge. And we,
21 in fact, routinely in air-borne releases, again on the
22 reactor side, allow dilution. I mean there are dilution
23 calculations for release from the elevated stacks and the
24 like.
25 So I just want to point if the EPA is giving

56

1 credit for dilution, you can easily calculate that we are
2 dealing with not much dilution to bring the actual
3 concentration to a stream or a body of water down to the
4 equivalent Part 20 limit.
5 COMMISSIONER MERRIFIELD: Just one clarification.
6 Your presentation is focused on the four options contained
7 in SECY-113. Also included in that paper was a discussion
8 of whether our agency should defer to EPA relative to the
9 underground injection control programs, so that we avoid
10 that level of dual regulation. Did you have a position on
11 that as well, or are you comfortable with the recommendation
12 of the staff?
13 MR. FORD: I am comfortable with the
14 recommendation of the staff. I don't have a strong argument
15 against dual regulation. If EPA requires restoration of the
16 groundwater, that is the key thing on the groundwater. That
17 is what the surety is held, that is where the rubber hits
18 the road in the program when it comes to restoration.
19 And if EPA restores the groundwater, which OGC
20 says they have a requirement for that, then I don't have an
21 objection. And I don't think any discussion we have had on
22 my DPV, however you class the groundwater, you could still
23 rely on EPA.
24 COMMISSIONER MERRIFIELD: Thank you.
25 CHAIRMAN JACKSON: Thank you.

57

1 Mr. Fliegel.
2 MR. FLIEGEL: Thank you for the opportunity to
3 present my DPV. I will only be discussing SECY-99-12 and
4 primarily alternate feed. I agree with Mr. Ford's
5 discussion of SECY-99-13.
6 If I can have the first slide, please.
7 My primary concern in terms of alternate feed is
8 the potential for sham processing and the consequences
9 thereof. First of all, it wasn't clear -- the paper, the
10 Commission paper has gone through several iterations since I
11 first wrote my DPVs. It is not clear to me now what the

12 staff is recommending. In terms of alternate feed, it asks
13 for performance-based licensing of alternate feed. I read
14 it that it appears to rely on the existing guidance to get
15 at what "process primarily for uranium" means, that is,
16 whether or not you look at -- specifically, is it uranium
17 versus vanadium, or is it uranium versus other motives? And
18 if that is the case, it appears that that is not a good
19 issue for performance-based licensing because it is so
20 controversial. It is not an easy decision to make and I am
21 not sure that that is the kind of thing we want to put in a
22 performance-based license.

23 It also identifies the recent ruling on the
24 interpretation of what "process primarily for," and I will
25 just repeat what was said in the paper, but I won't discuss

58

1 that because of the ex parte rules, and that is that that
2 decision said that "process primarily" is based on what is
3 removed from the ore, that is uranium versus vanadium or
4 something else, and the motive for process is not to be
5 considered. The Commission paper takes no position and
6 neither do I.

7 I think it is important to look -- if we can have
8 the slide, please -- look at the basis for the 1995 staff
9 guidance. And we briefed Commissioner de Planque in June of
10 1994 on this, and what we told her at the time was that, in
11 terms of alternate feed, we were trying to accomplish two
12 objectives, and one was to allow the processing of alternate
13 feed material to the extent possible.

14 On the other hand, we were trying to prevent sham
15 processing, and sham processing, as we explained at the
16 time, was we were trying to prevent processing of
17 radioactive waste that would have to be disposed of,
18 primarily in a low level waste facility, simply to change
19 its classification from low level waste to 11e.(2) byproduct
20 material. That is what we defined as sham processing.

21 And as we said at the time, either one of these
22 objectives is easy to accomplish. The difficulty is
23 accomplishing both at the same time. And we developed a
24 strategy to do that, and looking at the definition of
25 11e.(2) byproduct material, and the key phrase, "ore

59

1 processed primarily for its source material." Our strategy
2 was to create a very expansive definition of ore that
3 essentially allowed anything to come into the mill and be
4 considered ore, and to focus on the phrase "primarily
5 process for" and look at that phrase, and "primarily process
6 for" in our mind was -- is it being processed really to get
7 uranium out, or is it be processed to change the definition
8 of what the waste is? And that is how the guidance was
9 developed.

10 If we can go to the next slide.

11 Now, however, depending upon the interpretation of
12 that phrase, "process primarily for source material," we may
13 have to reconsider the staff's 1995 strategy. And the issue
14 becomes, does the Commission -- the issue with the
15 Commission in terms of providing guidance to the staff is,
16 do we will want to prevent sham processing?

17 Now, if we continue to want to prevent sham
18 processing, there is really only two ways to do it. One is
19 to confirm what the staff tried to do in 1995 in its
20 interpretation, that is, "process primarily" allows you to

21 look at whether or not you are trying to change a
22 definition. And if the Commission does not want to confirm
23 that interpretation, then we would have to revisit our
24 strategy and come up with a different way of trying to weed
25 out those situations which would be sham processing.

60

1 COMMISSIONER DIAZ: Excuse me. Could you tell me
2 what the difference in terms of public health and safety is,
3 whether you process it or not process it as waste, what is
4 the difference?

5 MR. FLIEGEL: Okay. The answer is it really isn't
6 a public health and safety issue, and I will get to that
7 when I go to sham processing. It is more are we doing, are
8 we being above board in how --

9 CHAIRMAN JACKSON: Right. Because you have said
10 yourself that you consider tailings impoundments to be good
11 candidates for disposal of low level waste.

12 MR. FLIEGEL: Yes.

13 CHAIRMAN JACKSON: So I don't think that embodied
14 in what he is talking about is an issue having to do with
15 the public health and safety.

16 COMMISSIONER DIAZ: Thank you.

17 MR. FLIEGEL: Yes. If, on the other hand, the
18 conclusion is that the agency no longer cares about sham
19 processing, then the guidance can be simplified. But I do
20 want to discuss some of the consequences of allowing sham
21 processing.

22 One example is just looking at uranium yield of
23 ores. Mills typically operated with ores that contained a
24 few tenths of a percent of uranium, and they yielded several
25 pounds of uranium per ton of ore. The cleanup criteria in

61

1 at least some decommissioning sites, the cleanup criteria
2 for uranium in soil is 10 picocuries per gram. Now, I have
3 also been told that actually that that may change when we
4 look at doses and it may even be lower than that. But if
5 you consider soils that are contaminated at or above 10
6 picocuries per gram and have to be cleaned up, those soils
7 are either low level waste or, if you don't care about sham
8 processing, they are alternate feed.

9 The yield from soil containing 10 picocuries per
10 gram of ore, if it were brought to a mill, is a pound per 34
11 tons, or about a half an ounce per ton. That may be viable
12 for gold, I am not sure it is very viable for uranium. But,
13 again, if you don't care about that, you can have mills that
14 are operating with that low a yield.

15 Another consequence is what I call "mock mills."
16 That is, if in reality, when -- if you are only making, if a
17 mill operator only is making pennies per ton on the value of
18 the uranium in the ore, but is making hundreds of dollars a
19 ton for disposal, the mill efficiency becomes irrelevant, we
20 get the questions of what constitutes a mill. In the past,
21 mills have had lots of leach tanks and lots of components
22 and circuits.

23 If you really -- it really doesn't matter, you can
24 build a minimal amount and call it a mill, when in reality
25 you are really trying to just convert something. And the

62

1 same thing with the heap leach, you can build a concrete
2 pad, pour some acid on it and say that is my mill if you
3 have got a tailings impoundment. And essentially it

4 becomes, this mill becomes a subterfuge to disguise a low
5 level waste facility that is not licensed under Part 61.
6 And it just resurfaces all the issues and concerns that we
7 faced when we wrote the guidance and so that was why -- that
8 is why I would recommend that we don't allow sham
9 processing.

10 If I can have the next slide, please. Actually,
11 the slide after that.

12 CHAIRMAN JACKSON: The next slide, please.

13 MR. FLIEGEL: The next slide, please. Yes.

14 Just a few words on the disposal of non-11e.(2) by
15 product material. The paper has evolved a lot since I wrote
16 my DPV. And I agree with the staff's option, preferred
17 option of seeking legislative change. But I think we still
18 need guidance from the Commission on what to do in the
19 interim, because as it has been stated, it may take an awful
20 long time for that to happen, and I would recommend
21 retaining the current guidance as I discussed in my DPV.

22 Just a couple of additional comments on the paper.
23 The paper points to a situation in which TSCA wastes have
24 been allowed in the tailings impoundment and implies that
25 that could be used as an example for other waste, and it is

63

1 not quite the same thing because the waste in question was
2 11e.(2) byproduct material contaminated with PCBs on the
3 site. One could look at that as maybe the entity being
4 11e.(2), but rather than do that, the licensee went through
5 the process, but that is dissimilar from bringing in wastes
6 that have nothing to do with 11e.(2) from off-site.

7 And a minor point on the discussion of Part 61, no
8 matter which option you use, we can make that a generic
9 exemption, but my understanding was that that had to be done
10 by rulemaking, which is why it was not -- we tried to do a
11 generic exemption in the guidance and were told we couldn't
12 do that.

13 CHAIRMAN JACKSON: Okay. Thank you.

14 Commissioner Dicus.

15 COMMISSIONER DICUS: No questions.

16 CHAIRMAN JACKSON: Commissioner Diaz.

17 Commissioner McGaffigan.

18 COMMISSIONER MCGAFFIGAN: Just very quickly. Your
19 legislative language, which I went and looked back, it was
20 drafted in November, are you in violent agreement with the
21 staff on the general thrust of the legislative language at
22 this point, if that option were chosen? I mean is there --
23 I asked the staff earlier, is there any difference between
24 your understanding of their legislative proposal and your
25 legislative proposal?

64

1 MR. FLIEGEL: My reading of the paper was that
2 their legislative proposal was essentially what I proposed
3 and it was written as -- not as a lawyer.

4 COMMISSIONER MCGAFFIGAN: No, I understand. I
5 understand. Pretty good though.

6 CHAIRMAN JACKSON: Well, thank you. Commission
7 Merrifield, did you have anything?

8 COMMISSIONER MERRIFIELD: No, thank you.

9 CHAIRMAN JACKSON: I am going to excuse this panel
10 and we will call Panel 2 involving Mr. James Fiore from the
11 Department of Energy and Dr. Gary Smith from CRCPD, the
12 Conference of Radiation Control Program Directors, as well

13 as Mr. Sinclair, thank you, from the State of Utah.
14 We will begin with Mr. Fiore, then we will have
15 Mr. Smith, if he is here.
16 DR. SMITH: I am here, right here.
17 CHAIRMAN JACKSON: You have a name tag over here.
18 And then Mr. Sinclair. Thank you.
19 MR. FIORE: Madame Chairman and Commissioners.
20 First, since my estimate in the pool was about four hours,
21 not seven hours, I will be very brief.
22 [Laughter.]
23 CHAIRMAN JACKSON: Have you made your mortgage
24 payment this month?
25 MR. FIORE: I am counting on this pool, it is a

65

1 rather large pool.
2 First, I would like to thank you for the
3 opportunity to meet with you today and to present our views
4 on the paper, the various papers.
5 CHAIRMAN JACKSON: You need to turn the mike on.
6 MR. FIORE: Okay. Let me start again. I just
7 want to thank you for our opportunity to present our views
8 on the various papers. Before I do that, I do want to
9 publicly acknowledge the efforts of some of the NRC staff in
10 the Uranium Recovery and Low Level Waste Branch that have
11 worked very closely with us on the Title I sites and the
12 licensing of those sites. We brought that program to a
13 successful close this year and we could not have done that
14 without the excellent work both by the staff and the
15 management. I think it was an excellent effort for the
16 nation, and I want to applaud the efforts of the staff and
17 management on that.
18 With respect to the papers, the paper of most
19 significance to us is the paper on the disposal of material
20 other than 11e.(2) byproduct material. To be very blunt,
21 our position is, given budgetary constraints and manpower
22 constraints, we would like to get Congressional direction
23 before there are any actions that increase the burden on the
24 department, either in terms of staff resources to deal with
25 things or long-term custodian responsibilities. We have a

66

1 very tight budget situation with an intense focus on doing
2 cleanup at many of our sites ourselves and we feel
3 Congressional direction, whether it is in the form of
4 legislation or guidance, is very important.
5 Let us say, in concept, we think allowing material
6 that is chemically and radiological similar to byproduct
7 material to be placed in the tailings pile is a reasonable
8 thing to consider. We also put one major caveat on that and
9 that is we do not want to get into a problem with dual
10 regulation. If this can be set up in way that dual
11 regulation is not a problem, I think it is reasonable to be
12 considered. And what we would propose to do is have our
13 staff work with the NRC staff to lay out what is an
14 acceptable way to carry this out such that it does not
15 create a significant additional burden for the Department of
16 Energy.
17 CHAIRMAN JACKSON: Can you tell me, if you are
18 placing other similar material in existing tailings
19 impoundments, how does that require -- I mean result in more
20 long-term care responsibility?
21 MR. FIORE: I think it again depends on -- let's
22 talk about the dual regulation. If somehow that emplacement

23 created a situation that was complex in terms of trying to
24 define whether or not we need to deal with multiple
25 agencies, whether it increases litigation risks where folks

67

1 are again saying, well, what you put in there should have
2 been dealt with by a different agency, then it takes staff
3 time and effort on our part to deal with that.

4 CHAIRMAN JACKSON: So it is primarily a dual
5 regulation issue?

6 MR. FIORE: It is primarily a dual regulation
7 issue. If we set aside the dual regulation, if we are
8 putting in material that is essentially the same in terms of
9 its chemical and radiological properties, and we have done a
10 good job, as we would do just on the byproduct material, of
11 assuring that the impoundment has been designed well and
12 that long-term monitoring will not be a problem, we
13 obviously don't have any major issue with adding other
14 material to that.

15 Fundamentally, that is our bottom line. On the
16 other two papers, they are not of great concern to us. I
17 think we have a few minor comments in our remarks, but I
18 will, again, keep things very brief, that is the heart of
19 our position.

20 CHAIRMAN JACKSON: Thank you. You did make a
21 point that you would like to see the inclusion of a
22 performance review by DOE before accepting Title II sites
23 into long-term care. But doesn't DOE prepare a long-term
24 surveillance plan and could that not be viewed as a form of
25 performance review?

68

1 MR. FIORE: Yes. It could be. Again, I think
2 what we are simply saying is we want to have an active role
3 in the turnover of those sites to us, as opposed to just
4 someone saying, okay, they are ready and an expectation that
5 we would just say, oh, that's fine, they are ours.

6 CHAIRMAN JACKSON: Okay. So rolling them into the
7 development of your long-term surveillance plan would be
8 potentially an acceptable way?

9 MR. FIORE: Potentially an acceptable way.

10 CHAIRMAN JACKSON: Okay. Commissioner Dicus.

11 COMMISSIONER DICUS: Nothing.

12 CHAIRMAN JACKSON: Commissioner McGaffigan.
13 Commissioner Merrifield.

14 COMMISSIONER MERRIFIELD: I just have -- related
15 to the question I had to our own staff. My understanding,
16 you know, obviously, the desire to have this put into a
17 statutory form to provide the appropriate boundaries for the
18 comfort of the Department of Energy. Are you aware of
19 interest up on Capitol Hill in exploring these issues, and
20 whether there is some interest in pursuing these?

21 MR. FIORE: No, we have no pursued that. I think
22 your point is an excellent one. There is a wide range of
23 issues that need to be dealt with. But I think, again,
24 there is also a wide range of Congressional involvement.
25 Discussions with the staff, guidance from the staff, or

69

1 whatever could go a long way in terms of indicating whether
2 or not there is support for some of these actions. It might
3 not mean a huge piece of legislation or something like that.
4 But, no, we have not personally gone up there and bounced

5 any of these ideas off the Congressional folks.

6 COMMISSIONER MERRIFIELD: Thank you.

7 CHAIRMAN JACKSON: Okay. Mr. Smith.

8 DR. SMITH: Good morning. Thank you for inviting
9 us, or the CRCPD agreement states. Like my colleague here,
10 Mr. Fiore, I would like to keep my remarks brief also. We
11 have already touched on about three different points that we
12 would want to emphasize and focus on.

13 The issue of alternate feed materials and
14 alternate materials going into tailings impoundments, we
15 essentially would agree with the DOE folks in that we would
16 be looking at materials that have similar chemical and
17 physical characteristics and would have the uranium and
18 thorium and their decay products primarily, because the
19 tailings impoundments have been designed for this in the
20 first place, and the baseline monitoring that has gone into
21 these places would support monitoring that material in the
22 long run. That is really all I had to say about that issue.

23 Groundwater issues, we do agree with the position
24 that NRC and the agreement states should not have
25 overlapping programs, and in our own experience in the State

70

1 of Texas, the UIC program has worked quite well and its
2 regulatory program for the -- what we would call the ore
3 zone and its restoration. However, we found -- and
4 regulatorily, we would want to pay attention to an uppermost
5 offer for in some cases there might be a portion of the
6 sedimentary column that would not be looked at by the UIC
7 program, and according to -- looking at some of the surface
8 activities of the licensee, there may be impacts to that
9 that I think would be well covered by the regulatory agency
10 and the licensee separate and apart from the UIC program.

11 The issue about in situ leach programs, we would
12 agree with the option to have all the liquid effluents
13 treated as 11e.(2) material, primarily for the reason that
14 benefit or alteration of material for its ultimate use
15 really starts in the ore body when the uranium is oxidized
16 and removed from the surface of the sand grains and is then
17 transported by the flow of the lixiviant to the surface
18 facility. This process also mobilizes a lot of other
19 metals, and in particular radium-2 which make the liquid
20 itself a byproduct material. And that is, in fact, the way
21 we have mostly treated it in Texas in our program.

22 I realize I have shot through that pretty quickly,
23 but I think that is essentially the points that we would
24 like to bring up.

25 COMMISSIONER MERRIFIELD: You set a very good

71

1 standard.

2 DR. SMITH: Thank you, sir.

3 CHAIRMAN JACKSON: Yes, and I think we will set a
4 comparable set, won't we?

5 COMMISSIONER DICUS: Oh, she sent me --

6 [Laughter.]

7 CHAIRMAN JACKSON: No, I am looking all the way
8 down the table.

9 COMMISSIONER DICUS: Just one quick question.

10 [Laughter.]

11 COMMISSIONER MERRIFIELD: I am glad you are not
12 looking this way.

13 [Laughter.]

14 COMMISSIONER DICUS: Just a tiny little question.

15 I am somewhat familiar with how CRCPD comes to decisions and
16 you are presenting the CRCPD. Is this, the points that
17 CRCPD has made and the position it has taken, it is pretty
18 well unanimous or is there a minority opinion?

19 DR. SMITH: I am not aware of any minority
20 opinion. The consensus of the board was final last Friday,
21 so I was waiting on the edge to get that. Yes, it seems to
22 be the consensus.

23 COMMISSIONER DICUS: Okay. Thank you. That was
24 succinct.

25 CHAIRMAN JACKSON: Thank you so much.

72

1 COMMISSIONER MCGAFFIGAN: Just real quick, you are
2 one of the states, in your role as a Texas official, that
3 has an in situ leach facility. How close do your
4 regulations currently follow whatever, you know, Part 40 and
5 Appendix A to Part 40? Are you in front of in any sense in
6 trying to rationalize this stuff for your regulation of your
7 particular facilities?

8 DR. SMITH: I would say our regulations are pretty
9 much word for word, although we have taken a position --
10 this 1995 change guidance from NRC sort of caught us by
11 surprise. In Texas, the program had been at another agency
12 for a while and then it came back to TDH, and during the
13 interim was when these positions were taken by NRC. But
14 prior to that, we had been very stringent in consideration
15 of byproduct material as really being all the effluents to
16 take care of spills that might happen in wellfields and
17 looking at the facility itself where ion exchange occurs and
18 the precipitation.

19 I think we are still in that mode somewhat. We
20 don't see in our state anyone really looking at material
21 that may be called mine waste, because when you get to
22 restoration you still have quite a bit of radium-226 that
23 was mobilized in the first place in the ore by -- in that
24 fluid. You don't just magically say it is restoration fluid
25 and suddenly you lose that problem.

73

1 COMMISSIONER MCGAFFIGAN: So there is no mine
2 waste, in your state, there is no mine waste classification
3 that some agency deals with as mine waste? It is all
4 lle.(2)?

5 DR. SMITH: That's correct.

6 COMMISSIONER MCGAFFIGAN: Okay. Thank you.

7 CHAIRMAN JACKSON: Commissioner Merrifield.

8 COMMISSIONER MERRIFIELD: I have no questions.

9 CHAIRMAN JACKSON: With respect to alternative
10 feed stock, is your definition of ore the same as what the
11 staff's definition of ore is?

12 DR. SMITH: I think is fairly close. We would be
13 looking at something that is sand-like, contaminated dirt,
14 yes, ma'am.

15 CHAIRMAN JACKSON: Okay. Thank you. Thank you
16 very much.

17 Mr. Sinclair.

18 MR. SINCLAIR: If I could have the first
19 viewgraph, please.

20 Thank you, Chairman Jackson and Commissioners for
21 the opportunity to appear before you today and give the
22 perspective of a non-agreement state on uranium recovery
23 regulation. The last time I appeared before the Commission

24 was to talk about the integrated performance evaluation,
25 IMPEP. As you may remember, Utah was the first state to get

74

1 IMPEP and I was one who made some highly critical remarks
2 about the process, and today I feel very good about what has
3 happened, and I am hoping today by being here that I can
4 give you some food for thought regarding uranium recovery
5 operations.

6 I also just want to state that the State of Utah
7 has filed an appeal on LBP-99-54 to the Commission and so
8 any remarks that I make today will be structured in a
9 generic sense.

10 First I would like to make some comments on the
11 SECY papers, and there are the three SECY papers, 99-11, 12
12 and 13. We would support the recommendations, the staff
13 recommendations in a number of areas, especially on 99-11,
14 where the recommendation is to promulgate a new Part -- 10
15 CFR Part 41 dedicated to the regulation of uranium and
16 thorium recovery facilities.

17 There is mention of a number of areas to be
18 clarified. We would agree with those areas that need to be
19 clarified, along with looking at Appendix A and whether it
20 should be revised or even eliminated. And I will discuss
21 some very specific considerations for Part 41 in just a
22 moment.

23 We would also support retaining the Staff guidance
24 in its current form as outlined in SECY paper 012. This
25 recognizes that the guidance is not perfect, but for us it

75

1 contains some very important policy implications for a
2 non-Agreement State and I think Mr. Fliegel alluded to some
3 of those.

4 We really don't support what I would turn opening
5 up the barn doors to allow processing and disposal of other
6 types of uranium and thorium byproduct material such as
7 special nuclear material from mixed waste -- CIRCLA, TSCA
8 waste -- and so forth.

9 However, the current guidance may be overly
10 restrictive and really there doesn't appear to be much
11 middle ground here in terms of the SECY paper.

12 As recommended in SECY-013 we support removal of
13 the NRC from the ground water protection issues at in situ
14 leeching facilities. We believe states are best equipped to
15 handle these issues, whether it be delegated from EPA or
16 through their own state ground water protection programs.

17 CHAIRMAN JACKSON: Is that because you believe NRC
18 has no jurisdiction or you think that deferral is a good
19 thing?

20 MR. SINCLAIR: I think deferral is a good thing in
21 this case. I haven't looked at specifically the issue of
22 the NRC jurisdiction in that case. The next viewgraph,
23 please.

24 Some considerations for the new Part 41. As part
25 of the redraft of the old Part 40 into the new Part 41, you

76

1 really need to look at what standards would apply to the
2 different levels of activities at uranium mills. For
3 instance, you are going to have maybe a conventional mill
4 processing ore. You may have a mill that is processing ore
5 and alternate feed combination. You may have a mill just
6 processing alternate feed or you may have a commercial waste

7 facility.

8 This gets even more complicated in the fact that
9 you may have one that does more ore than alternate feed or
10 one that does more alternate feed than ore, and so should
11 the standards be different for those kind of facilities?

12 Some considerations also should be what
13 responsibility does the generator have in properly
14 characterizing the waste coming into the facility. There
15 has been a lot of debate and discussion about how waste is
16 characterized and really does this characterization need to
17 be verified to some extent?

18 Container management for instance may become an
19 issue if you are having a facility that is moving from an
20 ore processing facility to a facility that is now receiving
21 different types of material in lots of different containers.

22 Prevention really needs to be looked at.

23 Tailings impoundments at uranium mills in Utah
24 reflect late 1970s technology. Today landfill cells and
25 impoundments really are subject to a higher degree of

77

1 construction quality assurance control, both in terms of
2 cell design, soils engineering, and liner installation, and
3 should unused cells or new cells being contemplated be
4 required to meet best available control technology of the
5 '90s? I think the answer should be yes.

6 This also raises the question of is the ground
7 water monitoring program at a facility that would take other
8 waste or alternate feed adequate, and we need to look at
9 that issue as well.

10 We also need to focus on financial assurance and
11 whether or not it is adequate. It is something we always
12 have to look at but it does raise some other issues in that
13 regard.

14 Then what should the role be of the Department of
15 Energy as a long-term custodian, and should they have some
16 approval role in this process? Next viewgraph, please.

17 It is our belief that the current NRC guidance may
18 not prevent the establishment of de facto radioactive waste
19 facilities. Utah is currently faced with the prospect of
20 having four facilities receiving either alternate feed or
21 waste. One facility we have is licensed as a commercial
22 radioactive waste disposal facility. We have a RCRA
23 facility that is proposing to accept low-level waste. We
24 have a mill that is currently processing alternate feed. We
25 have another mill that has expressed interest in disposing

78

1 of byproduct material -- so we are faced with the prospect
2 of having four facilities within our state.

3 By virtue of allowing this processing or taking of
4 other materials under the current guidance, new disposal
5 capacity is really created without concurrence from the
6 state. Since Utah really doesn't have -- well, we don't
7 have the authority to regulate byproduct material.
8 Legislative or other change to allow other waste into mills
9 under Federal preemption would just further disrupt Utah's
10 ability to control its own waste destiny.

11 Should a line be drawn between disposal and
12 processing or is there a need to do such? And this is
13 really the challenge that you have to face because you need
14 to decide what your role is going to be in terms of how to
15 use uranium facilities. Are you going to promote the idea

16 of waste disposal to these facilities or is it your job to
17 regulate waste disposal, whether it be in Agreement States
18 or under the jurisdiction of NRC?

19 Then you have to decide what kind of materials are
20 appropriate to go into these kind of facilities and there
21 are other actors or interested parties, stakeholders, that
22 will need to be involved. Certainly there will be a lot of
23 interest in terms of the people proposing the facilities --
24 Federal agencies, siting authorities such as compacts and so
25 forth. Final slide, please.

79

1 I just want to talk a moment about dual regulation
2 or concurrent jurisdiction and give you just a hint of our
3 experience with this particular issue, as a non-Agreement
4 State.

5 I think there is a general belief that dual
6 regulation is a bad thing and it should be avoided at all
7 costs. It really is exemplified when you have State and
8 Federal entities coming into conflict with each other over
9 it and you even have local jurisdictions at times that
10 become involved, so as a non-Agreement state we really have
11 run into this issue first-hand, but there are instances
12 where it really can work. Let me give you some examples and
13 I'll go through these very quickly.

14 For instance, Plateau Resources, Limited was
15 issued a State of Utah ground water discharge permit in
16 March of '99. The NRC acknowledged that the State
17 requirements would be more restrictive and meet the NRC
18 needs and this also met the State needs of protecting a very
19 pristine source of drinking water very close to a large
20 recreation area, Lake Powell, and we worked closely with the
21 company to implement what we call the best available control
22 technology for ground water protection of the site, and it
23 has turned out to be a very positive thing in our minds.

24 We also have the licensed facility, Envirocare of
25 Utah. It's the only commercial waste facility that takes

80

1 11e.(2) byproduct material and it also has a State of Utah
2 ground water discharge permit. Just recently Envirocare
3 identified some new constituents that they wished to add to
4 their monitoring program that was the result of them taking
5 these other types of waste that we're talking about.

6 Through the ground water discharge permit we are
7 able to add those constituents to the monitoring program and
8 I think we get a better level of protection.

9 We also have the situation where it hasn't been so
10 rosy. The Atlas Corporation is a good example of where the
11 State had to file a corrective action order because the NRC
12 had no surface water quality standards and couldn't protect
13 the Colorado River water.

14 Fourthly, the White Mesa Mill over the years, we
15 have gone back and forth with them between the various
16 owners and operators, regarding ground water protection at
17 the mill, but at this point in time we are working with them
18 to put into effect a ground water protection permit.

19 So dual jurisdiction can work; it takes a lot of
20 effort and it takes a lot of time, but it can work. I would
21 be glad to answer any questions.

22 CHAIRMAN JACKSON: Thank you very much.
23 Commissioner Dicus?

24 COMMISSIONER DICUS: I don't have any questions,
25 thank you.

1 CHAIRMAN JACKSON: Commissioner McGaffigan?

2 COMMISSIONER MCGAFFIGAN: Just let me try to do
3 one quick question.

4 On 99-012 you say you support Option 1. Does that
5 mean you oppose Option 4, on which Mr. Fliegel and the Staff
6 essentially agree -- I mean Mr. Fliegel says in his DPV "It
7 is my opinion that uranium mill tailings impoundments are
8 excellent places to dispose of low activity radioactive
9 material."

10 Do you fundamentally disagree with that opinion?

11 MR. SINCLAIR: I disagree with that opinion in the
12 fact that I, myself, would have to be comfortable with the
13 design of the ground water protection standards at the
14 particular mill in my state and I am not of the opinion that
15 at this time we are there -- at least in my state.

16 COMMISSIONER MCGAFFIGAN: And just -- I won't
17 belabor this -- it strikes me that there is a larger issue
18 here that might get some Congressional attention, because
19 there is a RCRA issue that the Corps of Engineers is
20 involved in and California at the moment where the site had
21 a permit, and I don't know whether your RCRA site has one
22 for NORM -- and the NORM actually is hotter than the Fuzart
23 material that got shipped from New York and now it isn't
24 clear whether the Fuzart material can or cannot go there.
25 We are not involved in that but it just, it strikes me that

1 some consistency as to what can go into sites and whether it
2 is NORM or whether it is exempt source material or whether
3 it is -- whatever classification, that there needs to be
4 some rationalization there at some point or else everybody
5 gets into arguments and disputes, so maybe the solution that
6 we are advocating here or the Staff is advocating in their
7 paper is part of a larger solution to rationalizing what
8 goes into, what the rules are at these various places.

9 MR. SINCLAIR: I think that is a very good point.
10 I think the characterization issue is a very big issue and
11 how people characterize their waste determines where it
12 goes.

13 COMMISSIONER MCGAFFIGAN: There is some very hot
14 NORM --

15 MR. SINCLAIR: There is.

16 COMMISSIONER MCGAFFIGAN: -- and the CRCPD has
17 been working on regulations for NORM for -- with lots of
18 help for an eternity, and I don't know. It is -- some
19 rationalization needs to be done fairly soon.

20 CHAIRMAN JACKSON: Commissioner Merrifield?

21 COMMISSIONER MERRIFIELD: I don't really have any
22 questions. The only comment I would make is I think the
23 testimony raises a variety of good questions and I think we
24 are going to have to think about them in this rulemaking
25 process and I just wanted to thank the State for -- and all

1 of the members of this panel -- for some very thoughtful and
2 thought-provoking questions.

3 CHAIRMAN JACKSON: Thank you very much I am going
4 to excuse this panel. We will take a five minute break --
5 seven minute break and come back at 11:07.

6 [Recess.]

7 CHAIRMAN JACKSON: We will now here from three

8 groups comprising Panel 3, from the Wyoming Mining
9 Association, the National Mining Association, and the Fuel
10 Cycle Facilities Forum, in that order, so we will begin with
11 Mr. Kearney.

12 MR. KEARNEY: Good morning. My name is Bill
13 Kearney. Today I am representing the Wyoming Mining
14 Association. I represent the Mining Association as the
15 Uranium Industry Committee Chairman, and I am also employed
16 by Power Resources as the Environmental Superintendent and
17 the Radiation Safety Officer at the Highland Uranium
18 Project, which is an ISL operation located in east central
19 Wyoming. On behalf of the WMA I would like to thank the
20 Commission for the opportunity to provide input from the
21 licensee perspective.

22 I am going to skip over some of the material to
23 speed up on what WMA represents, but most people in this
24 room they do a lot of mining in Wyoming and we lead the
25 nation in uranium production.

84

1 We also represent 11 uranium mining companies with
2 activities in Wyoming and one in western Nebraska, and more
3 specifically this includes four out of the five ISLs
4 operating in the U.S., seven Title II mill sites in
5 decommissioning and one mill site which is in standby
6 status.

7 There's four key areas I would like to touch on
8 today. Those are (1) the current and expected state of the
9 uranium recovery industry; (2) the need for the NRC to
10 exercise preemption over all byproduct waste at Title II
11 sites; (3) reasons why NRC should relinquish all
12 jurisdiction over ISL wellfields; and finally (4) how the
13 mining association could support a new Part 41.

14 The state of the uranium recovery industry -- I
15 wish I could bring more good news to the operators that are
16 here, but basically the present economic state of the
17 uranium industry should not be viewed as a growth industry
18 as portrayed in the SECY papers. We have heard some people
19 talk today about, well, ISL -- we used to have conventional
20 mining and now everything is ISL. That's true. Everything
21 almost is ISL, but it is by no means a booming business.
22 There will not be an ISL facility on every corner, and the
23 next slide should be a graph of the price of uranium, the
24 historic price and the projected price.

25 As you can see, in 1998 or 1999 we are around \$10

85

1 a pound. Projections out to 2015 show that it is not going
2 to go up much above \$10 a pound and a lot of us know the
3 economic forces that are driving this, that are out of the
4 industry's control, so I just want to leave you with the
5 knowledge that we do not believe that this is going to be a
6 booming business any time in the near future.

7 Along those lines, all the Wyoming Title II sites
8 except one are in decommissioning, and the ISL operations
9 are indeed struggling.

10 Next slide shows uranium production in Wyoming.
11 At one time Wyoming produced over 12 million pounds a year.
12 We are just over 2 million pounds a year and there is no
13 reason to expect that that rate is going to go up any time
14 in the near future.

15 All four Wyoming ISL sites have recently reduced
16 uranium production and/or reduced the number of employees.

17 The next graph shows the three ISL companies in

18 Wyoming and Company Number 1 has had a reduction of over 27
19 percent in its workforce; Company Number 2, approximately 25
20 percent; and Company Number 3, which has recently gone into
21 production, hasn't had any reduction in employment but they
22 have curtailed their planned production for the next year
23 significantly, so things aren't good out there in the ISL
24 industry.

25 COMMISSIONER MERRIFIELD: I'm interested in this

86

1 question. How many employees does this represent? You said
2 these are percentages. What -- typically how big are these
3 companies?

4 MR. KEARNEY: I would say Company Number 1 would
5 represent approximately 60 to 70 employees, Company Number 2
6 about the same, maybe a little more, and Company Number 3,
7 around 80 to 90.

8 COMMISSIONER MERRIFIELD: Total employees?

9 MR. KEARNEY: Yes, that's total.

10 COMMISSIONER MERRIFIELD: Not the reduction?

11 MR. KEARNEY: Right. Total employees. What I am
12 showing on here is the percent reduction.

13 COMMISSIONER MERRIFIELD: Thank you.

14 MR. KEARNEY: And these type of impacts in Wyoming
15 and small communities like I live in in Douglas, Wyoming,
16 are substantial, and it is not in my written presentation
17 but I wanted to add it because the issue of fees has been
18 brought up and that is very near and dear to our hearts as
19 well. Our annual fee has gone up from \$32,000 a year to
20 \$109,000 a year and we just recently reduced our workforce
21 by over 27 percent. That type of increase represents on the
22 order of three and a half workers, so you can see the impact
23 that these things can have on our viability.

24 COMMISSIONER DICUS: Excuse me. I have a question
25 here on your slide on uranium production. You are showing

87

1 an increase in production, modest but still an increase in
2 production, but you are showing a reduction in workforce, so
3 the reduction in workforce, I assume it is not because of a
4 reduction in production. Was it efficiency or -- I mean
5 these two slides don't quite match --

6 MR. KEARNEY: Right. I was afraid of that, but I
7 can explain it quite simply.

8 COMMISSIONER DICUS: Okay.

9 MR. KEARNEY: Company Number 3 has recently
10 started up in operation in the last two years and gone into
11 production, so they have entered the picture with starting
12 production and increasing their workforce, where the other
13 two companies have curtailed, significantly curtailed
14 production and reduced employment. Company Number 3 has
15 actually reduced their production for the coming year, so I
16 think when you look at the uranium production graph, where
17 it shows slightly going up, it's not going to go up anymore.
18 Hopefully it will stay level, but I don't see it going up.

19 Next slide, please.

20 Because Wyoming is not an Agreement States, the
21 State should be precluded from regulating any, including the
22 non-radiological constituents of byproduct material at Title
23 II sites.

24 Federal preemption will assist both the NRC and
25 the licensees in implementing risk-informed ACLs. It will

1 also allow for a simplified license termination process and
2 transfer of sites to DOE and I think some other folks have
3 already stated that.

4 Relative to the NRC relinquishing jurisdiction
5 over ISL wellfields, WMA supports what NMA has put together
6 in the white paper and WMA believes that there really is no
7 legal authority to regulate ISL wellfields. The dual
8 regulation with EPA/UIC regulations and the State of Wyoming
9 ISL mining regulations is not beneficial to any party.

10 I am not sure that the Commission has received the
11 letter from Governor Geringer on this issue.

12 CHAIRMAN JACKSON: I am sure we have, but you can
13 give it to the Secretary.

14 MR. KEARNEY: I brought copies along for you.

15 Basically he reiterates the position that the
16 Wyoming DEQ stated at the hearing last year in Casper,
17 Wyoming as well as the Wyoming Mining Association that
18 wellfields were adequately regulated by the state through
19 the EPA-UIC program and we did not need dual regulation.

20 Mining is conducted at ISL wellfields and the NRC
21 in the past has not regulated surface or underground mining
22 and I think that is a good, a very important point, that it
23 is mining. The State of Wyoming has detailed in situ mining
24 regulations which address in situ mining. Those have been
25 in place for well over 10 years.

1 There's been some discussion earlier on the DPVs
2 and where the regulation of these type of facilities should
3 occur. I think it is open for discussion that another
4 logical place where the NRC's jurisdiction should start is
5 at the satellite facility at the ion exchange column itself.
6 There's a lot of reasons why that makes good sense, and I am
7 not going to go into those now.

8 If NRC relinquished all jurisdiction over
9 wellfields, there would be no discernable adverse impacts
10 for the following reasons -- again reiterating that they
11 would still be regulated by the EPA-UIC regulations and the
12 Wyoming DEQ, and contrary to popular belief, the ground
13 water is unfit for human consumption before or after ISL
14 mining including after restoration due to the high radium
15 and radon concentrations.

16 This is something that I want to make a point on
17 There's a lot of individuals that believe for some reason
18 that this water out there is drinking water before we mine
19 it and it is not. It is far from that. That is why we have
20 an aquifer exemption through the EPA-UIC program that says,
21 yes, you can go in and leech this, because it will never --
22 never has been and never will be a source of drinking water.
23 I think that is a very important distinction.

24 Additionally, as the NRC Staff points out in
25 SECY-013, removing duplicative NRC oversight will not lessen

1 the protection of public health and safety and the
2 environment, and I think we feel good that the NRC wants to
3 rely on existing EPA regulations, but we think they need to
4 take one more step, like they did in surface and underground
5 mining and go back one step and say, you know, we really
6 don't have any business being here at all. It is adequately
7 regulated by the EPA and the State, and that is how it
8 worked with surface and underground mining for years, and we
9 think that that would be the most equitable thing to do for

10 everybody -- and if the NRC relinquished all jurisdiction
11 over wellfields, industry concerns and NRC Staff positions
12 on other things such as waste water streams, which we have
13 talked about some today, and sureties could also be
14 simplified and resolved.

15 Additionally, if NRC stepped out of the wellfield,
16 the impacts to fees could really be significant because a
17 lot of the hourly rates that -- hourly charges we're going
18 to incur and we have incurred are on the wellfield, and with
19 those rates going up to \$141 an hour and that combined with
20 the annual fee assessment, if the NRC didn't regulate it,
21 those type of issues would be less. We wouldn't be
22 submitting those type of license amendments. It would be a
23 much better situation.

24 How could WMA support the new Part 41 regulations?
25 Well, if the new Part 41 significantly reduced the NRC

91

1 regulatory burden on licensees, including the associated
2 fees, that would be a good thing. This could be
3 accomplished if NRC exercised preemption over all byproduct
4 material at Title II sites and relinquished all jurisdiction
5 over ISL wellfields, and most importantly, if the NRC
6 relinquished all jurisdiction at ISL wellfields the scope of
7 any new Part 41 regulations and the burden to licensees
8 would be substantially reduced, and the NRC could
9 potentially reduce Staff assigned to reviewing, approving
10 and inspecting ground water issues associated with ISL
11 wellfields.

12 In conclusion, the Mining Association supports NRC
13 activities geared towards streamlining and reducing
14 regulatory oversight. We believe that the proposed actions
15 just discussed and other suggestions by the NMA could
16 substantially benefit both licensees and the NRC, and most
17 importantly, without compromising any environmental and
18 safety concerns.

19 In conclusion and on the behalf of the Mining
20 Association, I would like to thank you for the opportunity
21 to present our views today.

22 CHAIRMAN JACKSON: Thank you. I think we will go
23 on and hear from the rest of the panel, because what you
24 have to say seems to be intertwined, and then we will go
25 back for questions.

92

1 Mr. Lawson.

2 MR. LAWSON: Good morning, Chairman Jackson,
3 Commissioners. I am Dick Lawson, the President and CEO of
4 the National Mining Association, and we, the industry,
5 appreciate the invitation to present our views on the Staff
6 proposals.

7 I have with me Ms. Katie Sweeney, the Associate
8 General Counsel for NMA, and Mr. Tony Thompson, outside
9 counsel for NMA, who were authors and principal staff
10 participators in the development of the white paper.

11 Let me just say about that white paper, the
12 industry spent almost a year in the development of that
13 program. We went through a number a drafts in its creation
14 and it represents the general position of the industry on
15 these very important issues.

16 I also have members of the industry here that
17 could provide additional insights if there are questions.

18 Today I will highlight the key points only and in

19 the interest of time will speed right to those.
20 First, let me say with regard to Mr. Kearney's
21 remarks, that the NMA agrees with his assessment of the
22 current economic state of the industry and the need to take
23 that economic situation into account when looking at the
24 impact of regulatory actions.
25 Now we are pleased that the white paper has helped

93

1 to collectively bring us to this particular position. We
2 commend the Staff on the work that they have accomplished to
3 date and we believe that each of their proposals makes some
4 positive changes. I guess our major observation would be
5 that in some cases we haven't gone far enough and we would
6 like to identify where that can happen.

7 For the next slide, let me just say that, first,
8 we are particularly concerned that none of the Staff
9 proposals address the non-Agreement State jurisdiction over
10 the nonradiological components of 11e.(2) byproduct
11 material. That is one of the two top issues identified in
12 the white paper, the other being jurisdiction over ISL
13 wellfields.

14 Our study questioned whether it makes sense for
15 NRC to proceed with a Part 41 rulemaking if the concurrent
16 jurisdiction issue is not part of that deliberative process.
17 While a separate regulatory section may have advantages, if
18 this jurisdictional issue is not resolved it seems to us
19 that Part 41 would only be a temporary band-aid, still
20 requiring further action.

21 CHAIRMAN JACKSON: Have you had any interaction,
22 legal or otherwise, between the uranium recovery industry
23 and Agreement States over the concurrent jurisdiction issue?

24 MR. LAWSON: None legal or -- we have had
25 discussions back and forth, but none legal.

94

1 We believe the current jurisdiction issue could be
2 properly aired during the rulemaking process and including
3 this issue in the rulemaking would provide the type of
4 finality that is merited and for that reason we put into our
5 white paper the arguments that we felt were strongest, that
6 made the case that NRC has exclusive jurisdiction over
7 byproduct material and that they needed to exercise that
8 jurisdiction. Next slide.

9 Establishing a separate regulatory section for
10 uranium recovery facilities would have some advantages. As
11 indicated in our scoping comments last summer, we do not
12 object to the establishment of Part 41 as long as all of the
13 issues are brought into the decision and rulemaking process.
14 Next slide.

15 With regard to mill tailings, the Commission has
16 suggested that the Staff explore ways to use mill tailings
17 impoundment as possible disposal cells for material from
18 other waste sites. Our white paper raised the same issue by
19 suggesting that the current Staff disposal guidance was too
20 restrictive and unnecessarily inhibits the disposal of other
21 similar waste in tailings impoundments.

22 I think there is a lot of agreement that it is
23 good public policy to provide for these disposal options for
24 low level radioactive high volume waste types that currently
25 have only one possible disposal option. Even the ad hoc

95

1 panel report accompanying the Staff paper emphasized the

2 current exclusion of non-11e.(2) materials is not based on
3 health and safety.

4 In light of the essential failure of the compact
5 system and the future impact of NRC's new decommissioning
6 rules which will likely lead to the creation of even more
7 waste, we believe now is the time to address the issues.
8 Next slide.

9 The Staff's recommended solution to seek
10 legislative change we would agree with A legislative
11 solution would certainly provide Congressional certainty.
12 However, as noted in the previous discussion, at this
13 juncture, an election year approaching, it may not be a
14 realistic option in the immediate future.

15 CHAIRMAN JACKSON: So is that what your major
16 concern is?

17 MR. LAWSON: Nevertheless, if the Commission
18 decides to pursue, we will be there to assist.

19 CHAIRMAN JACKSON: No, but you said you had
20 concerns about the legislative solution.

21 Is your primary concern --

22 MR. LAWSON: Only time. Only time.

23 CHAIRMAN JACKSON: Okay. That is what I wanted to
24 understand.

25 MR. LAWSON: The Staff's fallback option is to

96

1 revise the guidance with similar waste materials while
2 retaining restrictions on disposal of 11e byproduct material
3 and special nuclear material. This option is attractive.
4 We think it is still too restrictive. In our white paper we
5 suggested that the Commission consider developing for public
6 comment some generic criteria with respect to materials
7 containing SNM or 11e material to the extent that waste is
8 similar in terms of radiological activity and presents no
9 potentially significant incremental hazard to that posed by
10 the materials already in mill tailing impoundments.

11 The Staff fallback option essentially ignores the
12 industry's suggestion on this matter and we believe that a
13 public airing of potential generic criteria for disposal of
14 SNM or 11e tailings would be most useful and could lead to a
15 strategy for addressing duplicative or overlapping
16 regulatory requirements.

17 The main rationale -- next slide -- provided for
18 restricting disposal of non-11e.(2) material is to, quote,
19 "reduce the potential for regulation of tailing impoundments
20 by more than one regulatory agency." Yet this emphasis in
21 the Staff paper, the differing professional views, and the
22 ad hoc panel on the problems associated with dual
23 jurisdiction as the guiding force behind non-11e.(2) policy
24 is in absolute conflict with the position taken by the
25 Commission Staff with respect to concurrent jurisdiction

97

1 over the nonradiological of 11e.(2) byproduct material.

2 Indeed, the total focus of these papers on the
3 problem associated with overlapping jurisdiction only
4 highlights the need for the Commission to assert its mandate
5 to implement and enforce UMTRCA through this permitting
6 process to the exclusion of others including EPA and the
7 non-Agreement States. The dichotomy between the concerns
8 associated with overlapping jurisdiction and its potential
9 adverse impacts on the transfer of Title II sites to DOE and
10 the legal staff's policy on Federal preemption over all

11 11e.(2) byproduct material, which includes both radiological
12 and non-radiological components, is highlighted by a recent
13 NRC/DOE protocol on license termination and site transfer.

14 In that protocol NRC states that the NRC agrees
15 that it will not terminate any site-specific license until
16 the site licensee has demonstrated that all issues with the
17 state regulatory authorities have been resolved. The
18 Commission's failure to assert Federal preemption over all
19 components of AEA 11e.(2) byproduct material is leading to
20 the very thing that the Staff paper says should be avoided.
21 That is non-Agreement State review of NRC approved
22 reclamation plans.

23 As the Ad Hoc Panel pointed out, the Staff paper
24 makes not attempt to discuss a strategy of dealing with
25 potential duplicative and overlapping regulation through

98

1 possible memoranda of understanding with relevant State or
2 Federal agencies, and notes that the rulemaking process
3 would provide a process for thorough ventilation of these
4 issues as well as the Federal preemption issue raised in our
5 white paper. Next slide.

6 NMA's white paper suggests that the economics of a
7 licensee's decision to process alternate feeds is not within
8 NRC regulatory jurisdiction, which is limited to the
9 potential health and safety impacts of such processing. The
10 Staff paper seeks guidance from the Commission either to
11 propose legislative changes or to allow modification of the
12 guidance to include criteria for a licensee to provide
13 certification that the material is or will be processed
14 primarily for its sole material content.

15 The new criteria would allow the licensee to
16 demonstrate that the material can be disposed of directly in
17 the tailings impoundment without further processing as
18 sufficient justification for processing it. The licensee
19 can provide justification on, quote, "any other basis of
20 equivalent capability to make the demonstration."

21 The financial considerations test would be
22 retained if the licensee chooses to use that basis. The
23 retention of the financial test ignores the legislative
24 history of UMRCA and Commission statements which suggest
25 that a licensed uranium mill's primary purpose is by

99

1 definition to process for feed for its source material
2 content. In effect, by seeking and obtaining the uranium
3 milling license we believe the licensee has stated its
4 intent to process primarily for source material content.

5 The alternate feed paper fails to address UMRCA,
6 its legislative history and Commission statements in the
7 record indicating that the word "primarily" differentiates
8 between uranium recovery of license fuel cycle facilities
9 whose primary purpose is to process for source material and
10 thereby create 11e.(2) material and secondary or side stream
11 uranium recovery at other types of mineral recovery
12 facilities.

13 At those facilities uranium recovery is not the
14 primary purpose of the recovery facility's process and
15 11e.(2) material is not created. The guidance was intended
16 to ensure that processing alternate feeds results in the
17 creation of 11e.(2) material. It is not intended to require
18 an inquiry into the economic motivations of the processor,
19 at least in our judgment.

20 Finally, the NMA agrees with WMA regarding the

21 Staff paper on ISL jurisdiction, but I would like to add one
22 final point. While the paper contains recommendations that
23 eliminate some aspects of the dual regulation of ISL
24 wellfields, the paper does not answer the question of why
25 NRC is asserting jurisdiction over the wellfields. NMA's

100

1 white paper questioned NRC jurisdiction over the underground
2 aspects of ISL facilities.

3 The Staff paper starts on the 50-yard-line, so to
4 speak, and is devoid of any discussion of the bases for
5 NRC's jurisdiction in the wellfield. This paper cannot be
6 considered complete in our judgment without an analysis of
7 NRC's jurisdictional bases. That concludes our comments on
8 behalf of the industry and thank you again for inviting us.

9 CHAIRMAN JACKSON: Thank you. I am going to have
10 a question for you. Mr. Culberson.

11 MR. CULBERSON: Good morning, Madam Chairman and
12 Commissioners. I appreciate the opportunity and the
13 invitation to come here to speak to you today to bring a
14 perspective from another facet of industry, one that also
15 has a stake in the issues that are being discussed today and
16 whatever outcome may come from this.

17 My name is Dave Culberson. I am Chairman of the
18 Fuel Cycle Facility Forum, and first I would like to
19 recognize Mr. Joseph Nardy with Westinghouse Electric
20 Corporation. Joe is seated in the audience and Joe was a
21 major contributor to our comments and the presentation
22 material that we have for you today and can help me answer
23 any questions that may come up today.

24 The Fuel Cycle Facility Forum represents companies
25 throughout the United States that are currently or formerly

101

1 involved in the processing of uranium, thorium, rare earth
2 materials and other naturally-occurring radioactive
3 materials many of whom are currently involved in
4 decommissioning all or portions of their sites.

5 The Fuel Cycle Facility Forum has been meeting for
6 over 10 years to address issues pertaining to
7 decommissioning of these facilities and for similar
8 facilities, and a number of the issues we have been
9 addressing are of a regulatory nature. We consider today's
10 discussion a significant milestone in our efforts in that it
11 appears that the NRC and the industry are about to resolve a
12 decommissioning issue that can have a profound positive
13 effect on the commercial viability of many of the companies
14 represented by the Fuel Cycle Forum, their ability to
15 decommission their sites in a timely manner, and at the same
16 time enable the NRC to carry out its mission and
17 responsibility for protecting human health and the
18 environment.

19 One decommissioning issue that is consistent and
20 persistent throughout all of our discussions with respect to
21 the fuel cycle industry is the excessively high cost of
22 disposing of decommissioning wastes, especially large
23 volumes of soil-like materials, slightly contaminated with
24 uranium and thorium. It is not uncommon for these costs to
25 exceed tens or hundreds of millions of dollars for a single

102

1 licensee. Next slide, please.

2 We are here today to support the National Mining

3 Association's position as it is expressed in the White
4 Paper, specifically regarding the use of alternate feed
5 materials in uranium milling operations and the direct
6 disposal of non-11e.(2) material in mill tailings
7 impoundments. The Fuel Cycle Facility Forum and the
8 National Mining Association have been meeting together for
9 several years to discuss areas of mutual interest pertaining
10 to decommissioning.

11 There are a number of decommissioning streams at
12 these sites represented by the Fuel Cycle Facility Forum, as
13 well as many other sites throughout the United States that
14 could be considered, and should be considered excellent
15 candidate material either for use as alternate feed, or for
16 direct disposal in mill tailings impoundments.

17 Examples of these include, first of all, soils
18 contaminated with uranium and thorium. The facilities that
19 generate these materials include depleted uranium
20 manufacturing facilities, normal uranium conversion
21 facilities, facilities that handle NORM, rare earth
22 processing facilities, zirconium manufacturing facilities,
23 depleted uranium production facilities, and current and
24 former low and high enriched uranium processing facilities,
25 including not only commercial but government facilities.

103

1 Secondly, some examples of other waste streams
2 include lagoon sludges, ash, slag and many other soil like
3 materials that contain rare earth materials. Another
4 category of waste stream is the nation's stockpile of
5 depleted uranium that exists currently as UF₆. And,
6 finally, waste streams from metal extraction plants that
7 contain uranium and thorium as a contaminate.

8 Collectively, these streams represent millions of
9 cubic feet of soil-like material and hundreds of millions of
10 dollars in disposal costs to the licensees. Some of the
11 materials contain naturally-occurring uranium and thorium or
12 rare earth materials in sufficient quantities and in
13 sufficient amounts as to be considered as alternate feed
14 material.

15 It is likely that recovery could be accomplished
16 using existing milling operations with minor modifications
17 at some of the existing milling facilities. In such cases
18 it simply makes good sense to recover usable resources where
19 possible, for a number of reasons. First of all, it is
20 technically and technologically feasible. The processing
21 technology is already in place for the most part and is
22 currently being used. Minor modifications would likely be
23 required, but those are very achievable.

24 Secondly, it allows for the re-use of materials
25 that are otherwise considered waste and would have to be

104

1 disposed of and are no longer usable.

2 Third, it is economically beneficial to those that
3 are involved in decommissioning by substantially reducing
4 their decommissioning costs.

5 And, lastly, the incremental increase in health
6 and safety as a result of these operations is trivial or
7 insignificant.

8 Some of these materials could be considered for
9 direct disposal in mill tailings impoundments for a number
10 of reasons as well. First, we are not suggesting that this
11 option be opened to the universe of waste that is out there
12 for disposal. We are focusing and suggesting that focus be

13 placed on materials that are similar to what is going into
14 the impoundments now, similar chemical and radiological and
15 physical characteristics.

16 In many cases, much of this material I have
17 alluded to earlier is identical to or essentially identical
18 to materials that are already being placed in the
19 impoundments in that the material is soil-like and it
20 contains naturally-occurring radionuclides. These materials
21 in many cases would actually present an overall lower health
22 and safety risk than the materials already being placed
23 there because radon is generally not an issue for many of
24 these other materials. And, last, the substantial capacity
25 exists already at the existing impoundments for this

105

1 material that is out there that we consider candidate.

2 The Fuel Cycle Facility Forum suggests that
3 special nuclear materials at low enrichments, on the order
4 of a few percent, be given serious consideration for both
5 use as alternate feed and direct disposal as non-11e.(2)
6 material. This material from decommissioning is already
7 being disposed of or placed in closure cells in bulk forms
8 throughout the United States at a number of facilities, and
9 we believe there is insignificant increase in health and
10 safety risk as a result of that.

11 Low enriched materials are currently being
12 processed in forms very similar to these non-11e.(2) forms,
13 or alternate feed forms. Therefore, the processing
14 technology is existing or readily available, or could be
15 easily developed for application at a uranium mill site.
16 And we believe the special nuclear material, when it gets
17 down to the real significant issues, poses no incremental
18 health and safety risks or impact over what is exhibited by
19 the materials that are already being processed or are
20 already being placed in impoundments.

21 The Fuel Cycle Facility Forum suggests that the
22 NRC not establish a blanket prohibition against the presence
23 of fission products and activation products in materials
24 that would be placed in mill tailings impoundments. It is
25 almost inevitable, or it is highly likely, and in many cases

106

1 already possible to detect levels of these isotopes in
2 material just from natural causes such as fallout or from
3 operations that are currently taking place in the industry.
4 So there should be a recognition that the material process
5 should be based on the significant radionuclide that
6 contributes to the radioactivity and that fission products
7 or activation products, or other radionuclides that may be
8 present in trace quantities really have no significant
9 health and safety impact, and at some level could be
10 neglected when looking at the total issue.

11 The NRC should therefore base its actions on the
12 significant contributor to total radioactivity that is
13 present in this material, those being primarily uranium and
14 thorium.

15 We have provided in the handout three examples of
16 situations that currently exist at facilities represented by
17 the Fuel Cycle Facilities Forum. These illustrate some of
18 the concerns I have discussed. We could provide other
19 examples if that would be beneficial.

20 In summary, regarding the use of other materials
21 as alternate feed or disposal of non-11e.(2) materials in

22 mill tailings impoundments, the Fuel Cycle Facility Forum
23 encourages the NRC to give serious consideration to
24 implementing regulations and guidance that would allow the
25 broadest possible range of materials to be included as

107

1 alternate feed or as material for disposal in the tailings
2 impoundments.

3 Earlier this morning, Chairman Jackson asked the
4 staff how many facilities might be affected by proposed
5 legislative action that is being discussed today, and I
6 think the response was that there were on the order of about
7 10 or so facilities. I would suggest that you keep in mind
8 that there are many other facilities that would be affected
9 in a positive manner by such regulation without compromising
10 the health and safety to those facilities or to the
11 facilities that are being considered today, the mining and
12 milling sites, and not just look at the sites where the
13 materials might be processed or disposed.

14 We believe, along with the National Mining
15 Association and the Wyoming Mining Association, that these
16 issues should be raised in a public forum, discussing
17 thoroughly so that we collectively can reach the best
18 solution for all parties involved. Thank you.

19 CHAIRMAN JACKSON: Thank you very much.

20 Let me ask Mr. Lawson a question. If the NRC had
21 no jurisdiction over groundwater and wellfields, how would
22 the National Mining Association define the various waste
23 productions at the in situ leach facilities, and how would
24 that waste be handled?

25 MR. KEARNEY: I can assist with that, Chairman

108

1 Jackson.

2 CHAIRMAN JACKSON: Okay.

3 MR. KEARNEY: If NRC relinquished jurisdiction
4 and, for instance, say, that the jurisdiction started at the
5 IX column in the satellite facility, to me, theoretically,
6 those waste water streams that came off of that would still
7 be considered -- could still be considered byproduct
8 material and that is why I put in my presentation that if
9 they were out of the wellfield, it could make that, you
10 know, those problems much easier to solve, because the waste
11 streams come off the satellite and, theoretically, I think
12 we could work with that.

13 CHAIRMAN JACKSON: The gentleman here, did you
14 have a comment you wanted to make? And please identify
15 yourself.

16 MR. THOMPSON: I am Anthony Thompson, counsel for
17 NMA. I think the answer to that question -- that is one
18 possible answer. The other answer is it depends on whether
19 you accept that -- whether you determine that the
20 underground activity in the wellfield is mining or whether
21 it is milling underground. If it is mining, then the waste
22 streams that come off, even after the ISL, can be considered
23 part of the mining process. One of the papers sort of
24 alludes to that.

25 So it could be handled one of two ways. If you

109

1 determine that the wellfields are mining, then it wouldn't
2 be byproduct material, or doesn't need to be byproduct
3 material to be handled according to state mine waste
4 regulations, both sets, both waste streams.

5 CHAIRMAN JACKSON: This is a question for Mr.
6 Culberson. Where is the fuel cycle facilities' waste being
7 disposed of today?

8 MR. CULBERSON: Currently, the options that are
9 available, to my knowledge, are commercial disposal, either
10 Barnwell or Envirocare, or application for a restricted
11 release and construction of on-site disposal cell, which is
12 not an option that most facilities are keenly interested in
13 because of the long-term liability issues.

14 CHAIRMAN JACKSON: Now, most of the existing
15 tailings impoundments are in the process of final
16 reclamation. So do you consider that there is ample
17 available disposal volume for the waste at the mill tailings
18 sites?

19 MR. CULBERSON: Yes, ma'am. We have looked at
20 that in a preliminary sense at some of the joint meetings,
21 and I believe we are convinced that there is ample volume
22 and capacity there for the waste that would be considered.

23 CHAIRMAN JACKSON: Commissioner Dicus.

24 COMMISSIONER DICUS: This question will be for Mr.
25 Kearney. Did I pronounce it correctly?

110

1 MR. KEARNEY: Yes.

2 COMMISSIONER DICUS: Okay. You indicated in your
3 testimony that you, the WMA represents I guess four out of
4 the five ISLs operating. And then later you indicated that
5 the wellfields, the water is not potable water. Is that
6 true for all four of the ones you represent?

7 MR. KEARNEY: Yes. Yes, it is.

8 COMMISSIONER DICUS: Do you have any information
9 on the fifth one?

10 MR. KEARNEY: Oh, I guess it would be --

11 COMMISSIONER DICUS: About the quality of the
12 water.

13 MR. KEARNEY: Well, there is four ISLs in Wyoming
14 and three companies, but any of the operating ISLs or any
15 proposed facilities which I am knowledgeable with on power
16 resources, the water quality is all very similar due to the
17 radon and the radium. And I think that is characteristic at
18 any ISL site in the United States. I might be stepping a
19 little bit overboard, but I think I am fairly -- I feel I am
20 fairly safe in saying that.

21 COMMISSIONER DICUS: Okay. Thank you.

22 CHAIRMAN JACKSON: Commissioner McGaffigan.

23 COMMISSIONER MCGAFFIGAN: No questions.

24 CHAIRMAN JACKSON: Commissioner Merrifield.

25 COMMISSIONER MERRIFIELD: Chairman, I have some

111

1 comments I would like to make, and I will be following those
2 up by a question. In my previous occupation, I have had the
3 pleasure and opportunity to visit a variety of mining sites
4 around the country, and I felt that was a very instructive
5 thing to do and I am very sensitive to the difficulties that
6 are faces by a number of miners, particularly those in
7 smaller states, smaller mines, and the economic difficulties
8 that they are under.

9 What I found, however, in addressing the issues
10 that I had to under SuperFund, there are some -- well, there
11 are some mines, the vast majority of mines out there are run
12 very well and have not had problems. There are some that
13 indeed are some of the largest SuperFund sites that we have

14 in the United States, most notably the Coeur d'Alene site in
15 Idaho and the Butte, Montana site which is a former Anaconda
16 mining site, and these are facilities which are very
17 contentious and they take in some degree of interest on the
18 part of Congress and the states and communities involved
19 with those sites.

20 In addition, there is some question nationally as
21 to potentially hundreds of abandoned mining sites that are
22 under the jurisdiction of the Department of Interior and how
23 we as a nation will be required to pay for those sites in
24 the event that those need to be cleaned up.

25 Now, in the discussion today we have been talking

112

1 about the duties of this agency as it relates to UMTRCA and
2 the modifications that that Act made to the Atomic Energy
3 Act, most notably I point to Section 84(a)(1) which outlines
4 that under our duties under managing byproduct materials
5 under 11e.(2), the Commission, in order to protect public
6 health, safety and the environment, and that is somewhat
7 different than our duty in some other areas, the Commission
8 is given authority to take those actions it deems
9 appropriate in those areas. So, clearly, Congress, in
10 making its determination about our role in UMTRCA, did
11 envision that we would have to take into consideration
12 environmental issues associated with these sites.

13 The experience that we have had at many other
14 waste sites, and I wouldn't say necessarily related to
15 these, but many other waste sites, including those
16 associated with CERCLA, RCRA, and TSCA demonstrate that
17 pollution prevention plays a significant role in ensuring
18 that these -- we don't have problems associated with these
19 sites in the future.

20 So I guess my question is this, in the testimony
21 we received from Mr. Kearney and Mr. Lawson today, as well
22 as Mr. Culberson, there have been suggestions for this
23 agency to modify the way in which it is regulating these
24 facilities and, arguably, to back away from some of the
25 regulatory structure that we have now. Given the -- I think

113

1 as Mr. Kearney has outlined the relatively shaky financial
2 position of some of these mines, if we are to back off from
3 our level of regulation, what assurances do we have that
4 these sites will be managed by the companies in a manner
5 which is appropriate given their limited financial
6 resources, and what assurances do we have that we will not
7 be facing in the future burdens being placed on the taxpayer
8 to clean up sites by companies that do not have the
9 financial resources to manage them in an appropriate manner?

10 MR. KEARNEY: I think that is a very good
11 question, and whether the NRC steps back from the regulation
12 of wellfields or not, the entire operation, including the
13 wellfield is bonded, we have surety in place. The operation
14 has a surety that is updated every year, so that that money
15 is available in the unlikely event of some type of default.
16 So the money is there to clean up the site.

17 COMMISSIONER MERRIFIELD: That's fair. I would
18 only point out, having had recent experience with the Atlas
19 site in Utah, which also had bonding authority, the money
20 contained in that bond is insufficient to do the reclamation
21 necessary, even under some of the planning that this agency
22 is proposing, let alone actions which are proposed by other
23 agencies in the U.S. government.

24 MR. KEARNEY: Well, along those lines, I think it
25 is appropriate to say that the amount of waste material

114

1 associated with an ISL site is quite limited, because you
2 don't have tailings, it stays underground. So the actual
3 amount of waste is very limited and it is somewhat different
4 than a conventional mill because, you know, acid wasn't used
5 and things like that, so it probably of a better quality,
6 too.

7 One other thing I think is appropriate to say,
8 because I know the NRC staff is concerned about the
9 proliferation of small sites. Well, even in the best
10 picture, the uranium industry, there is not going to be a
11 lot of ISL sites and for the most part they are very
12 remotely located. And the need to transport that byproduct
13 material to other sites, I personally believe the risk of
14 doing that, the transportation of it is more of a concern
15 than if you constructed a site -- a small site on-site. We
16 are not dealing with near the volumes. You know, at our
17 facility at Power Resources, we are talking during
18 production, and we were the largest in the United States, of
19 about 100 cubic yards a year of material. And we are not
20 dealing with the millions of yards, like an Atlas or
21 something.

22 MR. LAWSON: Let me just add one observation with
23 your regard to your comments, and I think all of them are
24 directly on target. We at the Association, on behalf of all
25 mining, are presently working with all of the state

115

1 governors to develop a very detailed tabulation of all
2 abandoned mine land sites to put together with that the
3 current active sites and developing a general understanding
4 of what those reclamation requirements are going to be. We
5 are incorporating those into the overall program for the
6 future and we presently have an initial site in each of the
7 states going forward for reclamation of a particular mine
8 site.

9 It is kind of the opening chapter of cleaning up
10 this two centuries old set of issues that have been kind of
11 bequeathed to us, but it is clearly on I think the plate of
12 all the state governors and their staffs. And, certainly,
13 the industry itself wants to solve that problem in a very
14 systematic way.

15 COMMISSIONER MERRIFIELD: Thank you.

16 COMMISSIONER DICUS: I thank you very much for
17 your testimony and your responses to our inquiries.

18 I would now like to call our fourth panel and I
19 think our final panel, the Southwest Research and
20 Information Center, represented I think by Diane Curran.
21 Come forward, please.

22 MS. CURRAN: Good morning, or I guess it is about
23 good afternoon.

24 COMMISSIONER DICUS: We are getting close, aren't
25 we?

116

1 MS. CURRAN: I would like to introduce you to
2 Chris Shuey, who I have asked to come sit with me. He is
3 the technical person and this team and also the one with the
4 longest institutional memory of the Uranium Mine Tailings
5 Control Act, and he may help me answer some questions that

6 you may have.

7 We are really glad to find out that it seems to be
8 the consolation prize for getting the latest notice of a
9 Commission meeting that you get the last word. So thanks
10 for that.

11 I am here today on behalf of the Southwest
12 Research and Information Center, which has a longstanding
13 interest in the regulation of uranium recovery facilities
14 and uranium mines that are located in New Mexico. There is
15 a long history of uranium mining there. SRIC was very
16 active in the promotion of the Uranium Mill Tailings
17 Remediation and Control Act and has helped many
18 organizations, many citizen organizations deal with
19 environmental and public health issues arising from uranium
20 mining.

21 SRIC, along with my other client, Eastern Navajo
22 -- Against Uranium Mining, is an intervenor in the licensing
23 proceeding for the HRI proposed ISL mine in Northwestern New
24 Mexico. And we won't be discussing the specific issues in
25 our case here today, and some of those issues are on appeal

117

1 before you, but a lot of our concerns come out of our
2 experience with this licensing case, and we will try to
3 express in generic terms what they are.

4 I think it was Mr. Lawson who complained that the
5 NRC staff had done a very good job of justifying NRC
6 jurisdiction over the underground activities involved in ISL
7 mining, and we were also a bit frustrated. We would have
8 like to see that OELD paper from I think it was 1980 that
9 discussed the NRC jurisdiction. But we did our own inquiry
10 into the matter and we conclude that it is very clear that
11 the NRC has jurisdiction over the underground aspects of ISL
12 mining.

13 In our view there is a three step inquiry that has
14 to be made. First, is the ore that is under the ground more
15 than 0.5 percent uranium? The question is not is the
16 pregnant lixiviant more than 0.5 percent uranium, it is
17 whether the ore itself is a sufficiently high grade or
18 uranium. It really isn't very logical to evaluate pregnant
19 lixiviant as an ore.

20 And then the next question is, is the uranium
21 being removed from its place in nature? Its place in nature
22 is in the uranium roll deposit that is far under the ground.
23 It is in basically an inert condition, hasn't moved for
24 thousands of years, and when one injects lixiviant into the
25 groundwater, it has the effect of dissolving the uranium and

118

1 moving it up into the groundwater. It has been moved from
2 its place in nature.

3 And then the question, the third question is, is
4 this processing? In our view, it is clearly processing to
5 introduce chemicals into the ground that have a chemical
6 effect on the uranium ore that significantly changes its
7 concentration in the groundwater. And one of our
8 attachments to our testimony, to our comments, shows the
9 relative concentrations of uranium in pregnant lixiviant
10 with uranium in drinking water.

11 I just want to clarify one point about that.
12 Whether there are ISL mines where the quality of drinking
13 water is involved, and the answer is yes. In New Mexico,
14 the proposed HRI mine is in an area that is drinking water
15 supply. So that is a very important issue for us, the

16 impact of ISL mining on drinking water.
17 COMMISSIONER MERRIFIELD: Just a point of
18 clarification on drinking water supply. You know, each
19 state has a different mechanism of establishing groundwater
20 standards. Some states designate that all groundwater
21 contained within the boundaries of the state is drinking
22 water. Is that the case in New Mexico?
23 MR. SHUEY: Mr. Commissioner, in the State of New
24 Mexico, the Water Quality Act defines water, fresh water as
25 any water containing 10,000 milligrams per liter of total

119

1 dissolved solids or less. That is the statute and its
2 corresponding regulations that regulate discharges onto or
3 below the surface of the ground, in other words, protect
4 groundwater, there is a specific set of numerical standards
5 for the protection of groundwater. That is a different set
6 of regulations under a different state statute than the
7 state's equivalent of the Safe Drinking Water Act, Public
8 Water Supply Program.

9 When Diane refers --
10 COMMISSIONER MERRIFIELD: So the point you are
11 trying to make is the state may define it as drinkable, but
12 that doesn't mean it meets the quality standards of either
13 the EPA or the state for safe drinking water purposes?

14 MR. SHUEY: There are two different statutory and
15 regulatory frameworks in the state. The point that Diane
16 was making was that the aquifers involved in this particular
17 proposed site are used and drinking water aquifers. They
18 meet all the standards and are actually better than the
19 standards, as our attachments to our testimony show.

20 COMMISSIONER MERRIFIELD: So they are currently
21 being used as a drinking water source?

22 MR. SHUEY: Yes, sir.

23 COMMISSIONER MERRIFIELD: Okay.

24 COMMISSIONER DICUS: And that is the wellfields
25 that you would be talking about? Or no?

120

1 MR. SHUEY: No, the wellfields have not been
2 built.

3 COMMISSIONER DICUS: But my question goes to -- I
4 mean if the wellfields were built, are they in the aquifers
5 used for drinking?

6 MR. SHUEY: Yes.

7 COMMISSIONER MCGAFFIGAN: Could I just clarify,
8 too? Given the testimony of the Wyoming Mining Association
9 person, just naturally you would expect that there would be
10 a lot of radium and radon in this water if there is a lot of
11 uranium concentration there, enough to mine. Why -- I mean
12 just physically, isn't there -- why don't you run into
13 trouble with the radium and radon concentration levels?

14 MR. SHUEY: Commissioner McGaffigan, we would need
15 to go into a fairly detailed explanation of the subsurface
16 geology at these sites that we are talking about to answer
17 your question completely. Suffice it to say that the
18 uranium ore occurs in discrete lens of the overall aquifer.
19 The municipal water supplies tap the entire aquifer. There
20 are portions of the aquifer which may have elevated
21 concentrations of uranium, radium, radon, et cetera. The
22 overall water quality and the overall aquifer is better than
23 federal and state drinking water standards.

24 COMMISSIONER MCGAFFIGAN: Okay.

121

1 mine on the drinking water quality. And I think the
2 situation in Wyoming is very different, so it needs to be
3 clarified that these are two different situations we are
4 talking about.

5 Getting beyond the issue of jurisdiction to the
6 policy questions here, we are very concerned that the staff
7 is making a number of proposals here without having done
8 enough of the ground work to justify the changes. And the
9 motivation seems to be a desire to help out an industry that
10 is really struggling. I think you heard it here today that
11 the ISL industry is in trouble, but that is not necessarily
12 because they are over-regulated, there is a world uranium
13 market that is very much affecting what is going on.

14 And I think Chairman Jackson said the NRC's
15 responsibility is to ensure public health and safety without
16 imposing undue burdens, and that is our primary concern
17 here, that the public health and safety issues must take
18 precedence over an issues of relieving burdens on the
19 industry. And, also, we question whether some of the
20 proposed changes here really give the kinds of efficiency
21 that is being claimed.

22 COMMISSIONER DICUS: If I could just get some
23 clarification. I think you realize, or hope you realize
24 that we are really at the very beginning of this process.
25 We are in the rulemaking plans, so we have a long way to go

122

1 to finalize where we are going.

2 MS. CURRAN: All right. In our view the staff has
3 not provided a clear and convincing basis for delegating its
4 regulatory authority over the underground aspects of ISL
5 mining to the EPA and primacy states and Indian tribes. The
6 big thing that is missing from the analysis that we can't
7 find anywhere in this stack of SECY papers is some kind of a
8 comparison between what are the elements of the EPA
9 regulatory program, the UIC program, and what are the
10 elements of the NRC's program, and comparing each aspect one
11 to the other.

12 And the staff should be able to assure itself that
13 all of its goals will be met if it delegates its authority
14 to the EPA and the states. It may be that the staff will be
15 satisfied, but we haven't -- and we have heard a couple of
16 times here the staff referring to the fact that it is
17 satisfied. But there isn't anything that we can find on the
18 public record that provides us with some kind of a factual
19 analysis that we can in turn evaluate. So that needs to be
20 done.

21 An example of one of the regulatory gaps that is
22 most glaring in our view is that EPA has no standard for
23 uranium in drinking water. It has a proposed standard, but
24 it has never been finalized. The NRC doesn't have a
25 standard. We are not aware that any of the state

123

1 governments have drinking water standards for uranium. They
2 have groundwater standards, but those are different.

3 The NRC has a Part 40 standard for uranium and
4 effluent, but that is different. So we don't think that the
5 NRC should be transferring its regulatory authority over
6 something as important as this without answering that
7 fundamental question first. What is the standard going to

8 be for regulating uranium and drinking water as it relates
9 to ISL mines? It is an important issue in the litigation
10 that we are involved in, and I am sure in other cases, too.

11 It is important in terms of determining what the
12 restoration is going to be, what standards are the licensees
13 going to be required to restore the groundwater, what surety
14 bond is going to be required. It leaves a tremendous gap in
15 the regulatory program.

16 We also are very concerned that it doesn't appear
17 that EPA has been consulted about this proposal. And I
18 think I heard it said that the state governments had been
19 consulted, and they are the entities that administer the UIC
20 programs, but it is EPA that has to approve those programs.
21 It is EPA that has the oversight authority over those
22 programs, and it is EPA that needs to be consulted about
23 this.

24 MR. SETLOW: I will be making a comment about
25 that.

124

1 COMMISSIONER MERRIFIELD: Who are you?

2 COMMISSIONER DICUS: Wait, let's let her continue
3 and then --

4 COMMISSIONER MERRIFIELD: Well, I am sorry. We
5 had someone who has identified himself in the audience as
6 saying he had a comment and we haven't called on him.

7 COMMISSIONER DICUS: But I think at the
8 appropriate time -- I know. He can come to the podium at
9 the appropriate time and identify himself.

10 COMMISSIONER MERRIFIELD: If we call on him.

11 COMMISSIONER DICUS: Yes, if we do. Would you
12 please continue?

13 MS. CURRAN: To go on to the issue of the
14 advisability of proceeding with a new Part -- 10 CFR Part
15 41, we think there are issues that really need to be
16 clarified.

17 COMMISSIONER McGAFFIGAN: Madame Chairman, if I
18 have I want to ask on this, should I ask now? Could I just
19 -- before you leave that?

20 MS. CURRAN: Sure.

21 COMMISSIONER McGAFFIGAN: You saw the backup slide
22 used by one of the people who filed a DPV earlier and he
23 theorized or speculated that one of the things that would
24 happen is that this less restrictive EPA standard would
25 apply if -- than the Part 20 standard, because they allow

125

1 for dilution, and that that was -- I think I am putting
2 words in his mouth, but part of what is motivating one of
3 the staff recommendations is a back door feeling to, you
4 know, let the EPA, the looser EPA standard -- looser only
5 because they allow dilution and our Part 20 doesn't, and
6 then Mr. Paperiello said we allow dilution, too, but it is
7 not in the Part 20 .44 standard that is there.

8 What is -- is that your concern, that if EPA
9 standards apply, that there will be a looser standard?

10 MR. SHUEY: Commissioner McGaffigan, Mr. Ford was
11 discussing, as we discuss later on in our commentary here,
12 the issues related to the disposition of liquid waste
13 generated in ISL operations.

14 COMMISSIONER McGAFFIGAN: Okay.

15 MR. SHUEY: And the standards he was talking about
16 are promulgated by the U.S. EPA under authority of the Clean

17 Water Act's National Pollutant Discharge Elimination System
18 for the uranium mining subcategory, I don't know exactly
19 what it is called. Those would be discharges into waters of
20 the U.S. They are more lax, as he pointed out, than the
21 NRC's Part 20, Appendix B effluent limit for uranium in
22 water. That is a different matter than the issue of
23 subsurface regulation of the ISL operations from a
24 groundwater protection standpoint, and we have comments on
25 this issue of the NRC's proposal for deferring or delegating

126

1 authority over those liquid waste effluents.
2 COMMISSIONER MCGAFFIGAN: Okay. I am just
3 confused by the statement that got in this paragraph.
4 "Similarly, we do not view NRC's use of 10 CFR Part 20,
5 uranium and water effluent standards appropriate to protect
6 drinking water." This is -- I thought it was in the context
7 of the previous sentence, uranium restoration standards.
8 When you get to it, just explain.
9 MR. SHUEY: The restoration standards apply to the
10 groundwater that has been subject to the leaching.
11 COMMISSIONER MCGAFFIGAN: Okay. Not to the
12 effluent.
13 MR. SHUEY: And not to the effluents that is
14 disposed on the surface or managed on the surface in one way
15 or another.
16 COMMISSIONER MCGAFFIGAN: Okay.
17 MS. CURRAN: But your general question, in terms
18 of what is the comparison between EPA and NRC regulations is
19 a good one.
20 COMMISSIONER MCGAFFIGAN: Right.
21 MS. CURRAN: It is one that we are asking, we
22 would like to see from the staff an evaluation, let's look
23 at all the different aspects of this operation that need to
24 be regulated. What are the NRC's requirements? What are
25 the EPA's requirements? Is the NRC satisfied with -- well,

127

1 either the EPA program, or I think it is also necessary for
2 the NRC to look at the state programs because those are the
3 agencies that are carrying this out, and open that for
4 public comment.
5 In terms of a new Part 41, we are not -- we think
6 there are probably some things that could be improved by
7 having a separate regulatory section for ISL mining. We are
8 a little bit confused after this morning's meeting as to
9 what is the exact purpose of a new Part 41. We had
10 originally, when we read these papers, thought that a new
11 Part 41 was to be restricted to ISL mining, regulation of
12 ISL mining. And from a few things that were said today and
13 some viewgraphs, it appears that there is a concern about
14 clarifying existing provisions of Part 40, and we don't
15 understand why a Part 41 would be used to clarify something
16 in Part 40. And we don't really see how that would make
17 sense, but I guess we will see how things develop as they go
18 along.
19 We are very concerned that the centerpiece of a
20 new Part 41 seems to be performance-based licensing. And
21 this is something that we have challenged in the licensing
22 case for the HRI, and I believe there is a petition for
23 review pending before the Commission. The issues that we
24 have raised in our appeal are general statutory challenges,
25 challenges of consistency with the regulations, and we would

1 ask that the Commission take note of what we have argued in
2 our brief before the Licensing Board on this issue as it
3 evaluates performance-based licensing.

4 But on a policy basis, from a citizen's
5 perspective, performance-based licensing poses great
6 concern, because what it does is that it significantly
7 reduces the accountability of a licensee to the public, and
8 also the public's ability to participate in the
9 decision-making process, because, in general, it involves
10 making very, very broad prescriptions in the license and
11 then allowing the licensee to make changes as it goes along
12 in the operation of the facility without providing the kind
13 of public notice and decision-making process that is usually
14 provided in license amendment cases. So that as a practical
15 matter, the public is effectively excluded from being an
16 effective participant in this decision-making process which
17 may have significant impacts on the health of the safety of
18 the citizens surrounding these facilities.

19 So we would ask that you take a very careful look
20 at performance-based licensing.

21 COMMISSIONER MCGAFFIGAN: I am sure you know the
22 context, if I could, but we are using performance-based
23 licensing elsewhere in our regulations, I think
24 increasingly. You know, there is always a question of how
25 much flexibility you allow the licensee and how much it

1 needs to be reviewed by us. And if it is reviewed by us, it
2 entails hearing rights and public involvement, et cetera.

3 But I think that the notion of how much
4 flexibility to grant is sort of pandemic in all of our Title
5 X regulations. But that doesn't -- we will certainly look at
6 your -- I will look at your arguments, but it is a question
7 of degree.

8 MS. CURRAN: I agree, it is a question of degree,
9 but we would say this is a giant step in the direction.

10 COMMISSIONER DICUS: Careful. We are getting into
11 territory --

12 MS. CYR: This is an issue, I mean --

13 MS. CURRAN: Okay.

14 MS. CYR: I think the generic comments were fine.

15 COMMISSIONER DICUS: Yes. Thank you.

16 Go ahead, please.

17 MS. CURRAN: Okay. Another concern that we have
18 is with the proposal to eliminate some of the prescriptive
19 requirements in criteria -- in Appendix A. I am not sure it
20 is totally clear which ones these are, but the purpose seems
21 to be, again, consistent with performance-based licensing to
22 reduce the number of specific requirements in terms of the
23 mill tailings impoundments and the kinds of requirements
24 they have to meet.

25 We are very concerned about this because it seems

1 to be taking a background step from the advances that were
2 made in UMRCA which was intended to rectify the situation
3 where there was a great deal going on in terms of waste
4 disposal or non-waste disposal that wasn't being overseen
5 properly by any government entity, and we would not want to
6 see a background step from that. That was a tremendous
7 milestone in the process of improving environmental
8 protection over uranium mining, and we are very concerned

9 that this would be a background step.

10 On the issue of regulating the waste streams from
11 ISL mining, the restoration water and the production bleed,
12 we are very strongly in favor of Option 2 which would be to
13 regulate the entire waste stream. We don't have any doubt
14 that all of the effluent that is produced by ISL mining is
15 subject to NRC jurisdiction and we would argue it is subject
16 to your responsibility, not just your jurisdiction, and we
17 would be very concerned if the NRC abdicated its
18 responsibility to regulate those streams. We would like to
19 see the NRC take responsibility for the restoration water
20 stream, which, as one commenter mentioned, is a significant
21 source of the waste products generated by ISL mining.

22 We don't think it makes much sense to give it
23 away. What it is going to result in is having even more
24 agencies regulate these waste streams which is we thought
25 what the industry was trying to avoid. The industry is

131

1 looking to get more efficiency and lower costs, and here we
2 are talking about a multiplicity of agencies regulated
3 several waste streams from just one mine.

4 We also don't think it is consistent with other
5 arguments that we have heard that the NRC should take more
6 kinds of wastes into 11e.(2) disposal facilities. The
7 purpose of UMTRCA, one of the purposes is to consolidate and
8 decrease the number of waste disposal facilities in the
9 United States so there isn't a proliferation of little dumps
10 all over the place.

11 Well, it may be that that purpose is served by
12 taking more kinds of waste material into an 11e.(2) waste
13 disposal facility and allowing more kinds of feed to go into
14 milling facilities so that waste can be characterized as
15 11e.(2) material, but if one accepts this logic, it doesn't
16 make sense to then -- for the NRC to then divest itself from
17 some of the waste streams and let them proliferate into
18 small disposal facilities scattered around. And the amount
19 of waste generated in an ISL facility may seem relatively
20 small to a large industrial corporation, it isn't small to
21 the citizens living nearby one of these places. It
22 represents a major risk.

23 We thought it was very interesting and instructive
24 that in Texas the state doesn't recognize a category of
25 mining waste, that everything that comes out of an ISL mine

132

1 is regulated as 11e.(2) byproduct material and that we
2 gather it works fine.

3 Finally, we would very strongly support the NRC's
4 proposal to introduce uniform spill and release reporting
5 requirements. This seems a very important measure to us,
6 where a big concern that there is a threshold mentioned in
7 the proposal that is 10,000 gallons, and where it wasn't
8 said where that threshold comes from. We would like to have
9 a chance to evaluate that. We would like to get more
10 information on that proposal.

11 And just one last thing that we would like to
12 leave you with, and that is that we are interested in this
13 decision-making process. It may have a profound affect on
14 the interests of SRIC and ENDAUM and other citizen groups
15 that SRIC assists, and that we would like to be informed of
16 any further Commission action, and also any further staff
17 action on these proposals so that we can evaluate them and
18 make a contribution.

19 COMMISSIONER DICUS: Well, like I told you, we are
20 in the beginning of the process, so the information will be
21 made available as we progress through the process.

22 Commissioner McGaffigan.

23 COMMISSIONER MCGAFFIGAN: Just on that point, we
24 are trying very hard to be open, not only in this area. We
25 had an all-hands meeting the other day and a lot of the

133

1 questioning from the staff, how do we make sure that
2 everybody needs to be involved -- there was a Part 70
3 question, the fellow who has run the web page on the Part 70
4 rulemaking told about some of the ad hoc things he did,
5 sending e-mails and whatever to make sure everybody was
6 informed -- What more can I do?

7 And so we are trying very hard, and I think we
8 should get some credit over the last few years to involve,
9 to be transparent, to put papers out while we are voting on
10 them, et cetera. So I am sure we will do everything we can
11 to keep you informed of our further actions.

12 COMMISSIONER DICUS: That's good.

13 MS. CURRAN: Thank you.

14 COMMISSIONER DICUS: Commissioner Merrifield.

15 COMMISSIONER MERRIFIELD: I just had one brief
16 question regarding page 6 of your written testimony.
17 Two-thirds of the way down the page, it would be the second
18 full paragraph, you talk about the staff's discussion of the
19 OGC opinion about our -- retaining our control over
20 groundwater at ISL facilities, and you complete that with a
21 sentence saying, "Retaining authority without exercising it
22 exposes the agency to legal challenge by the public." And I
23 am wondering if you could flesh out for me the basis upon
24 which you are making that argument.

25 MS. CURRAN: Well, it certainly would create a lot

134

1 of confusion. For instance, if the NRC retained
2 jurisdiction over ISL mining underground and then somehow
3 delegated the program, the administration of its authority
4 to EPA under EPA's program, what if EPA made a decision that
5 the NRC disagree with? Would the NRC have the authority to
6 take it back? Would the public have the right to go to both
7 agencies and seek a change in the decision? It creates we
8 think a lot of ambiguity and potential for --

9 COMMISSIONER MERRIFIELD: I guess it gets -- I
10 believe that gets to Commissioner Dicus' point that, you
11 know, we are early in this process, I think. And we can --
12 if the staff would like to comment on this, they could.
13 But, presumably, this would be the subject -- if we were to
14 go down this road, and if the Commission were to decide this
15 was the right thing to do, that would be the subject of a
16 Memorandum of Understanding between the two agencies setting
17 out the appropriate guidance and interaction between the
18 agencies and setting out what would be the appropriate area
19 of appeal, where there to be concerns raised by the public
20 associated with an individual site.

21 COMMISSIONER MCGAFFIGAN: And I think furthermore,
22 in the West Valley case we have set a precedent in our staff
23 requirements in suggesting that in that case it is an MOU
24 between us and the New York that we do that transparently
25 and even put the MOU out for public comment or whatever.

135

1 COMMISSIONER MERRIFIELD: Right.
2 COMMISSIONER McGAFFIGAN: So I don't know, that is
3 not prejudging what we do here if there were an MOU, if we
4 need to make a decision. There is a lot -- but as
5 Commission Dicus has said, we are at the start of the
6 process and it will be transparent.
7 COMMISSIONER DICUS: Okay. We do have a
8 representative, I assume an official representative of the
9 Environmental Protection Agency here who has indicated an
10 interest in coming forward to speak. If you would come to
11 the podium and identify yourself, Mr. Setlow. And I am
12 going to ask you to be as succinct as possible because this
13 has gone on a bit, and also simply what you want to address
14 to the Commission. And we won't get into a debate with
15 anyone who has testified. But I recognize you to make a
16 comment.
17 MR. SETLOW: Thank you, Commissioner. That was
18 not my intention to create any debate. My name is Loren
19 Setlow, I am the T-NORM team leader for EPA's Office of
20 Radiation and Indoor Air. I am also the Chairman of the
21 Inter-Agency Steering Committee on Radiation Standards,
22 Subcommittee on NORM. My views here, comments address the
23 hearing, and its general subject and represent the views of
24 both the Office of Radiation and Indoor Air and also the
25 Office of Groundwater at EPA.

136

1 We received notification of this hearing only two
2 days ago and, based on some of the questioning from
3 Commissioner Merrifield, the meeting which was held in June,
4 the workshop a week or so ago, it was attended by two EPA
5 employees only after we learned about the meeting through
6 some discussions with the National Mining Association.
7 We find that this activity is regrettable as far
8 as coordination and discussions with EPA, especially
9 considering the fact that the proposals before you have such
10 a potential impact on EPA's regulatory authorities,
11 legislative authorities, as well as its existing resources.
12 EPA is moving forward, currently we are under a mandate to
13 report to Congress on our activities and approach to T-NORM
14 and existing regulations and guidance. This is based on
15 previous mandate as well as the National Academy of Sciences
16 report. We hope that this is not a missed opportunity to
17 include some discussion related to the T-NORM materials that
18 have been under discussion today.
19 During the last two years, while this activity has
20 been under discussion within NRC, with the states, the
21 National Mining Association and industry as well, we have
22 not heard a word in the Inter-Agency Steering Committee on
23 Radiation Standards, nor the subcommittee that I am chair
24 of. And it certainly would have been useful for us to have
25 discussed these various things rather than to bring it

137

1 forward at this Commission meeting.
2 I hope that we will be able to work together on
3 these proposals and that this will be placed in a public
4 forum so that we have the opportunity to comment as
5 appropriate.
6 COMMISSIONER DICUS: Thank you. And as you have
7 heard us say, we are the beginning of the process and it
8 will be a very transparent and public process. But I thank
9 you for your comments.
10 COMMISSIONER McGAFFIGAN: I might just say on

11 that, I am a little concerned, to be honest with you, that
12 you weren't involved, because we have tried to -- I mean the
13 papers have been out for a few months. These are not the
14 sort of papers that get front page attention in the
15 Washington Post, unfortunately.

16 COMMISSIONER MERRIFIELD: Joe Holonich may want a
17 make a comment.

18 COMMISSIONER MCGAFFIGAN: And I would be happy to
19 have a comment. But we were certainly not trying to
20 blind-side anybody, I don't think, and I will leave it to
21 the staff to explain why we are where we are.

22 COMMISSIONER DICUS: And we are going to bring
23 this to a close.

24 MR. HOLONICH: Thank you, Commissioners. Joe
25 Holonich, Deputy Director of Waste Management. I just

138

1 wanted to note that we work very closely with the EPA Denver
2 office, which is where the uranium mill tailings issues
3 reside. And, in fact, Milt Lammering, who is the manager
4 out there, and I, a month before the workshop, were out in
5 California addressing an Atlas question. He was made aware
6 of the workshop by me. We routinely mail them information
7 on that. I had discussed with him the papers, in particular
8 the non-11e.(2) and the Part 41. I noted that I thought he
9 would be interested in them. He acknowledged he was. I
10 called back that afternoon from California and had the staff
11 FedEx the papers to him as soon as he indicated he was
12 interested. So I think there is a very close working
13 relationship with EPA Denver. I want to make sure the
14 Commission understands that we in Denver are very
15 comfortable with the working relationship we have.

16 COMMISSIONER DICUS: Okay. Thank you.

17 Commissioner Merrifield.

18 COMMISSIONER MERRIFIELD: Yes, we may need to take
19 a look at -- obviously, we always want to have appropriate
20 coordination with our sister agencies and departments, and
21 we can certainly reassess that as we go forward, to make
22 sure that we do have that proper communication.

23 That certainly goes both ways. If the EPA had
24 some concerns that they wanted to raise, they certainly
25 could have contacted the Secretary, who was unaware that

139

1 there would be participation today, and certainly blurting
2 out in a meeting that you will be addressing that is not the
3 way that we as a Commission like to operate around here. So
4 in the future I think we ought to try to avoid those kind of
5 outbursts. Thank you.

6 COMMISSIONER DICUS: Okay. Thank you. Given
7 that, I want to thank all of the staff, of course, and the
8 stakeholders who have come to this briefing and provided
9 their testimony. And I now have the opportunity to close
10 another rather lengthy Commission briefing.

11 COMMISSIONER MERRIFIELD: Good practice for a
12 couple of weeks from now.

13 COMMISSIONER DICUS: Thank you. The Commission
14 will as always give serious consideration to the views
15 expressed here today in its review of these uranium recovery
16 generic issues. It is clear that there are significant
17 areas of disagreement on some of the issues addressed in
18 SECY11 -- 99-11, 12 and 13. These areas of disagreement
19 will obviously require close attention by the Commission in

20 its review of these papers.

21 Again, I would like to thank all of the presenters
22 for bringing focus to these areas through this briefing, and
23 if there is nothing more this meeting is adjourned.

24 [Whereupon, at 12:33 p.m., the meeting was
25 concluded.]