

1 UNITED STATES OF AMERICA  
 2 NUCLEAR REGULATORY COMMISSION  
 3 OFFICE OF THE SECRETARY  
 4 \*\*\*  
 5 NRC STAFF BRIEFING ON  
 6 INTEGRATED REVIEW OF  
 7 DECOMMISSIONING REQUIREMENTS  
 8 \*\*\*  
 9 PUBLIC MEETING

10  
 11 Nuclear Regulatory Commission  
 12 One White Flint North  
 13 Building 1, Room 1F-16  
 14 11555 Rockville Pike  
 15 Rockville, Maryland  
 16 Tuesday, November 8, 1999

17 The Commission met in open session, pursuant to  
 18 notice, at 1:32 a.m., the Honorable RICHARD A. MESERVE,  
 19 Chairman of the Commission, presiding.

20  
 21 COMMISSIONERS PRESENT:

- 22 RICHARD A. MESERVE, Chairman
- 23 NILS J. DIAZ, Member
- 24 EDWARD McGAFFIGAN, JR., Member
- 25 JEFFREY S. MERRIFIELD, Member

1 STAFF AND PRESENTERS SEATED AT THE COMMISSION TABLE:

- 2 KAREN D. CYR, General Counsel
- 3 ANNETTE L. VIETTI-COOK, Assistant Secretary
- 4 WILLIAM TRAVERS, Executive Director for Operations
- 5 SAMUEL COLLINS, Director, NRR
- 6 STUART RICHARDS, Director, Project Directorate IV,  
 7 and Decommissioning, NRR
- 8 WILLIAM KANE, Director, NMSS
- 9 WILLIAM HUFFMAN, Project Directorate IV and  
 10 Decommissioning, NRR
- 11 JOHN GREEVES, Director, Division of Waste  
 12 Management, NMSS
- 13 DIANE JACKSON, Plant Systems Branch, NRR
- 14 RAY SAHDIS, NE Coalition on Nuclear Pollution;  
 15 Friends of the Coast (Maine)
- 16 MIKE MEISNER, Chairman, Decommissioning Working  
 17 Group, NEI
- 18 PAUL BLANCH, Energy Consultant
- 19 DAVID STEWART-SMITH, Administrator, Energy  
 20 Resources  
 21 Division, Office of Energy, Oregon

1 P R O C E E D I N G S

2 [1:32 p.m.]

3 CHAIRMAN MESERVE: Good afternoon, ladies and  
 4 gentlemen.

5 Today we will be discussing the NRC's Integrated  
 6 Review of Reactor Decommissioning Regulations and  
 7 Requirements.

8 Presentations on this topic will be made by the  
 9 NRC Staff, as well as interested stakeholders, including  
 10 representatives of the public, including the New England

11 Coalition on Nuclear Pollution, the nuclear industry,  
12 represented by the Nuclear Energy Institute in the State of  
13 Oregon.

14 One of the many challenges that faces the NRC is  
15 the appropriate regulation of decommissioned reactors.  
16 Decommissioned nuclear power plants pose a different risk to  
17 public health and safety from operating nuclear power  
18 plants, but under existing NRC regulations, they are subject  
19 to substantially the same regulatory requirements.

20 Today, we will discuss this issue, focusing, in  
21 particular, on the NRC's activities and proposals, and  
22 comments on those actions from interested stakeholders.

23 My fellow Commissioners and I welcome you to this  
24 meeting, and look forward to an open and candid discussion.

25 I understand that copies of the handouts are

4

1 available at the entrances, and unless my colleagues have  
2 any comments they wish to make, we'll proceed with Dr.  
3 Travers.

4 COMMISSIONER MERRIFIELD: Mr. Chairman, I have  
5 actually two comments that I'd like to make.

6 The first one is, I always like to take sufficient  
7 time to prepare for these meetings, and given the nature of  
8 the days the Commissioners have around here, preparing, just  
9 prior to the meeting, generally not a possibility.

10 And so in order to avoid that, I and the other  
11 Commissioners like to take materials home with us at night  
12 or over the weekend, so that we are appropriately prepared  
13 for these meetings.

14 Now, I made an admonition in the last meeting that  
15 we had last week, and I'll make a similar admonition that it  
16 is very unfortunate that we received slides for some  
17 presenters today that were either brand new or were amended  
18 from slides that we had received earlier.

19 Because of that, I have not had an opportunity to  
20 review those slides, and I do not feel fully prepared for  
21 the presentations--some of the presentations that will be  
22 made today, and I think that that is most unfortunate.

23 I would certainly encourage those who are  
24 presenting today, in the future, get those slides to us in a  
25 timely fashion so that we may prepare appropriately.

5

1 I would also suggest to the SECY--I know she works  
2 very hard to get people to do that--to the extent that you  
3 can continue those efforts, and explain to them that at  
4 least from this Commissioner's standpoint on this kind of  
5 activity, it will result in additional public lectures.

6 And I'm not naming names today, but I guess that  
7 in the future I may have to.

8 One additional comment I want to make: NEI, in  
9 its slides, seems to spend a significant amount of time on  
10 problems associated with our cask certification process.

11 I note from the Staff slides that it appears that  
12 there is not an intention to address this issue in the  
13 presentation today, at least from the slides, that is the  
14 indication I have.

15 Before we finish the briefing, I would like to get  
16 the Staff's perspective on the amendment-by-rulemaking  
17 process, where you stand on the issue related to why the  
18 cask certifications are limited, and any process  
19 improvements you have in mind, specific to the cask  
20 certification process.

21 So if that might become part of your  
22 presentations, and to the extent you can amend your

23 comments, I would appreciate that.

24 Thank you.

25 DR. TRAVERS: Thank you, Chairman. Good

6

1 afternoon. As you have indicated, the Staff is here to  
2 discuss our ongoing integrated review of reaction  
3 decommissioning regulations.

4 We will also briefly highlight our approach for  
5 coordinating the elements of our decommissioning program  
6 among the Office of Nuclear Reactor Regulation, the Office  
7 of Nuclear Materials Safety and Safeguards, the Office of  
8 Research, and the Regional Offices.

9 As reactors have permanently shut down, the staff  
10 has been primarily using the existing Part 50 regulations to  
11 address decommissioning issues and process. This has  
12 resulted in a number of problems because Part 50 was  
13 primarily written with a focus on operating reactors.

14 A common result of this situation is that  
15 licensees of decommissioning reactors have had to rely on  
16 seeking relief, regulatory relief, in the form of exemptions  
17 and amendments to their licenses. That process has not been  
18 the most efficient with respect to staff and licensee  
19 resources.

20 In an effort to be more efficient, the Staff, with  
21 Commission direction, is developing a holistic approach to  
22 decommissioning regulation that is intended to be less  
23 burdensome for facilities, while continuing to provide  
24 assurance that public health and safety are maintained.

25 The Staff has engaged our stakeholders on this

7

1 issue. There has been a healthy exchange of information and  
2 views on many facets of decommissioning, and we believe we  
3 are systematically developing the technical basis that will  
4 support proposed changes to NRC regulations.

5 Today, we plan to provide a status report on our  
6 continuing efforts.

7 Joining me at the table today are Sam Collins,  
8 Director of the Office of Nuclear Reactor Regulation; Bill  
9 Kane, Director of the Office of Nuclear Materials Safety and  
10 Safeguards, John Greeves, who is the Director of the  
11 Division of Waste Management in NMSS.

12 I have Stew Richards on my left, who is the  
13 Project Director for Region IV and Decommissioning. Next to  
14 him is Bill Huffman, Project Manager in the Office of  
15 Nuclear Reactor Regulation, and Diane Jackson, who is the  
16 leader of the Technical Working Group in NRR.

17 Let me turn the presentation now over to John  
18 Greeves.

19 MR. GREEVES: Yes--is this microphone working?  
20 Good, all right, thank you.

21 I'm really just going to address Slide 3, and I've  
22 got three messages that I want to convey with this slide:

23 The first is that we do have an integrated program  
24 with the Staff and the Regions on this process.

25 Second, I would point out that there are

8

1 wide-ranging issues associated with this reactor  
2 decommissioning program that actually go beyond the SECY  
3 paper that you have and that Commissioner Merrifield  
4 mentioned; that a number of the stakeholders, in fact, will  
5 be bringing up other issues.

6 The third point is that the Staff can respond to  
7 these other issues. We're fully prepared to do that at

8 whatever time the Commission wants to ask us to address  
9 those questions, especially the spent fuel cask question  
10 that Commissioner Merrifield identified in terms of what is  
11 limited about that process, and what improvements we can  
12 make. We're fully prepared to address those at your  
13 pleasure whenever you're ready.

14 As far as the integrated approach, we briefed the  
15 Commission in the past about forming a Decommissioning Board  
16 that all of the entities on the Staff attend. We meet every  
17 two weeks.

18 And there are some examples listed on this chart  
19 of activities that come up in this environment. For reactor  
20 decommissioning, NRR has the lead. They have a project  
21 manager, and they have the early-on issues, a number of  
22 which are covered in the subject SECY paper.

23 In the longer term, these projects get turned to  
24 NMSS, and we go through a transition process. So the  
25 Decommissioning Board helps in that environment.

9

1 The NMSS responsibilities include the dry cask  
2 storage issue that Commissioner Merrifield mentioned. There  
3 are a number of topics associated with that, and the license  
4 termination process, which goes towards the license  
5 termination rule, the '97 rule that is very important in  
6 terms of setting the decommissioning criteria for the  
7 reactors and really all the rest of the sites.

8 Also, it's a question of how much can you leave  
9 onsite? You'll be hearing some of that from some of the  
10 other stakeholders.

11 The Office of Research provides technical support  
12 for all the others, including NRR and NMSS, especially on  
13 some of the longer-term issues, for the entombment topic, we  
14 have a workshop that we have coming on which we sent a paper  
15 up to the Commission. So in December, there will be a  
16 workshop for that.

17 There is a lot of concern about sites like  
18 Barnwell, and how long are they going to stay open.

19 Another topic is dose modeling. The Commission  
20 asked us to look into unnecessary conservatism that might be  
21 contained in the dose models that we use, and Research is  
22 working very hard on those issues, and would be available to  
23 answer any questions on that particular topic.

24 And then, finally, the Regions are also part of  
25 the Decommissioning Board. They're responsible for the

10

1 actual inspection of the site.

2 I'd also like to point out that they spend a fair  
3 amount of time interacting with the site-specific advisory  
4 boards that the utilities are setting up. So they go and  
5 sit on the meetings with the oversight panels of citizens  
6 that the utilities have, in fact, set up for these  
7 particular sites.

8 And all of the Staff do interact with the  
9 stakeholders frequently. We have workshops. Recently were  
10 up at the Portland Workshop that NEI sponsored, and we have  
11 website interactions, and we call for issue papers.

12 NEI and the Environmental Group recently sent us a  
13 set of issues papers on so-called rubble-ization process,  
14 and we packaged those together and will be forwarding that  
15 to the Commission on an issue-specific type approach.

16 So that's just a bit of a summary, and as I said,  
17 Staff is ready to respond to some of these wide-ranging  
18 issues at the point the Commission wants to ask questions.  
19 Thank you.

20 MR. RICHARDS: I'm Stew Richards, and I'd like to  
21 provide a little background on what's transpired prior to us  
22 coming to this meeting today.

23 On March 17th of this year, the Staff met with the  
24 Commission to discuss decommissioning issues. At that  
25 meeting, the Staff related our opinion that the regulations

11

1 applicable to decommissioning need to be clarified and  
2 risk-informed.

3 Our intent is to streamline the transition from  
4 the operations phase to the decommissioning phase, while  
5 maintaining the appropriate level of public safety. The  
6 Staff outlined our efforts in this regard in SECY 99-168,  
7 dated June 30th of this year.

8 SECY 99-168 describes the Staff's efforts to  
9 assess the risk associated with decommissioning and proposed  
10 actions to restructure decommissioning regulations, and to  
11 integrate existing rulemaking efforts.

12 Next Slide, please.

13 The Staff is here today to provide an update on  
14 our actions in this area. In order to go forward with  
15 risk-informed rulemaking, the Staff needed a solid technical  
16 basis on which to base rulemaking.

17 Therefore, the Staff established the Technical  
18 Working Group to assess the risk associated with  
19 decommissioning activities. The Technical Working Group, in  
20 turn, has established a process and a schedule to accomplish  
21 that task.

22 That technical assessment is progressing, and we  
23 have engaged both the industry and various public groups who  
24 are involved in looking at this effort. And as stated  
25 previously, when the Technical Working Group completes that

12

1 effort, we intend to incorporate their results into  
2 rulemaking and move on from there.

3 With that, I will introduce Diane Jackson, the  
4 head of the Technical Working Group.

5 MS. JACKSON: I will address the Technical Working  
6 Group study, the work we've performed, our interactions with  
7 the stakeholders, and our continuing work to finalize our  
8 project.

9 Our effort, which started in April, is a study of  
10 spent fuel pool accidents and its associated risks at  
11 decommissioning plants. Our preliminary draft, which was  
12 issued in June, included two key areas:

13 One was an estimation of critical decay time that  
14 was required to preclude a zirconium fire, based on a  
15 thermal hydraulic coat analysis and a risk assessment to  
16 look at the potential for an accident during that period.

17 The risk assessment started with a broad set of  
18 initiating events as shown in the slide. This starting  
19 point was intentional.

20 For an accurate assessment of risk, all initiating  
21 events need to be considered, and it's the product of the  
22 analyses that will show us the sequences that are  
23 significant.

24 Since the start of the study, we have had  
25 significant interest from our stakeholders.

13

1 Next slide, please.

2 We've held several public meetings during our  
3 preliminary study, and after the issuance of the draft,  
4 including a two-day workshop in July. Issuing the

5 preliminary work in June was largely in response to  
6 stakeholder interest, however, we felt that stakeholder  
7 comments, and particularly industry input, could also assist  
8 us in refining our assessment. We received many comments  
9 during those meetings and in subsequent telecons, and  
10 submittals we received.

11 A major industry concern that was brought out at  
12 the workshop was that the risk assessment did not give  
13 sufficient credit to plant conditions and personnel actions.

14 The Technical Working Group has had many followup  
15 activities to address stakeholder concerns, in particular  
16 Action Items that were taken from the July workshop.

17 In the next two slides, I'd like to discuss some  
18 of the examples of our followup activities from stakeholder  
19 comments.

20 Next slide, please.

21 In the area of human reliability, there was a  
22 concern raised that there was insufficient credit in the  
23 risk analysis for operator response due to adverse plant  
24 conditions.

25 Since there are no automatic systems in spent fuel

14

1 pools, there is a heavy reliance on human response. Staff  
2 took an Action Item at the workshop to solicit comments from  
3 outside experts and from stakeholders to identify conditions  
4 that would support the assumption of high human reliability.

5 These conditions are things such as training\  
6 procedures or alarms. We issued a strawman for comment in  
7 mid-August to two human reliability experts and to the  
8 stakeholders.

9 We received no technical comments from the public,  
10 however, from our expert feedback, we are reassessing our  
11 human reliability assumptions for our final risk assessment,  
12 and this work is currently ongoing.

13 For seismic events, the Staff was concerned that  
14 the are some plant designs that would fall outside of our  
15 assessment.

16 NEI took an Action Item at the workshop to propose  
17 a checklist that would identify potential pool  
18 vulnerabilities, compared with the nominal plan. NEI  
19 submitted this checklist to us in mid-August. We had a  
20 telecon to discuss it, and currently the Staff and an  
21 independent reviewer is looking at the checklist. We plan  
22 to have more interactions with NEI on this topic area in the  
23 future.

24 For heavy load movements, the concern was that  
25 sufficient credit was not given in the risk analysis for

15

1 protective measures for heavy load drops. NEI proposed  
2 industry commitments for the prevention and mitigation of  
3 heavy load drops.

4 The Staff reassessed its heavy load analysis with  
5 the inclusion of NEI's proposal, and also with additional  
6 technical data we had, and improved statistical analysis,  
7 and this reassessment is currently undergoing independent  
8 review.

9 Next slide, please.

10 A concern has been raised from a member of the  
11 public that the draft study did not sufficiently address the  
12 potential for criticality. To address this area, we are  
13 going back to reassess the issue based on an expanded scope  
14 of scenarios, and also to look more closely at the sequence  
15 of events that must occur to reach a criticality.

16 One of the deterministic analyses that was

17 performed was an adiabatic spent fuel heatup calculation for  
18 which there was a concern that it was overly conservative.

19 The Staff performed this calculation as one of  
20 several parallel paths during the preliminary study. For  
21 deterministic analyses there is a benefit that we have to  
22 look at between using conservative assumptions to make a  
23 simplistic calculation using more realistic assumptions that  
24 may make the calculations more complex and time-consuming.

25 We are looking for a manageable calculation that

16

1 will produce a useful solution. Our efforts have shown in  
2 this area that the calculation is not a useful criterion for  
3 generic application, so at this point, we currently do not  
4 have any plans to use this as a part of our bases.

5 These are a few of the stakeholder concerns that  
6 we are addressing. There are other concerns that have been  
7 raised, such as concrete aging and safeguards that are also  
8 being addressed by the Technical Working Group.

9 In addition to these followup activities, the  
10 Staff is continuing with its planned work to finalize the  
11 study. We are having additional technical work performed to  
12 augment our original assessment, particularly in the areas  
13 of thermal hydraulics and PRA.

14 There is an independent technical review in  
15 progress of our draft report. We also provided the  
16 independent reviewers with any stakeholders inputs as a  
17 balance for their review, and we are working to apply the  
18 risk-informed principles of Reg Guide 1.174.

19 The next slide lays out the principles of  
20 risk-informed decisionmaking from that Reg Guide. To have a  
21 risk-informed, rather than a risk-based study, we need to  
22 apply all the principles of risk-informed decisionmaking.

23 One of the principles compares the risk from a  
24 plant change to guidelines on increases in core damage  
25 frequency or larger early release frequency. We have found

17

1 that spent fuel pool accident frequencies and consequences  
2 do not fully equate to either a CDF or LERF, so we are  
3 trying to define an analogous criterion for decommissioning  
4 spent fuel pool accidents.

5 We are also balancing the need for  
6 defense-in-depth, safety margin, and the ability to monitor  
7 performance.

8 Based on all these inputs, the risk assessment,  
9 the deterministic analyses, the stakeholder input, industry  
10 commitments, and the risk-informed decisionmaking  
11 principles, we believe we can develop a realistic  
12 risk-informed assessment.

13 I think one of the keys to a realistic assessment  
14 are industry commitments that can be credited in our  
15 assessment.

16 Next slide, please.

17 In summary, the Technical Working Group is  
18 following its plan to finalize its assessment, and to  
19 address stakeholder concerns.

20 We believe these activities will result in a solid  
21 technical basis for the development of rulemaking and for  
22 interim exemption criteria. We plan to release a  
23 draft-for-comment report in early January, and the final  
24 report, after a public comment period, in early April.

25 This concludes my presentation on the Technical

18

1 Working Group Study.

2 Are there any questions from the Commission?  
3 MR. RICHARDS: We have two more slides from Bill  
4 Huffman on the integrated rulemaking.  
5 CHAIRMAN MESERVE: Why don't we see those and then  
6 we'll go to questions.  
7 MR. RICHARDS: We'll do that.  
8 MR. HUFFMAN: Hello. My name is Bill Huffman, and  
9 I'm the lead Project Manager in charge of the rulemaking  
10 effort for decommissioning rulemaking.  
11 Ultimately, the product of this Technical Working  
12 Group effort is improved, predictable, concise, efficient,  
13 decommissioning regulations that are safe and will elicit  
14 the confidence of the public.  
15 As directed to us by the Commission on March 17th,  
16 in a meeting, and subsequently in an SRM, we were directed  
17 to look at an integrated, holistic approach. To that  
18 effort, we decided that first we needed a foundation, a  
19 technical foundation, which the Technical Working Group is  
20 in the process of providing to us.  
21 Once that foundation is provided, we will carry  
22 forward in two different regulatory efforts: One is a  
23 near-term integrated rulemaking effort that addresses  
24 rulemakings that were already in progress and are amenable  
25 to the outcome of the Technical Working Group's assessment.

19

1 The second, although not specifically asked for,  
2 is a longer-term effort of clarifying the entire regulatory  
3 structure of decommissioning in an effort to provide a  
4 confidence level of what exactly is required for  
5 decommissioning from the time a reactor certifies permanent  
6 shutdown to license termination.

7 The first effort, the integrated decommissioning  
8 rulemaking effort, involves five rulemaking areas:  
9 Emergency planning, safeguards, insurance, backfit, operator  
10 staffing and training.

11 These rulemakings were in progress prior to the  
12 March 17th Commission meeting. We stepped back and looked  
13 at them and agreed that all these areas would definitely or  
14 could definitely be impacted by the results of the Technical  
15 Working Group.

16 Until the Technical Working Group's effort is  
17 completed and recommendations and criteria are developed, we  
18 are somewhat waiting for moving forward in this effort.  
19 Although we anticipate having an integrated rulemaking plan  
20 to the Commission by the 31st of May of the year 2000, which  
21 will lay out our long-term schedule for completing that  
22 rulemaking effort, and explain to the Commission, how the  
23 results of the Technical Working Group will be applied to  
24 rulemakings in this area.

25 Next slide, please.

20

1 The Decommissioning Regulatory Improvement  
2 Initiative is a longer-term effort. It's a comprehensive  
3 review of all of the reactor operating regulations  
4 throughout Title 10, and how and if they are applicable to  
5 decommissioning as well.

6 It may be simply an effort of placing  
7 decommissioning in the scope of a regulation, or may involve  
8 a more detailed review or modifications of the regulations  
9 because of nonspecific applicability. These modifications  
10 ultimately will clarify and provide confidence to both the  
11 industry and the stakeholders, public stakeholders, and the  
12 Staff.

13 In our initial screening of these regulations,



14 we've identified 41 potential areas for clarifications, such  
15 things as technical specifications, quality assurance,  
16 fitness for duty, and even the applicability of a control  
17 room in a decommissioned reactor site are examples where we  
18 have to clarify regulations.

19 We also have employed a contractor to do a  
20 thorough and comprehensive documentation of the  
21 applicability of these regulations, and that contract is now  
22 in progress. In addition, we have recommended that instead  
23 of leaving the regulations where they are, we consolidate  
24 the regulations into a separate part of unit so that they  
25 will all be located together and will be easily reviewable

21

1 and locatable by all people involved in the regulatory  
2 process.

3 We anticipate a rulemaking plan that will lay out  
4 long-term resources and schedules for this effort by July of  
5 2000. That completes my presentation.

6 DR. TRAVERS: That completes the Staff's  
7 presentations. We are familiar with the issues that have  
8 been raised in the NEI's slides, and at your discretion, we  
9 can address Commissioner Merrifield's questions at this  
10 time, or following the presentation by stakeholders,  
11 whichever you desire.

12 CHAIRMAN MESERVE: Since the issue has been raised  
13 about particularly the casks, why don't we respond to that  
14 now, and then proceed.

15 DR. TRAVERS: Good. Let me turn it over to Bill  
16 Kane.

17 MR. KANE: WE have a presentation by Bill Brach,  
18 who is Director of the Spent Fuel Office. Since I did have  
19 that assignment myself a year and a half ago, I would like  
20 to make some remarks here to place in context, what we're  
21 going to tell you here.

22 In mid-1998, we had, because of problems with what  
23 I will call operating spent fuel cask designs, we diverted a  
24 substantial amount of resources over to the inspection in  
25 order to gain resolution of a number of issues, one related

22

1 to welds, in order to be in a position where we could  
2 approve those designs for continued loading of fuel.

3 Some sites were coming up to a point where they  
4 could no longer--where their fuel pools were filling up and  
5 they could not offload fuel.

6 In about mid-1998, we set up schedules to review a  
7 large number of dual purpose cask designs that were  
8 backlogged at that time. We set up very disciplined review  
9 schedules really to look at and review all of the designs  
10 that were before us by six vendors.

11 We established strict schedules for conducting  
12 those reviews, and all were met by the Staff with no  
13 exceptions.

14 The process, though, was based on, because of the  
15 intertie of all of these applications in the review process,  
16 and the necessity to move our resources back and forth  
17 amongst these various designs, that we adhere to getting  
18 these reviews accomplished on time.

19 We certified what was submitted and could be  
20 accomplished in the timeframes established; that is, where  
21 there were open issues that could not be resolved, we  
22 conditioned the designs to certify what could be from a  
23 safety standpoint, loaded in these casks.

24 In parallel with that, we recognized that there

25 were a number of open issues, generic issues, and we

23

1 established a process engaging in workshops with utilities,  
2 with the vendors, to flesh out basically what these concerns  
3 were, where additional guidance was needed.

4 And we issued over a period of time, some 12 what  
5 I will call interim staff guidance memoranda. These  
6 supplemented the existing standard review plans.

7 Nonetheless, we recognized that this process would  
8 result in multiple amendments for some applications. The  
9 reasons for that are, I think, twofold:

10 One was that in many instances, the fuel that was  
11 in the fuel pools was incompletely characterized, so it was  
12 not all identified in the initial applications.

13 Other reasons included the resolution of the  
14 generic issues. Over time, we've given approval for taking  
15 credit for burnup, called burnup credit.

16 We also issued staff guidance that dealt with how  
17 failed fuel was to be handled, and that process is  
18 continuing. In the area of rulemaking, we're going to have  
19 Bill touch on that, and describe to you some of the  
20 accomplishments that we have made in the rulemaking area,  
21 and some that we are continuing to make.

22 I believe that more can be done in the amendment  
23 process. I think further gains can be made. But I'll have  
24 Bill now go into a discussion of what were the outcomes,  
25 what have we accomplished, and, in more detail, what work is

24

1 yet to come.

2 MR. BRACH: Thank you. My name is Bill Brach.  
3 I'm Director of the Spent Fuel Project Office.

4 In response to Commissioner Merrifield's question,  
5 we did receive the NEI slides in advance, so I have a few  
6 comments that are prepared in having an opportunity to  
7 review those before the meeting.

8 What I'd stress is that I believe it's very  
9 important to keep in context, the NEI slides with regard to  
10 current spent fuel management activities. The slides do  
11 identify a number of concerns which have been recognized,  
12 some of which have been addressed, some of which are in  
13 stages of being addressed right now.

14 I want to highlight three examples to support my  
15 observations and comments: First, one of the NEI slides  
16 states that decommissioning plants can't decommission their  
17 pools. As Bill had mentioned, that's been a significant  
18 lesson learned in the past with regard to the need on the  
19 part of the licensees and vendors to closely coordinate to  
20 ensure the cask application clearly encompasses and  
21 envelopes all the fuel in the spent fuel pool.

22 I'll will mention as a positive example, just  
23 recently, Mr. Meisner, who is representing Maine Yankee, had  
24 discussions with the vendor for the Maine Yankee facility.  
25 And they described to me how in preparing the application to

25

1 us for the casks, they sat down with the utility, with Maine  
2 Yankee, and reviewed the fuel characteristics for all the  
3 spent fuel in the pool so that the application to us would  
4 envelop all the fuel in the pool so that we would have  
5 hopefully just a one-time-through in a cask review with  
6 subsequent amendments, as Bill had mentioned.

7 Another, second point and example I wanted to  
8 raise: One of the NEI slides as well points out that  
9 operating plants cannot unload their fuel. I want to stress  
10 that clearly within the Spent Fuel Project Office, as well

11 as the Agency, that safety is always our top priority.

12 When a safety issue arises, we reschedule and  
13 re-lay out our work plans with regards to addressing that  
14 immediate safety issue.

15 I want to stress that in the Spent Fuel Project  
16 Office our second priority, the priority following the  
17 safety issue is the operational need of the licensee, and  
18 clearly off-load capability for a reactor is an operational  
19 need.

20 That second priority is clearly very high on our  
21 list, and I believe we're adequately addressing those needs.  
22 Personally, I'm not aware of a reactor whose operations  
23 today are currently limited by the inability to off-load  
24 their fuel.

25 A third area I want to mention and that Bill

26

1 identified as well, is the area of rulemaking, and that is  
2 one, Commissioner, Merrifield, that you had highlighted as  
3 well.

4 Yes, I do agree with the NEI comments that it's a  
5 very resource-intensive activity. I will stress, though,  
6 however, that the rulemaking process really is well-defined  
7 and also very predictable. There clearly are areas and room  
8 for improvement in the rulemaking process.

9 In the last year, the Commission gave approval for  
10 the Staff to proceed with three initiatives to improve the  
11 rulemaking process, to streamline it and improve timeliness.

12 The three examples: One is that the Staff no  
13 longer has to prepare a rulemaking plan for each cask  
14 rulemaking, as that proceeds; secondly, authorization has  
15 been delegated from the Commission to the EDO for the review  
16 and approval and signature of the rulemaking for cask  
17 activities under Part 72; and, the third initiative is that  
18 we have tried and are implementing, a direct final  
19 rulemaking approach to try to expedite the rulemaking  
20 activities for amendments to casks.

21 That's an activity we've just initiated and with  
22 regard to experience, we are yet to be able to demonstrate  
23 the resource savings, but we clearly anticipate that if we  
24 are able to go through direct finals instead of a proposed  
25 rulemaking process, there would be many efficiencies gained.

27

1 I do want to stress that over the last year, we  
2 have established schedules for all of our major casework,  
3 all of our dual purpose, spent fuel storage and  
4 transportation cases, as well as all of our site-specific  
5 independent spent fuel storage installation facility  
6 reviews, and we've met all of those schedules over the last  
7 year.

8 So, in closing, I do want to note that I very much  
9 agree that there is much more work to do with regard to  
10 spent fuel management activities. I believe we're working  
11 with the industry. We've had a number of workshops, just in  
12 the last six months on a number of technical issues.

13 But I believe we have made much progress, but  
14 there is much more to make. Thank you.

15 CHAIRMAN MESERVE: Commissioner Dicus could not be  
16 with us today, but she did have her staff send me a few  
17 questions. There are several of them, but there is one that  
18 she raised that bears on the initial presentation you made  
19 on the decommissioning rulemaking.

20 She expresses concern that this whole rulemaking  
21 process is one that's going to extend over three or four

22 years at least. And she wonders whether there is a way to  
23 do some of these things in parallel.

24 And if you'll point--as an example, point to Slide  
25 13. One of the bullets indicates that you need to have the

28

1 spent fuel pool risk study in final before proceeding with  
2 the rulemaking.

3 And she has raised the question as to whether it  
4 might not be possible to at least collapse this by several  
5 months by finding a way to be moving out on the rulemaking  
6 with obviously a draft in proposal form while that study is  
7 being completed. And that period will assume draft to  
8 final.

9 MR. HUFFMAN: There may be some efficiency gained  
10 by moving forward in parallel, once the Staff issues a draft  
11 final report. We have to presume that most of the  
12 conclusions in there will be pretty close to an endpoint at  
13 that point in time.

14 The thing is that I don't want to get in front of  
15 the Technical Working Group. I can't presume what their  
16 answers are until I get the answers.

17 As soon as I have fairly good confidence of what  
18 the answers are, then I believe, yes, we can move forward in  
19 parallel and perhaps gain some efficiency of several months  
20 in that area.

21 MR. COLLINS: Mr. Chairman, I believe there are  
22 opportunities within the planning and budgeting process to  
23 receive direction from the Commission on those priorities.  
24 Clearly, if the Commission were to determine that  
25 accelerating rulemaking is one of those priorities, then the

29

1 staff has the capability under our current budgeting methods  
2 to provide those options to the Commission, and what the  
3 impact would be.

4 CHAIRMAN MESERVE: I think that the thrust of the  
5 question was not so much whether it's a priority issue, but  
6 whether it was essential to complete the Technical Working  
7 Group product before you could proceed on the process of  
8 developing the rules, and if there is a way to collapse  
9 that, that would make some sense to do it, and not  
10 significantly affect resources.

11 Mr. Diaz, do you have any questions?

12 COMMISSIONER DIAZ: Yes.

13 Let's see, 78.

14 (Laughter.)

15 COMMISSIONER DIAZ: Let's see if I can collapse  
16 this for the sake of our anatomy or whatever it is.

17 Let me start at the end, on the rulemaking effort.  
18 I'm concerned that if this rulemaking has progressed, that  
19 there has really not been an effort to focus the rulemaking  
20 into those issues that are really, really important.

21 There seems to be a certain amount of  
22 proliferation of issues, and I think the Commission looks to  
23 the Staff to start a rulemaking and zero in on those things  
24 that are really significant.

25 And we have two tools in this Commission now to do

30

1 this: One is the old one, which is the technical basis,  
2 which has been referred to and about which I'm going to ask  
3 in a minute, what does it mean, a sound technical basis?

4 Because without a sound technical basis, you  
5 cannot progress. And it seems to me like you have taken an  
6 inordinate amount of time to come up with a sound technical  
7 basis or what does sound technical basis means.

8 It is indispensable, not only in this rulemaking  
9 and in others, that the Staff discriminate against issues  
10 that are not safety-significant, to zero in where the issues  
11 at hand are, not to keep continuing to be looking at things  
12 that are on the side, and that are not significant.

13 It is not possible to continue to do that, because  
14 we are a safety focused-agency. Having made that comment, I  
15 would look forward to reviewing what this decommissioning  
16 rulemaking plans will be.

17 But now let me turn to the two questions: There  
18 are two issues in here that are playing into the  
19 decommissioning plan. The first thing is the development  
20 of a sound technical basis.

21 And the Staff had many months to develop it, a  
22 sound technical basis. It's not the argument of the  
23 adiabatic, you know, calculation, or where it goes, although  
24 I think that started some of this process. In essence,  
25 that's the only thing that the NRC has complete control of,

31

1 of what is the technical basis in which we make the  
2 decisions.

3 And, therefore, it is imperative that that work  
4 goes fast, goes accurate, zeros in on what the issues are.  
5 So, my first question is, what do you mean, what does it  
6 mean in rulemaking grounds to have a sound technical basis?

7 What does it entail? What are the issues that are  
8 a part of that sound technical basis?

9 MR. RICHARDS: I'll take a stab at that,  
10 Commissioner. What we were looking for from the Technical  
11 Working Group was to take a look back in time at all the  
12 previous review efforts that have been done to address the  
13 decommissioning area. And there has been a lot of work done  
14 to bring that all together, to update that with any  
15 additional knowledge they were able to bring to bear, and  
16 basically to bring together an integrated knowledge of the  
17 risks associated with decommissioning.

18 I think that the industry maintains that the risk  
19 is very, very low, and that for that reason we can provide  
20 them relief in the regulations from things such as emergency  
21 planning, financial protection, and safeguards areas.

22 We've done that on a case-by-case basis with  
23 plants, and we continue to entertain those exemption  
24 requests while this effort is ongoing. But rather than do  
25 it on a case-by-case basis, which is resource-intensive for

32

1 both the industry and the Agency, we'd rather just enter it  
2 into the regulations.

3 We felt that in order to do that, we needed to  
4 have a solid understanding of the risks, because, you know,  
5 the assumption here is that the risk is low, and, therefore,  
6 you can provide relief on these items.

7 So, like Diane Jackson explained, the Technical  
8 Working Group took a look at all the different events that  
9 they could think of that could occur with a plant undergoing  
10 decommissioning. They came up with a very extensive list of  
11 events. We shared with that the industry and with our other  
12 stakeholders, early on in the process.

13 They went through a screening process where I  
14 think they whittled out the things that they felt were  
15 pretty obviously not of great concern, and they zeroed in on  
16 the issues they thought had the potential to cause offsite  
17 releases.

18 They gathered together the information they had

19 from past studies, and they have tried to apply PRA methods  
20 to come up with a risk-informed feeling for where are the  
21 vulnerabilities here, and what are the probabilities that  
22 some of these kinds of events could happen.

23 It's boiled down to three that Diane mentioned:  
24 the heavy load issue, the personnel errors, and seismic.  
25 We've shared that with our stakeholders, we have gotten a

33

1 lot of good feedback, and we're trying to characterize how  
2 likely those events are to cause a zirc fire.

3 I think that when you get down to the bottom line,  
4 if you don't have a zirc fire, you don't have a means to  
5 transport that spent fuel offsite, that can cause a problem,  
6 and then the other risks associated with decommissioning  
7 tend along the line of problems with liquid and gaseous rad  
8 waste onsite, those kinds of things.

9 COMMISSIONER DIAZ: My concern is how long does it  
10 take to achieve convergence on a sound technical basis? I  
11 mean, obviously the NRC should be the world expert on spent  
12 fuel pools. It's not a new science. There is nothing that  
13 you discovered last year.

14 MR. RICHARDS: No, sir.

15 COMMISSIONER DIAZ: No, you got it, right? So,  
16 convergence on spent fuel technical basis should not be an  
17 issue of months and a laundry list that then you can go  
18 down; it's something that you could zero in on it.

19 This is my concern with this. I have not seen  
20 that process quickly acting, making sure that we are focused  
21 on those things that we have significant technical knowledge  
22 of, and we can pare down quickly, so our efforts, which are  
23 resource-limited, can go into those areas that are  
24 important.

25 MR. RICHARDS: Let me just provide one thing. I

34

1 don't know if Diane touched on this before, but one of the  
2 things we've learned about decommissioning plants is that  
3 they don't look like operating reactors.

4 Mr. Meisner and NEI will probably tell you about  
5 their nuclear island concept, but when they shut down and go  
6 into decommissioning, they quickly have the potential to  
7 eliminate a lot of the systems that previously would have  
8 been able to provide backup support to the spent fuel pool.

9 They may put in a stand-alone spent fuel pool  
10 cooling system. They may eliminate the emergency diesel  
11 generators and put in a smaller backup diesel.

12 And all of these things seem to be appropriate.  
13 I'm not criticizing the actions taken by the industry, but  
14 it's not something I think previous staff studies had  
15 considered as far as assessing the risk.

16 For instance, NUREG-1353 is frequently referenced  
17 as a good Staff effort to assess the risk associated with  
18 spent fuel pools, but that NUREG was based on an operating  
19 reactor with all the additional safety systems and multiple  
20 sources of offsite power and what have you to go along with  
21 it.

22 So, I think when we went into this after March, a  
23 lot of us felt that it would not take a lot of effort to  
24 determine that the risk was small, but I think to the  
25 Technical Working Group's good measure, they decided to take

35

1 a hard look at this and they decided that, no, you can't  
2 usually dismiss these things.

3 I think there is some convergence, though, because  
4 the industry has come back to us and provided us with a lot

5 of valuable information on how they go about doing what they  
6 do, and they provided us commitments on steps they're  
7 willing to take to ensure that the risk is small.

8 I think the Technical Working Group still has a  
9 ways to go. Our schedule calls for the draft report at the  
10 end of the year for public comment, and we're still getting,  
11 I think, valuable input from our public stakeholders, but  
12 we're miles past where we were in March and a long ways  
13 since July when we had our workshop.

14 COMMISSIONER DIAZ: I'm sorry, Mr. Chairman, but  
15 just to finish with this, of course there is the  
16 risk-informed program that the Commission charged the Staff  
17 with doing. Do we have goals? Do we have a program that  
18 the Commission can look at that clearly says this is what  
19 the risk-informed objective regarding decommissioning is?

20 What are we trying to achieve? In other words, I  
21 get concerned that people go into risk-informed  
22 probabilistic assessment with kind of an open charge, you  
23 know, let me find whatever it is. But in this case, the  
24 issue is framed, just like it doesn't have, you know, the  
25 redundancy capabilities of multiple sources of power, it

36

1 certainly doesn't have the complexity, it certainly doesn't  
2 have the source term. It certainly doesn't have the heat  
3 load.

4 There is a series of issues, one after the other,  
5 that would allow risk-informed to say, okay, I'm going to  
6 look at these issues, I'm going to have a program that meets  
7 a series of goals, and I'm going go to that program, and  
8 I'll make sure that that exists, if it exists.

9 MR. RICHARDS: That's a very good question. I  
10 think Diane touched on that with the slide that talked about  
11 Reg Guide 1.174.

12 Basically, when you're looking at this particular  
13 event, it doesn't fit well into that Reg Guide, and the  
14 Technical Working Group is challenged to determine what is  
15 the acceptable criteria. We don't have an answer today for  
16 you.

17 That is on their list of things to do, so to  
18 speak. We need to enter into dialogue with our stakeholders  
19 further on that issue.

20 The good news, like you said, is that the system  
21 is very simple. It's passive. It's a big pool of water  
22 sitting there. You know, kind of the bad news is that you  
23 have no containment, and you have maybe multiple cores in  
24 the spent fuel pool.

25 So it presents a different challenge from that

37

1 addressed by Reg Guide 1.174, and, again, we don't have the  
2 answer, but we recognize the question, and the Technical  
3 Working Group is working on getting that answer.

4 COMMISSIONER DIAZ: Thank you, Mr. Chairman.

5 CHAIRMAN MESERVE: Mr. McGaffigan?

6 COMMISSIONER MCGAFFIGAN: I'll try to run through  
7 a series of shorter questions, but I'll start off by saying  
8 that my reaction to the question that you, Mr. Chairman,  
9 raised for Commissioner Dicus, and that is that we probably  
10 do need this study in final before we go.

11 It's been very controversial and the study that we  
12 put out in January may not be the final word, depending on  
13 what it says, and people, including myself, don't know what  
14 it's going to say.

15 This whole area--we were on multiple tracks, each

16 of which needed this technical basis. And we didn't have  
17 it, and that's why all those rulemakings came to a grinding  
18 halt.

19 I think part of the answer to Commissioner  
20 Diaz's--I'm sort of answering other Commissioners'  
21 questions--I think part of the answer to Commissioner Diaz  
22 as to why it's taking so long is that we have a lot of  
23 precedents that aren't necessarily that aren't necessarily  
24 the greatest precedents as we handled these things  
25 one-by-one on an ad hoc basis.

38

1 Mr. Zwolinski is sitting behind Mr. Greeves over  
2 there, and Maine Yankee exercised its rights for a backfit  
3 review on certain Staff decisions, and Mr. Zwolinski's panel  
4 was quite critical of the Staff, and the Staff, in turn,  
5 argued with Mr. Zwolinski. But it's clear that we had some  
6 significant disagreement that needs to be worked through,  
7 and in public and in an open, transparent way.

8 My questions, let me just run through them--

9 COMMISSIONER MERRIFIELD: Commissioner?

10 COMMISSIONER MCGAFFIGAN: Yes?

11 COMMISSIONER MERRIFIELD: Just so it's a clear  
12 record, if I may state that I agree with Commissioner  
13 McGaffigan that this is an area which has engendered  
14 significant interest and input from the Commission, and one  
15 which I think we will need to continue to closely follow,  
16 given the significant nature and impact on the licensees and  
17 our Staff as we move forward.

18 COMMISSIONER MCGAFFIGAN: Let me just run through  
19 a series of what I think are bite-size questions:

20 Who is the independent contractor supporting your  
21 group?

22 MS. JACKSON: The independent technical review  
23 we're having done is done by many groups.

24 COMMISSIONER MCGAFFIGAN: By many groups? It's  
25 not a single contract?

39

1 MS. JACKSON: It's not a single contract and  
2 depends on their area of expertise. Then we went to  
3 different groups.

4 COMMISSIONER MCGAFFIGAN: The rule itself, you lay  
5 out a group of areas -- I think it is on Slide 13 --that the  
6 rule is going to cover, the comprehensive rule. And I will  
7 tell you that I'm not sure you have them all yet.

8 I mean, these happen to be the rulemakings that  
9 you had underway in one form or another, but things like  
10 fitness for duty come up that isn't on the list, but I think  
11 that it was promised at some point; that a technical error  
12 we may or may not have made back in '96 might be corrected  
13 in this rulemaking.

14 I don't know the process for tech-spec amendments.  
15 Maybe that's something that you just transpose over, but one  
16 of things that Oyster Creek was going to do before it  
17 decided that it's going to run and be sold, but they were  
18 going to come in for what they called Mode 7 tech-specs in  
19 advance of shutting down.

20 It would have been the first time that had been  
21 done, and it would have been an interesting experiment to  
22 have done it.

23 But I don't know whether the integrated  
24 decommissioning rule will deal with how one comes in and  
25 gets their decommissioning tech-specs ahead of time, so that

40

1 that process can be efficient.



2 Are there other things that you plan to cover in  
3 this integrated decommissioning rule?

4 MR. HUFFMAN: No.

5 On page 14, the second rulemaking effort, which is  
6 a longer-term effort, is where we had put in fitness for  
7 duty, addressing criteria for decommissioning tech-specs and  
8 other related things like quality assurance clarifications,  
9 what the quality assurance should be at decommissioning  
10 reactors.

11 COMMISSIONER MCGAFFIGAN: That's all in the  
12 longer-term?

13 MR. HUFFMAN: That's a longer-term effort.

14 COMMISSIONER MCGAFFIGAN: It's not that much  
15 longer-term, May 31st and July 2000.

16 MR. HUFFMAN: Longer term because it involves a  
17 significantly larger cross section of rules, and we felt  
18 that probably it would be more resource-intensive over the  
19 long term.

20 We wanted to get something out more quickly that  
21 addressed the near-term transition from operating to  
22 decommissioning reactors where there seemed to be some  
23 financial incentive on the part of the licensees to correct  
24 these five areas.

25 COMMISSIONER MCGAFFIGAN: But the Mode 7

41

1 tech-specs will continue to be done just as a normal license  
2 amendment under the current process? Is that how it's done?

3 MR. HUFFMAN: It is done as a license amendment.  
4 It comes in and is actually done on a case-by-case basis.

5 MR. RICHARDS: Again, the reason we picked these  
6 is that these are the ones that the industry typically  
7 presses for, because the most resource savings occur there.  
8 And then the others, we -- you know, we tried to prioritize  
9 this based on, basically, I think, the industry preferences.

10 COMMISSIONER MCGAFFIGAN: On the backfit piece of  
11 this, that's responsive to -- again, that wasn't one you  
12 were working on, but we have given you guidance that we do  
13 want to apply a backfit rule in this area. We told you to  
14 apply the current one, 5109, but it doesn't totally lend  
15 itself at times.

16 The plain English clearly didn't have  
17 decommissioning in total mind as it was drafted. So that's  
18 part of this process?

19 MR. RICHARDS: Yes.

20 COMMISSIONER MCGAFFIGAN: The technical analysis  
21 itself is going to be required. Whatever requirements you  
22 do put in in this rule, the technical analysis will have to  
23 support a backfit analysis associated with this rule.

24 When does CRGR get involved in terms of -- you  
25 know, whatever your technical results in, they're then going

42

1 to draft a rule and you're going to have requirements, you  
2 know.

3 CRGR will look at the requirements and decide  
4 whether they meet, I guess, the 5109 backfit test. Will  
5 they?

6 MR. HUFFMAN: Yes, that's true. The rulemaking  
7 process is very prescriptive, and when we propose a rule,  
8 we'll have regulatory analysis, backfit analysis, additional  
9 packages to support the rulemaking.

10 And as the review of that proposal goes through  
11 the process defined by our procedures, administrative  
12 procedures, CRGR, we'll be involved, as well as the ACRS.

13 COMMISSIONER MCGAFFIGAN: That's another thing.  
14 The technical analysis, as I understand it, is going to make  
15 judgments as to what -- how safe is safe enough, what the  
16 risk is, the zirc fire.

17 In the backfit analysis, you'll do for the rule,  
18 that will be another place where your analysis could be  
19 challenged.

20 If individuals do not agree with the analysis -- I  
21 remember that the shutdown rule was a classic case where  
22 there was a wide range of views as to what the benefit of a  
23 shutdown rule was, and that got adjudicated later in the  
24 rulemaking. Indeed, I guess that on the second proposed  
25 rule, we finally decided we wouldn't do a shutdown rule,

43

1 based on analysis that we had later.

2 MR. HUFFMAN: I think that when you get into the  
3 --you get down the road a ways, I think you could probably  
4 make the argument that changing these requirements and  
5 requiring the plants to do a few things that they're not  
6 doing right now, are not going to pass muster with the  
7 backfit.

8 But I think our view is that we're going to  
9 repackage this and offer it up to the utilities saying,  
10 well, you know, here's a package deal that if you meet  
11 certain requirements, you can get certain relief without  
12 coming in with exemption requests, or you can do business  
13 with us as a Part 50 licensee as people are doing now, which  
14 is resource-intensive, and those are your two options.

15 And in that way we wouldn't backfit these new  
16 requirements on licensees, though they would always have the  
17 option.

18 COMMISSIONER MCGAFFIGAN: This is a fairly  
19 important point. This rule would probably be a voluntary  
20 rule? Is it sort of like risk-informed regulation?

21 MR. HUFFMAN: Unless we can come up with a sound  
22 basis to require them to do it -- and I'm having trouble  
23 imagining that -- but I think there is a lot of incentive  
24 for people to go to the straight-line rule, rather than  
25 trying to provide a lot of correspondence back and forth

44

1 with us on a case-by-case basis.

2 COMMISSIONER MCGAFFIGAN: On the human reliability  
3 item I know that there has been some progress made. The  
4 Staff today sent us this August 19th paper that had been  
5 sent out for public comment, but I do want to note that I  
6 think there was concern from the July discussions that we  
7 were making very conservative assumptions. That one comes  
8 particularly to mind and it is easier for a layman like  
9 myself to try to grapple with how conservative the  
10 assumptions were, but I hope that we are making some  
11 progress in rationalizing because I don't think any sort of  
12 risk analysis starts always with the worst or the  
13 ultra-worst case and chooses all the parameters out there,  
14 but I think it is clear from the August 19th paper that you  
15 are soliciting views.

16 I will ask the industry later. I will warn them  
17 why they have not commented on the August 19th paper, which  
18 was put out for comment. I can see that lots of folks were  
19 copied on it, and as I understand it you didn't receive  
20 external comments from industry or other stakeholders on i  
21 t.

22 MS. JACKSON: Yes, no technical comments.

23 MR. RICHARDS: One other point, Commissioner, I  
24 would like to mention that the Office of Research is also an

25 organization inside the NRC that is providing us some

45

1 independent review and I believe they have some comments on  
2 that paper. Is that right, Diane?

3 MS. JACKSON: Yes. One of our human reliability  
4 experts that I mentioned came through the Office of  
5 Research. It was a consultant who said they had provided us  
6 input.

7 COMMISSIONER MCGAFFIGAN: There is one last  
8 question and it is real short and I think the answer is  
9 going to be no, but I will just ask.

10 Is there any help we can get from any other  
11 foreign regulator who is going through this process or are  
12 we ahead of them? You know, because people are  
13 decommissioning reactors in Europe and I don't know whether  
14 they are as rule-focused as the American jurisprudence,  
15 thanks to all these lawyers we have got here, or they just  
16 do it on a case-by-case basis and ad hoc it and get it done  
17 but other -- are we aware of anybody who has gone through  
18 this in France, Germany, Britain, et cetera, that could give  
19 us any help?

20 MR. GREEVES: We have met with them on occasion  
21 but I don't think they are as far along as we are and it is  
22 really different country to country, so I don't have  
23 anything I could feed back to you specifically.

24 I think lots of them are watching us.

25 COMMISSIONER MCGAFFIGAN: That is the answer you

46

1 gave John about four months ago when I asked about West  
2 Valley and what if anything the British had to teach us at  
3 Dunbury and your answer was no --

4 MR. GREEVES: -- sent you the same answer in  
5 writing.

6 CHAIRMAN MESERVE: Commissioner Merrifield.

7 COMMISSIONER MERRIFIELD: First of all, I would  
8 like to thank the Staff for responding relatively quickly to  
9 my imploration. They addressed the cask issues.

10 I want to start off I think it is my understanding  
11 that the reason we pursued limited certifications really  
12 results from an immediate need on the part of the operating  
13 fleet of reactors for certified casks and our inability for  
14 resource and Staff purposes to resolve a lot of the  
15 difficult technical matters in a timeframe that met the  
16 industry's cask needs as it relates to these decommissioning  
17 reactors.

18 In effect, it seems to me we were doing triage,  
19 that we had a variety of reasons we had to deal with cask  
20 issues and we were getting requests from industry and from  
21 NEI to resolve a variety of them.

22 We took the most significant one first, and put  
23 our resources there and then were going to continue to  
24 resolve other issues in a timely manner.

25 Is that a wrong impression on my part?

47

1 MR. KANE: No, that's correct. I think one good  
2 example of that would be perhaps the first application we  
3 had in for review, which had a very broad scope. In fact,  
4 it would have been, the original application would have been  
5 scoped to really handle any site in the United States.

6 It turns out that there were some difficulties  
7 with the seismic portion of the application, being able to  
8 justify that on a safety basis. In conjunction with some of  
9 the utility users of that application, it was elected after

10 discussions with us they elected to reduce the scope of the  
11 application so it could be certified in a timeframe that was  
12 consistent with the actual users so that they could address  
13 their full core offload issues.

14 That is an example of how you may start off with a  
15 very broad certification and end up with a somewhat narrow  
16 one.

17 I will tell you that part of that was driven by  
18 the schedules. We established schedules to almost in effect  
19 cut the time in half for the review of one of these  
20 applications, and it had very tight timeframes for responses  
21 to this sort of request for additional information and when  
22 we got near the end we had to make decisions on certain  
23 areas. We elected to certify what was in effect certifiable  
24 at that point and then move on to other designs.

25 The difficulty of spending long periods of time

48

1 with one vendor's application meant that we were in effect  
2 penalizing some other vendors that were in the pipeline so  
3 we did the best to make sure that we treated all the vendors  
4 fairly. We addressed what we understood to be all the  
5 full-core offload requirements fairly and I believe the  
6 record will show that we did.

7 COMMISSIONER MERRIFIELD: In your slides NEI's  
8 presentation emphasizes the need for the NRC to resolve  
9 generic issues associated with the cask certifications.

10 Is there a common and clear understanding between  
11 industry and the Staff and stakeholders as to what these  
12 issues are and our projected timeframe for resolving them?

13 MR. KANE: Well, I believe that there are two  
14 things. In fact, we met the other day on this subject --  
15 last Thursday I believe -- and it was clear at that meeting  
16 that there needed to be a real clear understanding in terms  
17 of what was the top priority. I believe it is well-known  
18 what the Staff is working on for the generic issues, but I  
19 believe we could do a better job in terms of holding an  
20 additional meeting or two to make sure that the work is  
21 prioritized consistent with what the industry's needs are.

22 I believe -- I am not suggesting that I think it  
23 is right now, but I think we need to make very clear that  
24 that is the case.

25 Another thing that we concluded was that we need

49

1 to lay out in a public way all of the generic issues that we  
2 are working on so that that is -- and the projected schedule  
3 for resolution so that information will be available to all  
4 the vendors and all the utilities.

5 COMMISSIONER MERRIFIELD: NEI has also raised  
6 concerns about, and I think other Commissioners have touched  
7 upon it, the inappropriate conservativeness in our approach  
8 as it relates to human reliability, heavy loads, the spent  
9 fuel heatup rates, and what they perceive is a bias towards  
10 the upper bound.

11 Do you believe our follow activities are  
12 responsive to these requests?

13 MR. KANE: Well, we believe so. Of course NEI may  
14 address that area as well. I think in the area of burnup  
15 credit, which a year or so ago was a very conservative  
16 position because it just gave no credit at all. We  
17 subsequently have issued interim Staff guidance which does  
18 give credit and that position is now out and before the  
19 vendors. I know that -- I am told that at least -- that  
20 several are now planning to take advantage of it but that  
21 remains to be seen.

22 That will of course result in further amendments  
23 to their cask designs.  
24 MR. RICHARDS: Commissioner, you mentioned seismic  
25 heavy loads.

50

1 COMMISSIONER MERRIFIELD: Right.  
2 MR. RICHARDS: And human reliability.  
3 COMMISSIONER MERRIFIELD: Right.  
4 MR. RICHARDS: And it sounds like R-3 -- is that  
5 being addressed to the cask issue --  
6 COMMISSIONER MERRIFIELD: No.  
7 MR. RICHARDS: -- or the broader issue?  
8 COMMISSIONER MERRIFIELD: No, you can address that  
9 separately.  
10 MR. RICHARDS: I think we are making progress in  
11 that we have been in communication with the industry. They  
12 provided a seismic checklist that we discussed at our July  
13 workshop and that has been reviewed.

14 The Human Reliability document is out. They  
15 provided us their input in the form of the Aaron Report, is  
16 that right, Diane?

17 MS. JACKSON: Well, the Human Reliability didn't  
18 respond to our Human Reliability. The Aaron Report came in  
19 before that.

20 COMMISSIONER MERRIFIELD: But after the workshop  
21 they provided us some information and we have I believe  
22 factored that in or are factoring that in.

23 MS. JACKSON: As much as we can, yes. Some of the  
24 things in the Aaron Report NEI said isn't -- are more  
25 observations by Aaron than commitments by industry, so we

51

1 are getting a clarification from industry any time now on  
2 what their commitments will be based on the workshop and the  
3 Aaron Report.

4 COMMISSIONER MERRIFIELD: And likewise in the area  
5 of heavy loads, of course that was addressed by and large  
6 previously under NUREG-0612. The industry has said, hey, we  
7 are going to commit to do what 0612 says. Like Diane  
8 mentioned, I think that the industry came to our July  
9 workshop with a number of commitments. It is on a  
10 transcript, but to make sure everything is clear they were  
11 going to provide us their commitments in writing in a letter  
12 on the docket, and I think they were preparing that and we  
13 are waiting for that.

14 But we are getting information on all three issues  
15 and it is being factored in. I might also note that we are  
16 getting information from our other stakeholders and it has  
17 caused us to do additional work such as in the area of  
18 criticality so it is, you know, it is from more than just  
19 the industry.

20 COMMISSIONER MERRIFIELD: My last question in  
21 light of getting input from other sources, in my vote in  
22 99-168 I expressed the view that the Technical Working  
23 Groups' report could benefit from the independent technical  
24 review by ACRS. I am particularly interested in the issues  
25 associated with the realism of the assumptions made by the

52

1 Staff in their analyses

2 Can you explain for me a little bit where you are  
3 in terms of the ACRS review of the Technical Working Group  
4 report?

5 MR. RICHARDS: We, or I should say Diane, made a  
6 presentation to the ACRS on Friday. They were provided with

7 four or five inches worth of material in preparation for  
8 that meeting, so they were provided quite a bit. We  
9 understand that they have a letter in draft back to the  
10 Commission with their views on the Staff's effort. Did they  
11 ask for additional information? I don't recollect.

12 MS. JACKSON: No, they haven't. Are you  
13 interested in the ACRS's opinion of the presentation? No?  
14 Because --

15 COMMISSIONER MERRIFIELD: What I was looking more  
16 for was just for you to explain to me sort of the plan of  
17 working with ACRS, so we could get those results. I didn't  
18 want to go into the detail of what they are going to be  
19 reporting on.

20 MR. RICHARDS: I think we are at their beck and  
21 call. They had a number of questions and things that the  
22 Staff and Diane --

23 DR. TRAVERS: We are looking forward to getting  
24 their letter, Commissioner, and we understand, we have some  
25 preliminary indication as to what it is going to contain,

53

1 largely supportive, we believe, of the positions that in  
2 draft were presented yesterday but as was mentioned we are  
3 going to continue to keep them apprised and to get the  
4 benefit of their thinking.

5 COMMISSIONER MERRIFIELD: Good.

6 MS. JACKSON: At the end of the ACRS meeting we  
7 did have a short discussion with them to perhaps meet with  
8 the subcommittees and then meet again with the full  
9 committee at their discretion.

10 COMMISSIONER MCGAFFIGAN: Could I just ask one  
11 question, a short one --

12 CHAIRMAN MESERVE: Sure.

13 COMMISSIONER MCGAFFIGAN: It's really on the ACRS  
14 process.

15 Did you tell the ACRS more on Friday than you told  
16 us today as to how you are going to resolve these technical  
17 issues, you know, the human reliability, the heavy loads,  
18 and whatever the third -- seismic. I mean for this January  
19 thing, report, you already have draft conclusions and --

20 MS. JACKSON: No. We went more into the technical  
21 detail of the history of it and what we were doing. Right  
22 now we don't have any results. We didn't give results to  
23 the ACRS that we are not giving to you.

24 COMMISSIONER MCGAFFIGAN: Okay, that's fine.

25 MS. JACKSON: We don't have any of those results

54

1 yet.

2 MR. RICHARDS: Their line of questioning is  
3 somewhat different though.

4 MS. JACKSON: Yes, they did dive deeper into many  
5 of the technical areas. This is the first time the ACRS had  
6 heard from the Technical Working Group so a lot of the  
7 preliminary work we did was discussed.

8 COMMISSIONER MCGAFFIGAN: I honestly think that  
9 the Commission today is holding off in going into the  
10 technical areas because we are waiting to see what has  
11 happened. We are quite capable of raking you over the coals  
12 too, if the ACRS hasn't --

13 [Laughter.]

14 COMMISSIONER MCGAFFIGAN: -- hasn't done it well  
15 enough.

16 MS. JACKSON: I think they did a pretty good job.

17 CHAIRMAN MESERVE: We have another panel but Mr.  
18 Diaz has asked if he could have one final question.

19 COMMISSIONER DIAZ: It is going back to the issue  
20 of the genesis of the sound technical basis. I think it is  
21 obvious that everybody knows that we have spent fuel pools  
22 from California to Connecticut and many of them have been  
23 there. When Commissioner McGaffigan said that we need to  
24 have a very good technical process, it obviously is no  
25 doubt.

55

1 My question is an issue of management of technical  
2 issues. This is an issue the Commission has been facing for  
3 a long time -- shouldn't we have sufficient technical basis  
4 so when the issues arise they can quickly address it, and  
5 that was really the point of the question before. It is not  
6 something that is new to us.

7 Configuration management is different. The  
8 technical basis to make decisions and analysis has and  
9 should be there.

10 MS. JACKSON: I think when we were doing  
11 case-by-case we had sufficient technical bases for each  
12 plant. They were not risk informed bases, so going back now  
13 to look at risk informed and generic application of our  
14 bases has given us the reason to step back and look more  
15 closely at it to make sure that we are not missing a large  
16 chunk of the plants and that is what has taken us the extra  
17 time is we are not going purely by when does a zirconium  
18 fire never happen anymore. We are looking at what is the  
19 risk in that timeframe and when are we comfortable in a  
20 regulatory arena to reduce those regulations and that has  
21 given us cause to think more about the issue and the  
22 technical bases.

23 CHAIRMAN MESERVE: I would like to thank the Staff  
24 very much. It is clear that we are going to have some  
25 further discussions on this subject. I look forward to it.

56

1 We have another panel that should come to the  
2 table now.

3 CHAIRMAN MESERVE: We have been joined by Ray  
4 Shadis of the New England Coalition on Nuclear Pollution,  
5 also Friends of the Coast, a part of the coast that I am  
6 particularly fond of, namely Maine; Paul Blanch is an energy  
7 consultant; David Stewart-Smith, who is the administrator  
8 for the Energy Resources Division of the Office of Energy in  
9 the State of Oregon; Lynette Hendricks, who is Director of  
10 Plant Support for NEI; and Mike Meisner, who is Chairman of  
11 NEI's Decommissioning Working Group and is President of  
12 Maine Yankee.

13 We have limited time this afternoon, and so I  
14 would like to give each of you an opportunity to make a  
15 statement. I would ask that you try to keep them in the  
16 order of five to ten minutes, absolute maximum, so that  
17 there will be an opportunity for questions.

18 Ray Shadis, you are first.

19 MR. SHADIS: Thanks for the opportunity to speak  
20 with you this afternoon. I need to first address an issue  
21 raised by Commissioner Merrifield, and it has to do with  
22 getting materials in on time. The materials that I provided  
23 were not provided until this morning and I apologize for  
24 that. We have my mother-in-law, who has been a mother to  
25 me, on her deathbed, and we have had hearings to deal with

57

1 this week, and it just plain got ahead of us, so I mention  
2 that by way of introducing the "human factor" into all this.

3 I have had conversations with nuclear utility

4 executives from Illinois, from Michigan and Connecticut and  
5 Maine, and all of them have expressed surprise that the  
6 public's attention seems heightened or more focused over  
7 decommissioning than when they were running and operating  
8 nuclear power stations and they wonder why that is, and I  
9 think I might have some insights for you on that.

10 When Maine Yankee Atomic Power Company undertook  
11 its site characterization and hired GTS Duratech and GTS  
12 Duratech did a background paper as a preliminary to their  
13 report, in it they laid out something that I hadn't  
14 considered before. They said in the 23-year plus existence  
15 of Maine Yankee Atomic Power Station that it had undergone  
16 14 full power years of operation, capacity factor in the 68  
17 percent range or something like that.

18 In that same week we were told that the most  
19 optimistic date for the first spent fuel pickup from the  
20 Department of Energy was the year 2023 and what I saw it as  
21 was a tradeoff of, optimistically, 25 years of surveillance  
22 and concern over stored spent fuel to 14 full power years of  
23 reactor operation.

24 I think that in speaking to people throughout the  
25 New England region I find that they are wondering what was

58

1 the value of the experience in hosting a nuclear power  
2 station now that they are faced with spent fuel storage with  
3 no terminus in sight. No one that I have spoken to in the  
4 industry or in public advocacy groups or even in the state  
5 governments believes that the Department of Energy is going  
6 to come and start moving fuel in the year 2023, and even if  
7 they do, their round-robin schedule stretches that fuel  
8 pickup out another ten years or so by the time they get rid  
9 of all of it.

10 I believe they start with the oldest fuel first,  
11 go to the next plant, pick up some fuel, so they stretch the  
12 whole process out, and so even in the most conservative  
13 view, we are looking at trading off a commitment for another  
14 couple of generations of our people to maintain surveillance  
15 on nuclear materials which no one denies are harmful or  
16 could cause harm to the public or the environment if they  
17 escape from their packages.

18 So, yes, people's attention is focused on what is  
19 going on. In addition to that, we have -- and I guess I am  
20 in the mood for it this week -- we have a kind of final  
21 state awareness. We are wondering what we are going to be  
22 left with. The big questions, now that they are tearing  
23 apart radioactive components, now that the spent fuel pool  
24 is being isolated, the big questions are is there going to  
25 be harm come to the public or the environment out of

59

1 decommissioning?

2 Finally, what is the legacy in terms of  
3 radioactive pollution from the plant itself?

4 And people don't necessarily express it in those  
5 terms, but in broad generalities that is where their concern  
6 is, and so, yes, their attention is focused.

7 In preparing for this, and believe it or not I  
8 actually did prepare for this talk, I reviewed Mr. Huffman's  
9 outline of goals, and one of those goals was to secure  
10 public confidence in decommissioning regulation. If I go  
11 back and try to explain to our constituency across New  
12 England what you are doing with decommissioning regulation,  
13 I would have to characterize it in plain Anglo-Saxon  
14 everyday street terms. I wouldn't be able to put it in the  
15 technical terms and niceties that I have heard discussed



16 here earlier. I would have to say that the Commission is  
17 not prepared for decommissioning, that their rules don't  
18 apply, that now that we have started to decommission four  
19 New England reactors, the Commission is considering writing  
20 some rules about it.

21 We have, on one hand, a Staff that is diligently  
22 trying to pursue some of the basic information. We have a  
23 nuclear industry that is very antsy about getting this  
24 operation moving. We have an NRC management that is pushing  
25 the Staff to accommodate the industry and at this point we

60

1 don't know some of the basics.

2 Now there are burdens. Of course there are. I  
3 noticed that Oyster Creek was mentioned earlier, that they  
4 had actually tried to step in ahead of the game and provide  
5 some of the information and analysis that would be necessary  
6 to get their exemptions before they actually started  
7 decommissioning. That would be Jim Hildebrand down at  
8 Oyster Creek, and I think that he learned his  
9 decommissioning lessons at the Saxon plant and having spoken  
10 to him in the past I know that he, like the rest of us, is  
11 looking for some certainty in this, and I think the nuclear  
12 industry is looking for certainty to move forward.

13 I know that the public is. The public would like  
14 to know with certainty what the window is for vulnerability  
15 for a zirc fire or for any other phenomenon. We would like  
16 very much not to have a resin filter fire at Maine Yankee.  
17 We are sure that the offsite consequences would not trigger  
18 Part 100, the emergency response, or any of the rest of  
19 that, but we don't know that for sure, and we certainly  
20 would like not to have any workers exposed and we would like  
21 not to have the environment itself exposed.

22 If nuclear power stations are going to be using  
23 caustic and corrosive washes to clean out their primary  
24 piping, we would like to make sure that the valves in the  
25 plant are not misaligned so that that caustic scrub or

61

1 corrosive scrub doesn't go overboard into public waters or  
2 doesn't get flushed back into the spent fuel pool, and we  
3 are looking to the Commission to pursue those interests.

4 I was appalled in listening to the conversation  
5 earlier, and this may be my own prejudiced way of listening,  
6 but what I heard was a lot of concern with getting the  
7 process moving with the calendar, with whether or not the  
8 Staff was indulging in esoteric investigations that really  
9 had nothing to do with the practical matter of getting a  
10 rule out so that we could get on with decommissioning, and I  
11 can tell you that if I take that message back to the public,  
12 their confidence in NRC regulation is going to decrease. It  
13 is not going to increase.

14 One last point I would like to make, and I think  
15 this is very, very important to us. Out in the public in  
16 general members of the public, and when I talk about public  
17 I am not talking about those that are totally unaware of  
18 anything that is going on. I am talking about people who  
19 live in the plant vicinity of the decommissioning plant or  
20 people who are engaged in nuclear safety issues or  
21 environmental issues -- that would be the public, an aware  
22 public, that I am talking about.

23 They are not impressed by the tweaking of  
24 regulations. I mean if you can have all of this going on  
25 and you can involve stakeholders and the public is going to

62

1 be generally oblivious to it, and they are not going to  
2 be speaking in terms of admiration for NRC over it. The  
3 thing that impresses the public are the people that you send  
4 out to the public meetings, the people that provide the face  
5 of the Nuclear Regulatory Commission -- a group meeting to  
6 NRC staff interface. And I would like to report to you that  
7 the public is favorably impressed and that they are building  
8 confidence, your staff members, in decommissioning  
9 regulation; but, they're not.

10 I think some part of the resources of NRC need to  
11 go into training staff people to respond to public questions  
12 with total candor and with openness and without a fear that  
13 when they get back to NRC headquarters, they're going to be  
14 chastised for whatever they let out in public. Because what  
15 we find, is we find two things, really: on one hand, we  
16 find a defensiveness and an evasiveness in responding to  
17 public questions from NRC staffers who are out there; and  
18 the other thing they find is that we find NRC staffers, who  
19 are totally not familiar with the subject matter they're  
20 being asked about, putting out answers. We find them  
21 essentially misinforming the public based on their own lack  
22 of knowledge. I don't think there is any malcontent there,  
23 but they're on the spot; they're not used to confronting a  
24 hostile or inquisitive public and they present that face to  
25 them.

63

1 Let me just end by telling you that we've got a  
2 14-page commentary here and an outline, so sorry you didn't  
3 get it earlier last week, but we do raise some technical  
4 issues. We're not technical people. We're people people.  
5 But, I wish that the Commissioners, as you have the  
6 opportunity to look through those, if there are questions  
7 about the accuracy of our statements or the validity of our  
8 viewpoints or the issues we're trying to raise, please don't  
9 put them away. Please get in touch with us and we'll be  
10 glad to respond; we'll be glad to provide backup  
11 documentation, whatever it takes to communicate with you.  
12 And if you have any questions, I'm wide open.

13 COMMISSIONER MESERVE: Thank you, very much, Mr.  
14 Shadis. What I suggest we do is that we go through each of  
15 the statements to give everyone an opportunity to speak and  
16 then we'll return for comments. Let me indicate that I do  
17 appreciate your observation about the need for training the  
18 staff to deal in the public context.

19 We're going to have a Commission meeting tomorrow,  
20 in which we're meeting with stakeholders, a particular  
21 concern on materials issues. And the staff, in preparing  
22 for that, has sort of looked through what they've learned  
23 about their interactions in that area and that is one of the  
24 lessons that they've learned, is that there is a need to  
25 make sure that the staff is prepared for knowing how to deal

64

1 with the public and to be candid with the public and being  
2 trained for that purpose. Those resonate with an  
3 observation that the staff has, itself, learned from its  
4 experiences in a related area.

5 Mr. Blanch?

6 MR. BLANCH: Thank you, Chairman, Commissioners.  
7 For those of you who don't me, my name is Paul Blanch,  
8 titled as an energy consultant, and I would just like to  
9 make it clear that any comments that I offer today are those  
10 comments do not reflect the opinions of -- necessarily  
11 reflect the opinions of other people, either licensees or  
12 members of the public.

13 Over the past two weeks, I've had the opportunity  
14 to visit four decommissioning plants in New England: Main  
15 Yankee, Yankee Rowe, Connecticut Yankee, and, obviously,  
16 Millstone. What I've observed over the past two weeks is  
17 that all licensees are doing a very good job, but each one  
18 is doing it differently. Many are going beyond the  
19 regulations, but they are all using good practices.

20 Over the past two years, I've worked with the NRC  
21 staff at all levels on various decommissioning and other  
22 issues. I'd like to start with slide two. Again, I have 11  
23 slides and 10 minutes, but I can do it. I've made the  
24 presentation before the ACRS last Friday. I'm very  
25 supportive of the NRC's key messages, especially that

65

1 related to enhancing public confidence. But, we, also, got  
2 to keep in mind maintaining safety, improving effectiveness  
3 and efficiency, and reducing unnecessary regulatory burden.

4 Earlier this year, I had an opportunity to review  
5 SECY-99-168 and provided my formal comments in writing. I  
6 believe it was in August or September. That is available to  
7 the Commission. SECY-99-168 basically provides a five-year  
8 schedule for rulemaking. However, there are additional  
9 issues that need to be addressed. Additional guidance will  
10 assist the decommissioning plants in estimating their total  
11 decommissioning cost and schedules.

12 There are significant issues that are not  
13 presently addressed in the proposed SEC-99-168. For  
14 instance, the site remediation criteria: while from a  
15 purely standpoint, I find it acceptable either the EPA's  
16 criteria or the NRC's criteria. I believe, my personal  
17 opinion, that either one of them provides reasonable  
18 assurance and reasonable assurance to the public that there  
19 will be no undue risk. Some of the issues that are not  
20 properly, in my opinion, addressed SECY-99-168 are what  
21 design basis accidents do we need to consider; also, how do  
22 we apply 10 CFR Part 50, which is designed primarily for  
23 operating power plants and doesn't even, within the context  
24 of Part 50, with the exception of the general design  
25 criteria, doesn't even discuss the long-term storage of

66

1 high-level waste. The rules for the long-term storage of  
2 high-level waste are clearly outlined in 10 CFR Part 72,  
3 which has been given a lot of thought through the rulemaking  
4 process many years ago.

5 We need for the plants that are presently  
6 decommissioning consistent application of existing  
7 regulations. Observing some of the plants -- and, again,  
8 Commission McGaffigan mentioned before fitness for duty, and  
9 there are different opinions on the applicability of fitness  
10 for duty. 10 CFR Part 26 is being applied to some plants  
11 and industrial safety fitness for duty programs applied at  
12 other plants. And I think this needs to be considered,  
13 whether we need to go to a full Part 26 fitness for duty  
14 program or not for an industrial site. Quality assurance  
15 requirements differ from site to site, emergency planning,  
16 fire protection, codes and standards. Right now, the  
17 industry -- the decommissioning industry is being regulated  
18 by exemption to Part 50. There is a document out there,  
19 titled NUREG 64.51, that does provide some reasonable  
20 guidance on what regulation should apply during the  
21 decommissioning process.

22 We have competing and conflicting regulatory  
23 mandates that need to be resolved. We have, as I mentioned

24 before, the EPA versus NRC remediation requirements, needs  
25 to be resolved and needs to be resolved quickly. The issue

67

1 of onsite disposal of clean waste needs clarification,  
2 commonly referred to as rubblization. And, again, carrying  
3 that a little bit further, the NRC and the EPA need to  
4 resolve or specify the total activity and/or average allowed  
5 concentration of radioactive material that can be left on  
6 site. I think most of the Commissioners are aware that  
7 neither the EPA nor the NRC specify anything other than the  
8 dose of 25 millirem or 15 millirem per year three feet above  
9 the ground. Again, you can bury high-level waste, like they  
10 have out at Hanford with the disposal of the Trojan reactor  
11 vessel, and if you bury it deep enough, you can still meet  
12 the 25 or 15 millirem. My understanding of the regulations,  
13 that is not properly addressed. Not that anyone has any  
14 plans for burying a reactor vessel on site, but there are no  
15 rules that I've seen that preclude it.

16 Rules for long-term storage of high-level waste,  
17 which were, I mentioned before, discussed in 10 CFR Part 22,  
18 there's both the general and the site specific license for  
19 Part 72. About half of the plants have a site specific  
20 license, such as Trojan, Fort St. Vrain; and the other half  
21 are still applying the general license, such as Haddam Neck,  
22 Main Yankee, Yankee Rowe, Point Beach in Arkansas. I think  
23 it's not appropriate for a plant to continue the storage of  
24 high-level waste under a Part 50 license, as Mr. Shadis  
25 said, until the year 2023, where the reactor vessel could be

68

1 gone, the reactor containment could be gone, and all that's  
2 left is dry cask storage under a Part 50 with a general  
3 license.

4 Part 50, again, does not properly address  
5 high-level waste. And some licensees are applying certain  
6 sections of Part 72 and Part 50, almost a pick and choose  
7 type of regulation and regulation by exemption. Again, as I  
8 mentioned before, in my opinion, 10 CFR Part 72, the site  
9 specific license, is what decommissioning plants should  
10 eventually be striving to reach. The general license, the  
11 Part 72, subpart K, my understanding, was only intended for  
12 operating power plants, those sites that had a complete 10  
13 CFR Part 50 license and, yet, wanted to store high-level  
14 waste using dry casks. That may be acceptable, if they have  
15 operating plants and just want to store high-level waste  
16 using dry cask on site under a Part 50 license with a Part  
17 72 general license.

18 All design basis accidents need to be addressed.  
19 They need to be risk informed. They must consider zirconium  
20 fire, as they are properly addressing. They need to address  
21 other issues, such as the potential criticality. And,  
22 again, after the recent event in Japan, this is becoming a  
23 more visible issue. I've asked the NRC staff -- and,  
24 obviously, I don't think that we properly looked at the  
25 potential for criticality, either from a risk-based

69

1 approach. We don't even know what the consequences of a  
2 potential criticality would be in the spent fuel pool, at  
3 least not that I've seen. We need to address other  
4 potential accidents or openly state that we're not going to  
5 address them. Sabotage, obviously, is an accident that is  
6 rarely discussed, although it interestingly enough is  
7 discussed in detail in Part 72.

8 My overall recommendations for the Commission is  
9 that we need to provide interim guidance for decommissioning

10 and, again, what's out there now is the NUREG 64.51. The  
11 Commission needs to direct the staff to proceed with  
12 rulemaking on an accelerate schedule. The Commission needs  
13 and the staff need to apply the site specific requirements  
14 of 10 CFR 72 to decommissioning plants. We need to evaluate  
15 all potential accidents, establish clear site remediation  
16 criteria. We need to assure consistency and predictability  
17 and work closely with all stakeholders to enhance public  
18 confidence.

19 That concludes my brief presentation and I would  
20 be more than willing to respond to questions after the rest  
21 of the panel has a chance. Thank you.

22 COMMISSIONER MESERVE: Thank you, very much. The  
23 next statement is by David Stewart-Smith from Oregon.

24 MR. STEWART-SMITH: Thank you, Chairman,  
25 Commissioners. Thank you for the opportunity to be here

70

1 today. My name is Dave Stewart-Smith. I serve as the  
2 Executive Secretary to Oregon's Energy Facility Siting  
3 Counsel, a seven-member citizen commission charged with  
4 siting and regulating large energy facilities. Since 1989,  
5 I've, also, served as Oregon governor's liaison to the NRC.  
6 I have 25 years experience with the State of Oregon, the  
7 first 11 of which were with Oregon's Agreement State  
8 Program. So, my familiarity with the NRC goes back a ways.

9 Oregon's authority for the siting and regulation  
10 of large thermo power plants was established in 1971,  
11 expanded in 1975. My staff provides staff support for that  
12 citizen commission. We maintain a resident inspector at the  
13 Trojan facility. The State Resident Program was established  
14 in 1980 and was driven by our conclusion after the TMI  
15 accident, that in order to effectively respond to an  
16 accident, the governor of the State of Oregon must not only  
17 have staff expertise at his or her disposal, but staff that  
18 knows the plant and has unrestricted access to all critical  
19 areas. We signed the MOU with the NRC in 1980 and I believe  
20 we have a history of consistently trying to work closely  
21 with the NRC staff.

22 I believe the staff is on the right track with the  
23 decommissioning rules. Our own experience, beginning in  
24 1993 when Trojan closed, was that there was a great deal of  
25 effort put into licensing review and deciding one rule at a

71

1 time what regulatory requirements ought to be. That took a  
2 fair amount of time, not only of the NRC, but the licensee  
3 and my staff, to stay on top of it.

4 I believe that a separate part in Title 10 is an  
5 appropriate way to structure those rules. I understand it  
6 will take a fair amount of time. I have a lot of rulemaking  
7 experience, myself, and I never look forward to large  
8 rulemaking efforts; but, I think in this case, there's good  
9 justification.

10 In Trojan's case, it was a particularly unsettled  
11 time. The folks on site thought they had six more years of  
12 operation of that plant, when it was announced to be closed.  
13 PG&E; immediately laid off all contract support and began to  
14 lay off permanent staff, in such an unsettled time. I think  
15 the argument for very clear requirements for decommissioning  
16 are particularly well taken. The staff proposal would go a  
17 long ways to remove some of the uncertainty.

18 Would you go to my last slide, please,  
19 observations? Just a few observations, based on reading the  
20 staff presentation. The emergency plan for -- the

21 permanently defueled emergency plan at Trojan is not based  
22 on a spent fuel pool accident. It was based on a postulated  
23 fire in low-level waste storage facility. The company  
24 proposed that that was the only -- or the most significant  
25 possible event that could get radioactive material off site.

72

1 My staff agreed with that. I believe that putting a  
2 considerable amount of staff analytical time into spent fuel  
3 accident scenarios is appropriate, but it may not be the  
4 only source of post-shutdown off-site risk. In addition to  
5 that, with so much uncertainty nationwide over low-level  
6 waste disposal capacity, I think taking a look at a plant  
7 possibly being forced to store a significant amount of  
8 low-level waste on site, if they get into decommissioning  
9 and lose disposal capacity in mid stream, is a realistic  
10 scenario.

11 The State of Oregon reviewed and approved Trojan's  
12 decommissioning plan. I believe that having a state  
13 regulatory presence provided the Oregon public with a local  
14 opportunity and a local presence to review and comment over  
15 an extended period of time. Your licensees know your review  
16 process; they have to know it. But for the public, your  
17 review process, my formal review process, can be a daunting  
18 one to participate in. And I believe that having state  
19 staff and having a state program intimately involved in the  
20 review of that decommissioning plan provided a public  
21 opportunity that was useful.

22 The NRC, I'd like to say, have been very helpful  
23 in answering our request for consultative information and on  
24 several occasions, to appear before my citizen commission.  
25 That's always appreciated. I realize we're a long ways off

73

1 NRC's beaten path, but the staff have always been willing to  
2 come out and talk to us and I believe that's made a big  
3 difference.

4 Having seven citizens review -- citizen  
5 volunteers, by the way, review and approve the  
6 decommissioning plan gave Oregon citizens, I believe, a more  
7 effective access. And I think it's one of the reasons why  
8 decommissioning at the Trojan facility has gone quite  
9 smoothly, including, as has been mentioned a couple of times  
10 this afternoon, the one piece removal and burial of the  
11 Trojan reactor vessel.

12 And my last point, let me segue into that reactor  
13 vessel issue. Let me argue that the rules that you  
14 establish retain a degree of flexibility. I think there's a  
15 lot yet to be learned about decommissioning large power  
16 stations. PG&E; proposed one piece reactor vessel removal,  
17 after initially proposing segmentation of the reactor vessel  
18 and shipping to our regional radioactive waste disposal site  
19 in numerous shipments. The NRC staff's initial response,  
20 frankly, was to discourage their request.

21 I was convinced, at the time, that the idea had  
22 merit and deserved, at a minimum, a thorough going over,  
23 particularly given Trojan's relatively unique access by  
24 river barge to our disposal site in the Pacific northwest.  
25 I took on an unusual and, for me, somewhat uncomfortable

74

1 role then of becoming an advocate for mine and your  
2 licensee's proposal. I made an appointment to talk with NRC  
3 management here. And after I did so, the proposal did get a  
4 fair hearing and, obviously, it was approved. Let me  
5 observe, however, that I was left with the impression that  
6 the initial staff response was driven by the desire to stay

7 away from a new idea that might result in criticism. I  
8 think that's a natural response. It's a human response.  
9 But, I think it may be a response that, if in the past, new  
10 ideas have resulted in criticism for just bringing up a new  
11 idea, then staff can get kind of gun shy.

12 NRC management correctly took on the  
13 responsibility for authorizing a thorough review in this  
14 case. The staff's initial negative response tells me that  
15 perhaps that hasn't always been the case. My own experience  
16 was a very positive one, but I think I was running into a  
17 little bit of history. Without state and NRC management  
18 efforts to work this issue loose, I fear we might have lost  
19 an opportunity to save at least 50 man rem of exposure and a  
20 lot of unnecessary transport risk over several hundred miles  
21 of highway instead of one five mile an hour barge shipment  
22 up the Columbia River that has regularly seen a great deal  
23 of barge traffic. So, it's a mode of transportation we  
24 understand in the Pacific northwest well.

25 And I, along with the rest of the panel, would be

75

1 happy to answer questions, when you get to that point.

2 COMMISSIONER MESERVE: Thank you, very much. Our  
3 next speaker is Lynnette Hendricks, NEI.

4 MS. HENDRICKS: Good afternoon, Commissioners and  
5 Mr. Chairman. Thank you for the opportunity to share  
6 industry's perspectives of decommissioning. I'm going to  
7 try to talk about critical issues in three main areas  
8 impacting decommissioning.

9 The goal for the industry in decommissioning -- if  
10 I could have -- go to the second slide, please. Our goal in  
11 decommissioning is that it be safe, timely, and efficient.  
12 We think this is essential for both public confidence and to  
13 provide great peers and shareholders the value on the  
14 considerable funds that they've set aside to deal with the  
15 public confidence issue. We believe that rules -- if rules  
16 and processes are not in place to provide a clear pathway to  
17 decommissioning, that is, also, very transparent, provides  
18 appropriate opportunities for public input, the impression  
19 that could be given in lieu of a clear transparent process  
20 is that, in fact, this is, in fact, much more difficult to  
21 do than it really is and perhaps more unsafe.

22 In terms of rate peer and shareholder values, you  
23 well know considerable funds have been set aside to take the  
24 plant -- to safely decommissioning the plant and we believe  
25 we owe these largely rate peers an opportunity that these

76

1 funds be well spent on activities that directly benefit the  
2 public. In that vein, in decommissioning, if you have a  
3 clear path forward, you are less likely to encounter  
4 unnecessary delays that will augment the schedule by months  
5 or years and could, in the end, make it very difficult to  
6 complete the decommissioning within the funds set aside for  
7 decommissioning.

8 Next slide, please. The three main areas that  
9 affect decommissioning: one, spent fuel casks; the second  
10 is efficient license termination; and the third is risk  
11 informed regulations. I'm going to address the first two;  
12 but I think it might be more responsive, in putting the  
13 staff's presentation closer to ours, if we go first to the  
14 issue of risk-informing regulations. And I'd like to hold  
15 some time, if I could, with your tolerance, and come back  
16 and discuss spent fuel casks and license termination. I  
17 turn it over, at this point, to Mike Meisner.

18 MR. MEISNER: Thank you, Lynnette. Mr. Chairman,  
19 members of the Commission, I appreciate the time that you  
20 have given me to talk here today. I'd like to go to the  
21 overhead that is entitled "Risk Informed Regulations  
22 Overview."

23 You've heard a fair bit from the staff earlier  
24 today about the background and history. I have to agree  
25 that in a very short period of time, the staff put together

77

1 quite a good risk assessment model. Unfortunately, the  
2 model inputs and the assumptions were pretty consistently  
3 biased to the worse case. As a result, the industry  
4 provided a great deal of information to the staff.

5 You've heard about today the July workshop, where  
6 we came prepared with commitments we were willing to make to  
7 backup changed assumptions in the PRA analysis. Since the  
8 workshop, we've had numerous meetings and follow-up phone  
9 calls with the staff on various issues. And as you heard,  
10 we provided a pretty detailed industry report, reviewing the  
11 staff's draft work. And that report, we provided to all the  
12 Commissioners on your staff, as well as the NRC staff.

13 I'm going to be talking today about the same kind  
14 of information that the staff put out in their draft report,  
15 because up to this point now, we don't have any additional  
16 information. I'm encouraged to hear that the staff is  
17 working and feel that their converging; but, I think it's  
18 important, too, to go through some examples and get a feel  
19 for the disparity that exist between the staff's work and  
20 the report that we provided on the same subject.

21 Next overhead, please. Significant conservatism  
22 exist in the area of human reliability. You've heard that  
23 mentioned a few times. I think it's worthwhile to get some  
24 feel for that. The staff has chosen to depart from IPE's  
25 traditional PRAs and shutdown PRAs and their assumptions on

78

1 human error.

2 If we can go to the next page. What I've done is  
3 taken a page out of the Aaron Report and I hope you have  
4 that in front of you. Is there another --okay, what this  
5 report shows are examples of human error probabilities taken  
6 from the NRC draft report. Now, you can see that the error  
7 probabilities are on the order of  $10^{-2}$  to  $10^{-3}$ ; in other  
8 words, one in a hundred to one in a thousand. The striking  
9 thing about decommissioning events, though, is that these  
10 error probabilities are across a period of time of 120 hours  
11 or five days; or looked at another way, 15 different shifts  
12 of operators coming in and going off shift and continuing to  
13 make the same errors at a very high probability.

14 If we compare those kinds of error rates with the  
15 next overhead, please, the kinds of assumptions that are  
16 used in add power PRAs, IPEs, as well as shutdown PRAs, you  
17 can see that for events that need to be responded to on the  
18 order of 15 to 30 minutes, not 120 hours, failure  
19 probabilities on the order of one in a hundred or one in a  
20 thousand is what's been traditionally used. When you get to  
21 longer acting events and IPEs, like the 20 hour example up  
22 there for initiating a residual heat removal capability, the  
23 human error probabilities drop down significantly into the  
24  $10^{-6}$  range. And you'll look far and wide to find error  
25 probabilities associated with events that go much beyond 24

79

1 hours, because it has been the practice in all PRAs done to  
2 this point, that I'm aware of anyway, that once you exceed a  
3 certain time period, say 24 hours in most cases or maybe 48



4 at the worst, that you assume there is sufficient time  
5 available to take action to recover from the event. In  
6 other words, most other PRAs truncate events at about 24 to  
7 48 hours. That wasn't done in the case of the staff study.

8 So, if we can go back quickly to the example page  
9 on conservatisms added. The problem with the human  
10 reliability assumptions is that these now overshadow, they  
11 dominate the entire analysis and tend to give a very  
12 distorted view of what's important to safety for those kinds  
13 of events. Heavy loads is another example. You heard  
14 earlier, industry has done a lot of work in heavy loads.  
15 Years ago, we resolved that issue with the NRC through NUREG  
16 06.12. The funny thing in the present study is, though,  
17 that that staff didn't give the industry any credit. This  
18 is an area where there's absolutely no difference, no  
19 difference at all, in the commitments that licensees carry  
20 in their license basis going from an operating facility to a  
21 decommissioning facility. In fact, this is an area that has  
22 long since been resolved, that the industry feels should  
23 never have been opened up as part of decommissioning,  
24 because it's been reviewed for decommissioning plants, as  
25 well as operating facilities. But, the result is that the

80

1 staff's re-review, I'll show you in a minute, added two  
2 hours of magnitude of risk to the heavy loads area. And  
3 there are a number of other examples all contained in the  
4 Aaron Report, where the staff pretty consistently went to  
5 the upper bound or worse case assumptions, such as in this  
6 diesel pump reliability.

7 Let me move ahead to the next overhead, entitled  
8 "Fuel Uncovery Endpoint." This is another area of  
9 conservatism that might not be too obvious right on its  
10 face; but the final end state for the staff study is not a  
11 Zirc fire, as you might expect, but it's a fuel uncovery.  
12 That, itself, is not related to public risk. There is no  
13 public risk associated with lowering water to the top of the  
14 active fuel. And when you consider that there's additional  
15 water and steam to boil away and do a realistic heat up  
16 calculation, you, in fact, add about three days of recovery  
17 time by adjusting your endpoint to a dry fuel, as opposed to  
18 just the point of fuel uncovery. And particularly in a  
19 situation where the staff is not giving much credit for  
20 recovery action and has high penalties for human error, this  
21 additional recovery time should really be considered and  
22 important.

23 So, what's the effect of all of these multiple  
24 conservatisms? And by the way, I've only touched on a few  
25 of them. They are throughout the study. Well, the industry

81

1 requantified in our report and it's not a trivial effect.  
2 If you go to the next overhead, please, the bar chart. If  
3 you can see it up there, basically, the staff said for  
4 non-seismic contributors, the risk -- the fuel uncovery risk  
5 was 10-5, which actually exceeds the core damage frequency  
6 of many operating facilities. When you take into account  
7 the areas of conservatism and back those up and requantify,  
8 you reduce that risk by nearly two orders of magnitude, down  
9 to the 10-7 range.

10 And on the next two pages, and these are all,  
11 again, out of the Aaron Report and available for your review  
12 later, you can see that in one of these tables, we broke  
13 this down into the contributing areas for frequency of fuel  
14 uncovery, things like the loss of off-site power, where the

15 draft NRC report came in at 10-6 and the revised estimate is  
16 really in the 10-10 range. Loss of pool cooling drops an  
17 order of magnitude, down to the 10-8; loss of cooling  
18 inventory of nearly two orders of magnitude. And the next  
19 page, please. Heavy loads, itself, was two orders of  
20 magnitude, down to the 10-8. So, you can see there's a big,  
21 big disparity between what we think a realistic approach to  
22 this PRA would entail.

23 Next overhead, please. Now, while this has  
24 implications for decommissioning plants, we think it, also,  
25 has some serious implications for operating facilities.

82

1 First of all, it's -- the kinds of approaches taken in the  
2 study are inconsistent with the Commission policy statement  
3 on PRA. And I'll just read you a sentence out of that. The  
4 policy statement says that "PRA evaluations in support of  
5 regulatory decisions should be as realistic as practicable  
6 and appropriate supporting data should be publicly available  
7 for review." We think, in this case, that realism is  
8 lacking by quite a bit in the staff's draft study.

9 As I already indicated, it's inconsistent with  
10 approaches taken in IPES and shutdown PRAs. We did ask one  
11 of our analyst to estimate what the affect on core damage  
12 frequency would be, if the staff were to never truncate the  
13 sequences in IPES, like they had done in the decommissioning  
14 PRA. And the answer is that it would increase core damage  
15 frequencies on the order of two to ten times. Now, that's a  
16 tremendous change in the public perception of what risk is  
17 for operating facilities and we think there's a -- there's a  
18 real need to be consistent here, so that we don't undermine  
19 public confidence and that we give a realistic view of how  
20 these decommissionings proceed.

21 Next overhead on recommendations, and I'll end  
22 with this overhead. We think it's important that the  
23 Commission consider some additional direction to the staff,  
24 to revise their study, to use best estimates, and to remove  
25 conservatisms, to be consistent in the treatment of human

83

1 error by truncating sequences beyond two days, as is done in  
2 other PRAs study, and we think it's very important to  
3 requantify this model, so that we actually have a basis for  
4 rulemaking going forward.

5 And I'm going to make one other comment and then  
6 turn it back to Lynnette. I was a little concerned to hear  
7 something that we hadn't heard of earlier and that was a  
8 comment by Stu Richards, that -- in response to a comment  
9 from Commission McGaffigan, that, in fact, the staff already  
10 knows that they can't meet the back fit criteria for  
11 rulemaking and they intend to package this as a voluntary  
12 rule and by inference, include a lot of requirements in  
13 there that wouldn't meet a risk test, yet a licensee would  
14 have to adopt, in order to get the whole package. I would  
15 ask the Commission to maybe think about that a bit and  
16 whether or not that's an appropriate approach given, I  
17 think, the direction I heard last March to apply the backfit  
18 rule in this case.

19 Thank you for your attention. Lynnette?

20 MS. HENDRICKS: I especially appreciate your  
21 tolerance, given the hour, letting me cover the remaining  
22 two issues. Actually, I particularly wanted to cover spent  
23 fuel management, because I think I have many, many areas of  
24 agreement with the staff, in spite of maybe the provocative  
25 nature of a couple of the entries on my slides.

84

1 Decommissioning plants must put all their fuel  
2 into dry storage, if they're going to decommissioning the  
3 pool when they decommissioning the rest of the plant. And  
4 it becomes, certainly, in the three to five years that  
5 decommissioning takes place, very much a critical path item  
6 for the decommissioning. In referring to the process that  
7 Bill Kane referred to, that they undertook back in 1998, I  
8 agree that that was an exemplary job; that the staff did, in  
9 fact, undertake revision to the certification process. That  
10 was very effective and it did, in fact, reduce the time for  
11 certification down from three to four years to 20 months.  
12 And they did that, as he had indicated, by establishing  
13 rules of engagement, a very transparent open process. It  
14 entailed disciplining both the applicant and the staff and,  
15 in fact, I think they were very successful in doing that.  
16 However, we refer to these initial certifications is, by  
17 rule of thumb, the 20-80 percent rule; in other words, the  
18 certifications to date will cover maybe 80 percent of the  
19 fuel that decommissioning plants need to unload. That's  
20 what I refer to when I say "scope of certifications are  
21 limited."

22 Can I have the next slide, please? What this  
23 translates into for decommissioning plants, where I say that  
24 they can't decommission their pools, they cannot do so  
25 without a serious amount of resources committed to work

85

1 specifically with a vendor, to get in a situation using  
2 Band-Aid approaches, which I'll talk to a little bit in a  
3 second, to get a cask that they can, in fact, not  
4 efficiently, effectively, but they can, in fact, unload the  
5 fuel and go on with their decommissioning.

6 Operating plants, also, are affected by this 80-20  
7 percent rule. We have at least one operating plant today  
8 that has already unloaded the easy stuff, the 80 percent,  
9 and they are in the position now of needing approval for  
10 unloading the 20 percent of the stuff. And, also, in  
11 addition, even though there may not be many where this has  
12 become a crisis, it's not a good situation. It doesn't make  
13 for good spent fuel pool management. It doesn't make for  
14 good management of your dry cask program, to save all the  
15 hard to load stuff to the end. It makes a lot more sense to  
16 have casks certified up front that can take it all and then  
17 you can mix and match. The alternative is you'll end up  
18 with a lot of hard to load stuff and you'll end up with a  
19 lot of casks that have very few bundles in them.

20 The Band-Aids that I was referring to, one example  
21 is current certifications are listed -- are limited to  
22 45,000 megawatt days per metric uranium ton burn up. The  
23 staff has a solution for going above today, which is to pan  
24 all of those hire burnup fuels. Obviously, it would be a  
25 lot better to have methodology and criteria in place, so

86

1 that vendors could come in and meet the NRC's criteria and  
2 methodology and have a more complete certification going in.

3 It's very costly. DOE has run the numbers. DOE,  
4 by the way, has been working on preparing the technical  
5 basis for burn up credit for, I think, we're approach 10  
6 years now. And by their estimates, the inability for casks  
7 being certified today to have burn up in their design --  
8 burn up credit in their design is costing essentially 30  
9 percent capacity, which equates to \$10 billion. I did hear  
10 staff say that they have taken some steps forward on burn up  
11 credit. This is true. They have an ISG out that,

12 basically, says now, we will consider it. They revised  
13 their ISG and said, here's our philosophy, if you will, and  
14 some of the very -- 50,000 mile road map to acquire burn-up  
15 credit. What we still don't have is the detailed road map  
16 with established criteria.

17 And can I have the next slide, please? This  
18 scenario where I found -- oh, I'm sorry. Before I go to  
19 that, I wanted to provide some visuals -- go back to the  
20 other side; I'm sorry -- I wanted to provide a visual  
21 perspective -- go to the next one, please. I wanted to  
22 provide a visual depiction of the situation. I mean, I  
23 think it is very honestly the challenge that the Spent Fuel  
24 Project Office has.

25 Could I have the next slide, please? Please. I  
87

1 know I screwed up; it's not your fault. I'm looking for the  
2 graph that you had on before, the -- there you go; thanks a  
3 lot. What this depicts is years on the Y axis and number of  
4 plants on the X axis that are going to lose full core  
5 off-load. It's just a depiction of the workload that's  
6 coming, if you will.

7 Next slide, please. This is a depiction of the  
8 number of sites that are currently using dry cask storage,  
9 and there's a delineation in color code for the ones that  
10 have on-site approval versus a general approval.

11 Can I go to the next one, please. This just shows  
12 that, in fact, many more are planned. And, again, just to  
13 show graphically that, in fact, this office is dealing with  
14 a lot of -- a large case workload and a lot of challenging  
15 issues.

16 Can I have my next slide, please? One of the  
17 tools that I think can be very useful in assisting in this  
18 area is risk insights. The reason -- because, I still  
19 believe that concerted industry effort is needed --  
20 concerted industry-NRC effort is needed to, in fact, put  
21 together some informed criteria and methodology for going  
22 forward on these generic issues. A PRA or risk insight  
23 would be extremely useful. The design basis on these casks  
24 are extremely conservative. For example, they assume  
25 maximum heat, which would imply maximum burn up and, at the

88

1 same time, a fresh fuel assumption; and physically  
2 impossible, very conservative. The design of these casks,  
3 in and of themselves, are extremely robust. And in spite of  
4 the challenges that you generally look at, in terms of  
5 external events, tornadoes, etc., even the criteria for the  
6 design basis is much less restricted than for operating  
7 plants or even what we're looking at for spent fuel pools.  
8 In fact, it's  
9 only a five rem dose at the site boundary.

10 And can I go to the next slide? The second big  
11 issue in spent fuel management is the inefficient cask  
12 listing amendment process. This sort of came to be, in my  
13 view, historical perspective, because the Nuclear Waste  
14 Policy Act envisioned that DOE would, in fact, submit a  
15 given technology, one designed, if you will, that would be a  
16 universal cask and everybody could unload their fuel into  
17 that cask. What's happened, in fact, is that the  
18 marketplace has taken over and you have many vendors, many  
19 designs to be certified.

20 The rulemaking to list, although NRC has done a  
21 considerable number of things, and I'll get to those in the  
22 next slide, to discipline the process and keep it within the  
23 20-minute time frame, it still, because it is critical path

24 for operating -- for decommissioning plants and threatens to  
25 be in the future for operating plants. The 20 month just is

89

1 not going to work with this dynamic area, where you have a  
2 very active marketplace, a lot of competitors, a lot of  
3 designs. And to go to the other point, amendment by  
4 rulemaking is, I think, a resource nightmare and we would  
5 much prefer to see a new system or a step change that could  
6 provide NRC the opportunity to devote these many rulemaking  
7 resources into honing policy and resolving some of these  
8 generic issues.

9 I did want to comment on some of the actions that  
10 NRC has taken. Bill mentioned several. They've, also,  
11 completed a rulemaking to permit fabrication without the  
12 30-day hold and to go into fabrication at risk.

13 The next slide, please. In summary, for the cask  
14 amendment issue, we are -- would like to, I guess, reserve  
15 an opportunity in the future to share our views with the  
16 Commission and other stakeholders on how we may make a step  
17 change to improvements to this process. One of the -- some  
18 of the things we're thinking of is perhaps the initial  
19 listing could include criteria and for making amendments in  
20 the initial listing. Smarter certificates is one of the  
21 things we've discussed with the staff. But, again, the  
22 generic issues plays a role here, as well. In order to have  
23 smarter certifications, where the vendors could incorporate  
24 the design margin that they need to take the higher burn up  
25 fuel and some other -- even site specific differences, like

90

1 the seismic, they need a clear road map going forward, so  
2 that they can, in fact, process these under 72.48 and  
3 demonstrate that there are no unreviewed safety questions in  
4 adding different types of fuel or higher burn up fuel to  
5 their casks.

6 Did you want me to stop there and not talk about  
7 the --

8 COMMISSIONER MESERVE: We're well over time. Is  
9 that okay?

10 MS. HENDRICKS: Yeah.

11 COMMISSIONER MESERVE: Why don't we go for a round  
12 of questions among the Commissioners. I have a question and  
13 this first question is directed at Mr. Meisner. It may  
14 reflect my misunderstanding of the circumstances here. I  
15 am, as I think you know, the new boy on the block here.  
16 You've described various ways, in which you think the staff  
17 has been overly conservative in its analysis of the fuel  
18 pools. And I'm a little puzzled, because we haven't yet  
19 gotten the staff's analysis. They said they were going to  
20 give it -- this is going to be in draft form in January.  
21 And so, are you talking about an earlier document? Are you  
22 of the view that the current work that is underway is going  
23 to prove to be -- continue to have these overly conservative  
24 perspectives in it?

25 MR. MEISNER: I'm talking about an earlier

91

1 document they issued, I think, in June, and was the subject  
2 of the two-day workshop in July.

3 COMMISSIONER MESERVE: You made your views known  
4 --

5 MR. MEISNER: We have no other information to base  
6 our views on.

7 COMMISSIONER MESERVE: So, they will be, then,  
8 that the staff has considered these views in what we're

9 going to be seeing in a few months?

10 MR. MEISNER: We've had numerous interactions with  
11 the staff and that's what we hope is going to happen, yes.

12 COMMISSIONER MESERVE: I have a question that  
13 Commissioner Dicus had presented. It was about a matter,  
14 which I'm not familiar. She -- this has to do with  
15 truncating that analysis, at a certain time point. And the  
16 question she asked is whether you had seen the letter from  
17 the Union of Concerned Scientists about an event at a TVA  
18 plant, where operators did not notice the heat up of a spent  
19 fuel pool over a period of several days, which -- their  
20 point, I gather, is that there is, obviously, an actual  
21 observance of something that should not have been truncated  
22 in the period that you had indicated.

23 MR. MEISNER: I haven't seen a letter from UCS,  
24 but I am familiar with the event. I had some research done  
25 on it. It was an event back in December of '98. It lasted

92

1 for 37 hours. And during that time, the pool heated up from  
2 109 degrees to 121 degrees and it was unnoticed during that  
3 time period, because of -- basically, of an equipment  
4 failure that led to a non-representative temperature  
5 indication.

6 I think this is a very good event to focus on,  
7 because what it does is prove the point that simplistic  
8 human error probability assumptions are inadequate. What  
9 happened there was over a period of time, over multiple  
10 shifts, they identified and caught the issue. The staff's  
11 approach would have said that there is one error of  
12 probability associated with that event.

13 What really needs to be done, we think, is to  
14 analyze these types of events, modeling shift changes,  
15 modeling the self reviewing nature of the event. You know,  
16 if the pool starts heating up and steaming, you're going to  
17 have a rain forest in there and it's going to be impossible  
18 to miss. It just can't proceed without somebody seeing it.  
19 And to model the long reaction times involved. And the  
20 design simplicity, I'll point out for that plant -- the TVA  
21 plant, it was an operating facility. The operators were  
22 focused on producing power. At our plants, you have two  
23 operators that do nothing but watch the spent fuel pool and  
24 that's all they do, in a simple control room that only has a  
25 few parameters.

93

1 So, I think it proves the point.

2 COMMISSIONER MESERVE: Mr. Blanch, I have a  
3 question for you. I was a little puzzled by your -- or  
4 maybe misunderstood part of the point of your presentation.  
5 You suggested, as I understood you correctly, that in  
6 dealing with these decommissioning issues, one should rely  
7 on NUREG 64.51 and on Part 72, leaving the implication, I  
8 think, that this whole effort that we've been discussing,  
9 mainly trying to develop sort of a different strategy on  
10 decommissioning, is something that is unnecessary or  
11 misguided, or did I misunderstand the point that you were  
12 trying to make?

13 MR. BLANCH: Chairman, I think you misunderstood  
14 the point I was trying to make. I think the efforts that  
15 are ongoing are very worthwhile, but they're only a small  
16 piece of the puzzle. And what I'm saying is that the puzzle  
17 is much, much larger than just the Zirc fire. There are  
18 many, many other issues out there that the staff needs to  
19 address, some of which are addressed in SECY-99-168.

20 COMMISSIONER MESERVE: Commissioner McGaffigan?

21 COMMISSIONER MCGAFFIGAN: I can have 200  
22 questions, like Commissioner Diaz, but I -- and I'm sorry  
23 we're going to end up short changing you, to some degree,  
24 but the -- let me follow on the Part 72 point with Mr.  
25 Blanch first. I've got Part 72 on the general license, the

94

1 subpart K in front of me and you're right, it's meant to  
2 apply to ISFCs, to dry cask storage facilities that happen  
3 to be at a Part 50 facility. Is -- but, isn't anything  
4 that's in Part 72, you know, still don't apply to a Part 50  
5 licensee or more, when they're sitting there -- you seem to  
6 imply -- you say there's a hole, basically; if I'm going to  
7 shut down the plant under Part 50 license, using a general  
8 license under Part 72 for my ISFC and some stuff in the  
9 spent fuel pool, you're saying the spent fuel pool is --  
10 there's a hole in our regulations there, that is not  
11 adequately covered, at the moment? Or what are you saying?

12 MR. BLANCH: In my opinion, it is not adequately  
13 covered, the operation of a spent fuel pool. Once the plant  
14 has defueled, what regulations apply? The staff says, well,  
15 10 CFR 50 applies. But, if you go to 10 CFR Part 50,  
16 there's nothing in Part 50 that governs the storage of  
17 high-level waste, except maybe one section -- small section  
18 under Appendix A, General Design Criteria.

19 So, for instance, when I went to visit these  
20 plants, questions arise, what is the design criteria for the  
21 cooling system of the spent fuel pool? Every plant I looked  
22 at, it's seismic, it's done with some certain level of  
23 quality assurance, but there is nowhere within the  
24 regulations that specify whether I have to have qualified  
25 equipment, environmental qualification, seismic backups. We

95

1 have differences of opinion between regulators. There's no  
2 clear criteria within the regulations for the operation of  
3 that spent fuel pool under Part 50.

4 COMMISSIONER MCGAFFIGAN: Which is a good  
5 argument, as I think you said, for doing this comprehensive  
6 rulemaking. But, at the moment, the way we reach those  
7 decisions is by looking at the shutdown tech specs and  
8 saying, okay, this is all you need, or how do -- do you --  
9 how do we make the decision plant by plant, for Trojan or  
10 Main Yankee or --

11 MR. BLANCH: I believe it's done plant by plant.  
12 But, I think the staff would be better qualified to answer  
13 that. I think, you know, there's a lot of diversity there,  
14 in the way it's being addressed.

15 COMMISSIONER MCGAFFIGAN: One of the issues that  
16 -- Mr. Shadis, I did read your testimony this morning,  
17 although we did receive it on short notice, and one of the  
18 issues raised is the -- and Ms. Hendricks had some charts on  
19 it, as well -- or a chart on it, is the license termination  
20 rule. And I'll just tell you one Commissioner's  
21 frustration, you know, you talk about -- both of you,  
22 really, about public not understanding this difference  
23 between us and EPA, and the difference is more in the  
24 groundwater pathway than it is in the all pathway, the  
25 limit. I brought with me my usual prop, which is the

96

1 generic environmental impact statement we did, when we did  
2 the 1997 license termination rule. And we looked in detail  
3 at the justification for the groundwater pathway and we  
4 couldn't find it. You know, in fact, we found -- and, also,  
5 for the lower limits.

6 EPA, our sister agency, has -- doesn't have a  
7 rule. They had a rule in 1996, which the public never saw.  
8 I happened to see it, because it was in the interagency  
9 clearance process. And it was withdrawn. Their own reg  
10 analysis did not support their own rule. And that's the  
11 frustration we have. It indicated, you know, something on  
12 the order of 75 millirems might be where the cost benefit  
13 cross point was. And so, we have gone through the  
14 Administrative Procedure Act process. We fully considered  
15 public comments. We did a voluminous environmental impact  
16 statement and we came to a conclusion that was unanimous  
17 among the five Commissioners sitting here at the time in May  
18 of 1997.

19 And EPA can trump us. Under the Energy  
20 Reorganization -- under the EPA Executive Order of 1970,  
21 they can do a rule, if they can justify it. But, we've  
22 never seen the technical analysis that supports applying 15  
23 millirems and more importantly outdated groundwater MCLs  
24 that can be as low as .01 millirem to these sites. You  
25 know, the '90 analysis we had in here, in getting down to

97

1 the EPA MCL, was \$23 billion for death averted. So, nobody  
2 ever came in and said this analysis was wrong. I mean, it  
3 was out there. It was out there for public comment during  
4 the rulemaking, and we didn't get those comments.

5 So, that's the frustration we have on the License  
6 Termination Rule. That's why we have gone to Congress,  
7 without any effect; asked them to break the tie. But, there  
8 really was an awful lot of thought done before my time -- I  
9 came along in the last nine months of this rulemaking -- an  
10 awful lot of thought done as to what the right license  
11 termination rule would be. And I -- you know, I would be  
12 happy, and, I mean, I expect other Commissioners to be  
13 happy, to talk to the public in great depth, as to why we  
14 made the decision that we made and why we think this is --  
15 these criteria are appropriate. But, that's more a  
16 statement, just to make sure you knew that I had read your  
17 -- at least that part.

18 The other thing I might mention is the  
19 adjudicatory hearing. You know, you mentioned wanting an  
20 adjudicatory hearing at the outset of the process, not just  
21 the one we have, at the moment, at the end of the process.  
22 And that's -- I talked with Mr. Blanch in private about this  
23 a couple of times, that's a tremendously resource intensive  
24 thing and we're not sure it's needed. In fact, even the  
25 current rule doesn't have it and I'd be hard pressed in a

98

1 risk-informed environment with limited resources to say that  
2 you need both an adjudicatory hearing at the outset of the  
3 process and an adjudicatory hearing at the end of the  
4 process. We probably need improved public communication,  
5 but the -- I don't know what the benefits of a full-blown  
6 adjudicatory hearing at the outset of the process would be,  
7 other than to slow down decommissioning, which I suspect  
8 people want to see proceed, once the plant has decided to  
9 shutdown.

10 Those are two statements that either of you can  
11 respond to, or both.

12 MR. BLANCH: I'll just quickly respond. If one  
13 goes the proper route, a licensee, and goes for a site  
14 specific Part 72 license, the adjudicatory hearing, I  
15 believe, is allowed at that time, because it would be a  
16 major change to the license. And it's my belief that's why  
17 there's a reluctance on the licensees to convert to a Part



18 72, because it does open it up to adjudicatory hearings.  
19 COMMISSIONER MCGAFFIGAN: But, Paul, if I could --  
20 on that point, the adjudicatory hearing on the Part 72  
21 license would be simply about the ISFC. It would not be  
22 about -- what I think, Mr. Shadis, you were concerned about,  
23 you know, are they going to rubblization, are they going to  
24 do this, how are they going to -- how are they going to  
25 dismantle the plant. As I understand it, what you're

99

1 looking for is -- you really want a hearing not on the ISFC,  
2 which is pretty routine stuff; you want a hearing on their  
3 plan for going from the plant as it exist the day they shut  
4 it down, to green fields.

5 MR. BLANCH: I'm not the one that's advocating any  
6 hearings; I'm just making a statement --

7 COMMISSIONER MCGAFFIGAN: Okay.

8 MR. BLANCH: -- that if one did go to Part 72, it  
9 would require -- or could require a hearing.

10 COMMISSIONER MCGAFFIGAN: But, it wouldn't be on  
11 the subject matter that Mr. Shadis seems to be worried  
12 about, unless --

13 MR. SHADIS: I -- a different comment to the staff  
14 and Commission and management, my issues, if you will, or  
15 observations have been characterized as worrying. I'm not  
16 worried about anything. And the reason is because I  
17 believe, in many respects, the tide is going our way. So,  
18 I'm feeling fairly sassy about that.

19 But, what I am proposing here is that some  
20 creative thought be given to how you can have certainty at  
21 the beginning of this process. I think I used in my essay  
22 there, I used the term "a launching platform," from which  
23 you start decommissioning. You start with everybody has a  
24 set of ground rules or everybody knows how it's going to  
25 proceed. And, apparently, we don't have that.

100

1 Additionally, I was surprised to learn, in dealing  
2 with the Federal Energy Regulatory Commission, that they  
3 have the option to hold -- actually hold hearing in concert  
4 with other agencies, including states agencies. And it's  
5 not a bad idea. I think that this process needs to be  
6 wrestled with and it needs to be wrestled with, because this  
7 is so very important and it is final, as far as the effected  
8 communities are concerned. So, I'm offering that and not --  
9 you know, it wouldn't take that much further.

10 In terms of the EPA-NRC issue, I'm very interested  
11 to hear your characterization of it and disagree.

12 [Laughter.]

13 MR. BLANCH: But -- well, you know, it is one of  
14 those kinds of -- you made the offer to meet with the people  
15 who are concerned about this, from the environmental  
16 community, I presume, and as you know, there is an issue now  
17 over the release of solid materials and that environmental  
18 community is very unhappy with their experience in  
19 developing that rule. So, I'm sure they would love to sit  
20 down and meet with you.

21 COMMISSIONER MCGAFFIGAN: But the environmental  
22 community, in that case, refused to come to -- most people.  
23 There are some that came to the last meeting, as I  
24 understand, in Washington, but they refused to participate  
25 in the meetings. They refused to participate in a meeting

101

1 in early August that Chip Cameron wanted to hold about their  
2 participation in the upcoming meetings.

3 MR. BLANCH: Yes, sir.  
4 COMMISSIONER MCGAFFIGAN: So -- and you, I think,  
5 participated in Chip's meeting, or somebody did.  
6 MR. BLANCH: It was kind of a go-between position.  
7 But, basically, what they're stating is that they were very  
8 unhappy with the way that that process went.  
9 One last thing, please, if you just bear with me  
10 just a minute. I'm real pleased that the NEI got to run out  
11 there concerns about the cask thing. That's fine by me.  
12 But, I wished that we had known about that. I was invited  
13 to a meeting about decommissioning issues and had I known, I  
14 might have been able to contribute something on that cask  
15 concern.

16 COMMISSIONER MESERVE: I apologize for that. Mr.  
17 Merrified?

18 COMMISSIONER MERRIFIELD: Well, first, Mr. Shadis,  
19 I want to thank you for the information. Just as a  
20 clarification -- sorry about the unfortunate circumstances,  
21 which led to you not being able to prepare your materials  
22 earlier -- my comments weren't directed just at you; there  
23 were others who, also, were unable to do that and didn't  
24 apparently under the same circumstances. So, I apologize.  
25 It's unfortunate. I really did honestly not have the

102

1 sufficient time to review your materials and I will do that  
2 --

3 MR. SHADIS: Thank you.

4 COMMISSIONER MERRIFIELD: -- at your request. Had  
5 I been able to do so, as Commissioner McGaffigan obviously  
6 had a chance to, I would have been able to ask you more  
7 informed questions; and, for that, I apologize.

8 I guess I did want to ask you, it's not really a  
9 question, but it's perhaps for your help: I think it's very  
10 important that we, as an agency, improve our ability to  
11 interact with the public, in terms of being able to listen  
12 better and be able to be -- and our ability to be able to  
13 articulate better, hopefully I can do, as well, in our  
14 ability to answer questions better. And to the extent that  
15 there are specific examples in the past or as we go forward,  
16 where you feel our staff have not done that in a full  
17 professional manner, certainly I hope you will continue to  
18 keep this Commission, if on a Commissioner by Commissioner  
19 basis, for that matter, informed of that, so that we can  
20 provide the appropriate input to our staff. I think that's  
21 important to us and I ask for you indulgence on that.

22 I have to -- I do have to tweak you, as a last  
23 comment. You are representing the New England Coalition on  
24 Nuclear Pollution. As a New Hampshire native and as one of,  
25 I think, probably three new -- sitting around this table

103

1 right now, including three on this side of the table, I have  
2 to express my dismay that you have decided to include New  
3 York as a state within New England.

4 [Laughter.]

5 COMMISSIONER MERRIFIELD: This is a matter, as you  
6 know, is of significant concern, and I do need to tweak you  
7 on that one. So --

8 MR. SHADIS: I'm sorry, that was a tough call.

9 [Laughter.]

10 MR. SHADIS: But, that is upper New York State.  
11 We're talking the Lakes region or something.

12 COMMISSIONER MERRIFIELD: Well, we do like some of  
13 them from New England; but, nonetheless, they still are not  
14 one of our New England states.

15 Mr. Blanch, I just want to start out with saying,  
16 I do agree with you, regulation by exemption is no way to do  
17 business, and I think that's certainly something we need to  
18 think about as an agency. You mentioned several times that  
19 the NRC needs to address other potential accidents. I'm not  
20 sure -- what I'm not sure of is whether, in your opinion,  
21 the staff recognizes this need and is pursuing it  
22 appropriately, or whether they disagree with you that this  
23 need exists. I'm wondering if you might be able to  
24 elaborate a little bit.

25 MR. BLANCH: A few weeks ago, I brought this issue  
104

1 up with the staff and I think we're in synch right now that,  
2 yes, there may be other issues, and I do say "may be other  
3 issues" that need to be addressed. It seems like we've  
4 zeroed in on only one accident and that's been the drain  
5 down to the spent fuel pool, when there are, in fact, other  
6 accidents.

7 We don't want to get ourselves into where we were  
8 in the 1970s, when we analyzed the doubled ended guillotine  
9 break LOCA, thinking once we've encompassed that accident  
10 and can handle that accident, we can handle any accident. I  
11 just don't want the viewpoint to be, okay, we only looked at  
12 the worst accident, we can handle; therefore, we're okay.  
13 There are other accidents. And I took for example,  
14 criticality. I don't know what the impact of that is. It  
15 needs to be looked at. It may be a never mind. But, every  
16 potential accident needs to be looked at, to see whether it  
17 will impact the public. Mr. Shadis mentioned to me on the  
18 way in today, resin fires, has that been looked at. There  
19 are other potential accidents. That was my point.

20 COMMISSIONER MERRIFIELD: Well, I'm sure that the  
21 staff will have appropriate responses to those, as we move  
22 forward.

23 Mr. Meisner, I want to -- you know, being a  
24 lawyer, I guess by nature you have to play devil's advocate.  
25 Just for the sake of -- I'm putting issues in the record, we

105

1 don't have Mr. Lochbaum here with UCS and Commissioner  
2 McGaffigan -- well, he's not sitting at the table right now.  
3 But, perhaps, you gave the issue of Brown's Ferry and you  
4 recognize that as an example where it was successful; you  
5 know, it was found and it shows that things work in an  
6 operating reactor. I think some, including Mr. Lochbaum,  
7 perhaps, may argue that the fact that it took 37 hours at an  
8 operating facility, with, at any one time, dozens, if not  
9 hundreds of people walking around, isn't necessarily a  
10 success story; and that if we're looking at spent fuel pool  
11 temperatures for facilities, which are being decommissioned,  
12 which have far fewer people who are going to be walking  
13 around, that may not be quite the success that perhaps  
14 you're portraying and something we certainly need to keep in  
15 mind, as we move forward.

16 MR. MEISNER: Okay, well, first of all, I didn't  
17 portray it as a success. What I intended to say was that it  
18 proves the point that simplistic human error probability  
19 assumptions are inadequate. What happened in that event was  
20 there were multiple opportunities to identify the situation  
21 and eventually one of them did identify it. Taking the  
22 point of view that there's one failure probability  
23 associated with that isn't appropriate. That was my point.  
24 So, the staff needs to be able to put together a human  
25 reliability analysis that takes into account things like

1 shift changes, as an example, a new set of eyes.

2 The other thing I point out is that 37 hours is  
3 not long, given the small amount of heatup that took place  
4 in that event. It was about a 12 degree delta, if I read  
5 that -- read the reports right and we did get reports direct  
6 from Brown's Ferry. That didn't challenge any  
7 administrative limits or tech specs limits. They were far  
8 away from anything associated with having to take action,  
9 either by procedure or by technical requirement.

10 Now, had this event progressed, though, to the  
11 point where you could actually see steaming or whatever, my  
12 other point was these events become self-revealing. And  
13 that, as well, needs to be taken into account in the human  
14 error review of these kinds of events. I'm not calling this  
15 a success by any means; but, I'm saying it's an event that  
16 proves a point, that you need to model these things and  
17 model them correctly.

18 COMMISSIONER MERRIFIELD: Well, I think clearly,  
19 the Brown's Ferry example provides a whole variety of  
20 lessons to be learned and ones that we should certainly keep  
21 cognizant of.

22 In my previous set of questions to the staff, I  
23 talked a little bit about the balance, the triage that we've  
24 had to go through relative to cask issues. Given the fact  
25 that we do have limited resources -- our staff is down 600

1 from 1993, we have the lowest budget available to us on an  
2 inflation adjusted basis for many, many, years -- do you  
3 agree with the staff's approach to giving higher priority to  
4 meeting the cask certification issues for operating  
5 reactors, or do you give a higher priority to resolving the  
6 technical issues associated with a limited number of  
7 certification issues?

8 MR. MEISNER: I guess I -- I'll give you my  
9 personal opinion. I think either approach is wrong and  
10 doesn't get at the root cause of what the problem is here,  
11 and that's this cumbersome process. It seems to me that we  
12 can put in new fuel designs in operating facilities and deal  
13 with those changes either under 50.59 or license amendment  
14 process. We surely should be able to deal with the -- use  
15 those same kind of well understood processes in dealing with  
16 cask. I, personally, don't see that there's a need for this  
17 rulemaking process, that using a 50.59 and 50.90 process  
18 provides all the input for the public. It follows well  
19 known licensing change processes that we all grew up in with  
20 operating facilities. I think the approach is fundamentally  
21 wrong. If we invested some resources today, those scarce  
22 resources into changing the process, and making it scrutable  
23 and easy to deal with, then I think most of the other  
24 resources problems would go away.

25 COMMISSIONER MERRIFIELD: Fair comment. My last

1 question, very briefly, Ms. Hendricks, you talked very  
2 quickly through your bandaids issue and the \$10 billion  
3 figure and, frankly, you went a little too fast for my  
4 blood. What did you mean by all of that?

5 MS. HENDRICKS: The bandaids I was referring to  
6 was not resolving the generic issues up front; in other  
7 words, not establishing -- by not establishing criteria and  
8 methodology for going to high burnup, you are, in essence,  
9 saying, well, we can't deal with high burnup. The bandaid  
10 is can it; put it in a -- can the bundle and assume that  
11 it's going to fail, instead of having criteria and

12 methodology, by which you can demonstrate, given the  
13 characteristics of your fuel cladding, the material, the  
14 thickness, etc., that it won't, in fact, fail.

15           The \$10 billion comes from a different issue,  
16 although it would certainly add to that sum, and that's the  
17 burnup credit issue. Without burnup credit, you are  
18 essentially assuming a fresh fuel assumption design of these  
19 casks. Obviously, that's a very inefficient assumption,  
20 because, in fact, there's significant burnup. That's why,  
21 you know, you put the fuel in the reactor, to get the heat  
22 potential by burning it up. And there's an incredible  
23 penalty there, in terms of cost.

24           COMMISSIONER MERRIFIELD: Who did that cost  
25 analysis?

109

1           MS. HENDRICKS: DOE.

2           COMMISSIONER MERRIFIELD: DOE. And they made a  
3 cost analysis that our current rational would result in an  
4 extra expense of \$10 billion for the cost of the cask, over  
5 and above what it should be, if we took full credit for fuel  
6 burnup?

7           MS. HENDRICKS: Exactly.

8           COMMISSIONER MERRIFIELD: That's the point?

9           MS. HENDRICKS: Exactly.

10          MR. MEISNER: Can I add just real quickly to that?  
11 That with burnup credit -- now, we can load about 24  
12 assemblies into a cask. With burnup credit, we can put 36  
13 in there; so, a 50 percent increase, or look at it another  
14 way, a significant decrease in the number of casks that need  
15 to be purchased to encapsulate that fuel. It's, also,  
16 worthwhile to point out that that's, also, a significant  
17 decrease in the number of casks that have to be transported  
18 and that in the current environment, the probability of  
19 criticality in those casks is now overshadowed by the  
20 probability of transportation accidents -- not nuclear  
21 accidents, just the road accidents. So that the -- it  
22 appears that the staff is in the uncomfortable position of  
23 fostering a more risky approach by not giving burnup and by  
24 having more trucks out on the road.

25          MR. BLANCH: Sounds like you agree with my

110

1          criticality issue, then, Mike.

2          MR. MEISNER: I do.

3          COMMISSIONER MERRIFIELD: Thank you.

4          COMMISSIONER MCGAFFIGAN: Can I just do one --

5          COMMISSIONER MESERVE: Very quick one; one short  
6 question.

7          COMMISSIONER MCGAFFIGAN: One short question.  
8 Now, which one will it be. Why didn't you comment on the  
9 August staff study? Is the Aaron Report your comment? I  
10 mean, that's sort of two ships crossing in the night. This  
11 is on the human reliability issue. I said I was going to  
12 ask it and I forgot.

13          MR. MEISNER: Well, the Aaron is pretty much --  
14 the Aaron Report is pretty much our comment. We saw the  
15 staff study as kind of instructions to their contractors  
16 and, frankly, I -- it wasn't apparent to me that it was out  
17 for public comment.

18          COMMISSIONER MCGAFFIGAN: I have read it and it's  
19 pretty clear, you get to the second page, that it is. And  
20 so if there are comments, it probably isn't too late, given  
21 that we're still working on this process.

22          MS. HENDRICKS: The difficulty with human

23 reliability analysis is it's very subjective -- somewhat  
24 subjective and qualitative. So the approach that they laid  
25 out to look at it is fine, but it very much comes down to

111

1 the inputs and there was really nothing to comment on. I  
2 mean, it was --

3 COMMISSIONER MCGAFFIGAN: The other thing, Mr.  
4 Chairman, I'd say is we may want a separate briefing someday  
5 on spent fuel pool issues, because, we're mixing -- they are  
6 related -- they're very much related to decommissioning, but  
7 they're, also, related to a lot of other things, and we just  
8 touched on them today.

9 COMMISSIONER MESERVE: I'd like to thank everyone,  
10 both staff and the panel that's here. This has been very  
11 helpful and informative. Commissioner Diaz did ask me to  
12 apologize to everyone. He had another commitment that  
13 required him to leave at 3:30 and he apologize for his  
14 departure.

15 With that, we are adjourned.

16 [Whereupon, at 4:15 p.m, the briefing was  
17 concluded.]

18  
19  
20  
21  
22  
23  
24  
25

O: Chairman Meserve December 2, 1999

Commissioner Dicus  
Commissioner Diaz  
Commissioner McGaffigan  
Commissioner Merrifield

Original signed by

FROM: William D. Travers  
Executive Director for Operations

SUBJECT: CLARIFICATION OF COMMENTS MADE AT THE NOVEMBER 8, 1999, COMMISSION MEETING REGARDING  
REACTOR DECOMMISSIONING RULEMAKING

This memorandum provides additional information regarding Commissioner McGaffigan's question on backfit implications of new decommissioning regulations. In response to his question, the staff speculated that a possible outcome of the new integrated decommissioning rulemaking effort may afford a licensee a choice to implement revised regulations with some additional regulatory requirements not currently imposed by 10 CFR Part 50 or to follow the existing rules and seek plant-specific relief through license amendments or exemptions. We wish to clarify that the staff's position on backfit for new decommissioning regulations has not yet been determined. As the staff proceeds with the decommissioning regulatory improvement effort, we believe it would be premature to state that any additional requirements will be imposed on licensees during the decommissioning process. After the technical basis for regulatory decisionmaking for decommissioning is completed, the staff will develop proposed rules and will endeavor to reduce unnecessary regulatory burden as long as adequate protection to the public is maintained. When the entire scope of risks associated with decommissioning spent fuel pool accidents is well understood, we will be in a better position to evaluate what regulatory relief may be appropriate.

Thus, at this time our regulatory options remain open. We will continue to engage stakeholders in our deliberations and keep them informed of any regulatory implications resulting from our technical studies. We will make our recommendations to you on the regulatory options in our integrated decommissioning rulemaking plan to be submitted in May 2000.

cc: SECY  
OGC  
OCA

OPA  
CFO  
CIO

CONTACT: Bill Huffman, NRR/DLPM/PDIV-D  
301-415-1141