

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21

UNITED STATES NUCLEAR REGULATORY COMMISSION  
PERIODIC BRIEFINGS ON NEW REACTORS - PART 2

+++++

Wednesday

February 20, 2008

+++++

The Commission convened at 1:30 p.m., the Honorable Dale E. Klein,  
Chairman presiding.

NUCLEAR REGULATORY COMMISSION

DALE E. KLEIN, CHAIRMAN

GREGORY B. JACZKO, COMMISSIONER

PETER B. LYONS, COMMISSIONER

1

2 PANEL 2: NRC STAFF

3

LUIS REYES, Executive Director for Operations

4

WILLIAM BORCHARDT, Director, Office of New Reactors

5

EDWARD BAKER, Director, Advanced Reactor Program,

6 NRC

7

BRIAN SHERON, Director, Office of Nuclear Regulatory

8

Research

9

FAROUK ELTAWILA, Director, Division of Systems

10 Analysis, RES

11

12

13

14

15

16

17

18

19

20

21

## P-R-O-C-E-E-D-I-N-G-S

1  
2 CHAIRMAN KLEIN: This afternoon we'll hear from the staff  
3 about licensing activities. Before we start, I would like to express to  
4 all the staff members my appreciation for you all working in cramped  
5 conditions. We know that things are tight space wise.

6 I think there is a light at the end of the tunnel that we are making  
7 progress. And I think with the legislation that was recently passed gives us  
8 options. We know that we want a White Flint III, but I appreciate all your  
9 positive attitude and the progress that you've made in cramped quarters. So,  
10 that is certainly noted.

11 So, on that note, we're now moving into hearing about continuing this  
12 morning's meeting on advanced reactors and licensing. I think we'll hear  
13 also about your current status. We'll see what Bill's been doing between  
14 midnight and 6:00 a.m.

15 It seemed like every day that we hear of new applications and  
16 progress on the activities. I think if you look at the progress we've made on  
17 Part 52 for the advanced light water reactors, we're now in the  
18 implementation stage. At some point, we would like to get to that stage on  
19 advanced reactors and that's what we'll talk about today.

20 So, look forward to your comments. Any comments before we start?

21 COMMISSIONER JACZKO: No, I always look forward to the

1 presentations. Thanks.

2 COMMISSIONER LYONS: It was a good morning session. I'm  
3 looking forward to a good afternoon session.

4 CHAIRMAN KLEIN: And we all got our shot of caffeine, so we'll  
5 be awake and alert. Luis, would you like to start?

6 MR. REYES: Good afternoon, Chairman and Commissioners.  
7 The staff is ready to bring you up to date on our activities on new reactors  
8 and then looking into the advanced reactor licensing activities. We have a  
9 lot of material to cover, so I'm just going to turn over the meeting to Bill to  
10 start. Bill?

11 MR. BORCHARDT: Good afternoon. Slide 2, please. This  
12 shows the agenda for today. I'm going to discuss some of the major  
13 activities on the light water reactor and COL applications status. Then Ed  
14 Baker is going to talk about the advanced reactor licensing activities.

15 I'd like to take a moment just to recognize the addition of Ed to the  
16 NRO Leadership Team. He comes with a wealth of managerial and reactor  
17 experience and has already provided a very valuable input and contribution  
18 to our office.

19 Ed's joining us allows the organization to maintain a very clear focus  
20 and high priority on the light water reactor licensing activities. Ed's going to  
21 have the primary management licensing responsibility for the agency on the

1 advanced reactor activities. He's going to report to Gary Holahan and  
2 myself. With the assistance of primarily Tom Kenyon within the NRO staff;  
3 try to keep the ball moving forward on the activities we heard about this  
4 morning.

5         However, it's obvious from this morning's discussion that there is a  
6 significant gap between what we're currently budgeted for and what the  
7 industry would like us to do and that's largely what you're going to hear Ed  
8 and then later Brian Sheron talk about activities on advanced reactors. Go  
9 to slide 3, please.

10         Since our last Commission meeting on the new reactors, we've  
11 finished a number of significant accomplishments. The acceptance review  
12 for Amendment 16 of the AP1000, the Bellefonte COL, Part 1 of the Calvert  
13 Cliffs combined licensed application, the North Anna and South Texas  
14 combined license applications were all accepted for review.

15         The acceptance of that review does two principal things. The first is  
16 that it establishes the official docket for the review activities and the other is  
17 that it begins the opportunity for public participation in the hearing process.

18         There is a separate notification that goes out and offers that  
19 opportunity. So, that's been done for the combined license applications. We  
20 also published the final rule on the Limited Work Authorization and issued  
21 the early site permit for the North Anna site. Slide 4, please.

1           On the design certification review activities work is proceeding well.  
2       We've issued RAIs on the AP1000, and the ESBWR work continues;  
3       however, recently General Electric informed us that they were going to delay  
4       Revision 5 to the design control document by approximately two months.  
5       We're now assessing the schedule or impact of those delays.

6           We are establishing early on the practice within the office that it's a bit  
7       of a contract between the NRC staff and the applicants to accomplish these  
8       reviews on a predictable schedule and that when there are delays by the  
9       applicant in providing necessary information for us to complete our reviews  
10      that we will reassess the schedule and as quickly as possible reissue a  
11      revised schedule. But there isn't fat within the schedule that we can  
12      accommodate slip after slip.

13          So, it's our intent to be up front and clear and let the world know what  
14      the impact of those schedule delays are. It's going to get only more difficult  
15      as we move out into the future, because as you have 20-some COL  
16      applications and three design certs all running in parallel, it's not always so  
17      easy to accommodate a slip on one design because you need to figure out  
18      where the resources are then available. It might not be when the resources  
19      are available from the applicant that caused the slip.

20          We don't want to penalize everyone else for one entity's slip. So, we  
21      are in the process now of evaluating what impact DCD Rev. 5 delay on the

1 ESBWR will have.

2 The EPR and the US-APWR applications were submitted a couple  
3 months ago, actually right near the beginning of the year for both of those  
4 and next week we will complete our acceptance review and provide the  
5 results of those to the applicants. We're on schedule for completing that  
6 work. Slide 5, please.

7 The current reviews and COL applications are listed on this slide.  
8 Every one of the designs is represented on this application; on this list. Of  
9 interest, I believe, is that the Lee Station was the first subsequent combined  
10 license application and I am happy to report that although the information is  
11 very preliminary now, it looks like we will be near roughly 50% of the amount  
12 of effort that it took to do the acceptance review on the reference COL's;  
13 50% of that is what it took to do the Lee Station.

14 There was a good degree of standardization between the applications  
15 and that allowed us to be far more efficient. If that same kind of efficiency  
16 plays out through the rest of the review, which is certainly our hope, we  
17 would see fewer resources being needed for the subsequent COL reviews.

18 I should also add that there is one omission since yesterday.  
19 Progress Energy submitted the Harris combined license application for the  
20 AP1000. Go to slide 6, please.

21 This slide shows the applications for combined licenses that we're

1 expecting throughout the rest of fiscal year 2008, and you will see the  
2 second one there is that Harris one again. When we get all these this will  
3 result in having 15 combined license applications in house by the end of this  
4 fiscal year.

5 We are still finalizing and implementing all the management and  
6 program management tools that we need to be successful. I think we're  
7 making good progress in putting those into place. So, we're optimistic that  
8 we're going to be able to accomplish the work.

9 CHAIRMAN KLEIN: Do you how many more you might expect  
10 by the end of the calendar year?

11 MR. BORCHARDT: I can look that up and maybe get it for you  
12 during the question and answers. It's not that many, maybe three or four  
13 would be my guess, but I'll look it up during the rest of the presentations. So,  
14 at this point, I will turn it over to Ed Baker.

15 MR. BAKER: Chairman, Commissioners, good afternoon. I'm  
16 going to talk about the advanced reactors licensing activities. Brian is then  
17 going to follow up and talk about the research activities with tool  
18 development and the research that's needed for advanced reactors.

19 I am going to cover the requested reviews. I say requested because  
20 these schedules represent the schedules that have been requested. The  
21 staff has not committed to these schedules.



1           Basically, we are following the Commission's direction that the  
2 resources be first applied to the COLs for light water reactors and as time  
3 permits and resources are available, we are conducting activities that have  
4 been requested. The one exception to that would be NGNP, where we have  
5 some resources from DOE that are committed to this. We are in a  
6 reimbursable agreement and so we're proceeding with that as funding is  
7 available.

8           So, if you go to slide 8, it shows basically a layout of the work that is  
9 being requested and on there we have the NGNP, we have the PBMR  
10 design certification, IRIS, Westinghouse's design, the Toshiba 4S. Hyperion,  
11 which we have had one meeting with and I'll talk very briefly about that a little  
12 bit later. NuScale, which is a multi application small LWR and then of course  
13 there's the advanced reactor technical review and infrastructure development  
14 and I'll talk about that.

15           These are based on the letters of intent that we have. People have  
16 requested pre-application discussions. They've submitted what they believe  
17 to be schedules for submittal of a design certification, a design approval  
18 manufacturing license.

19           Starting with -- I'm going to stick with the PBMR. As they said this  
20 morning, we've been engaged with pre-application reviews since 2005.  
21 Although it's been very limited, they have come in recently with a letter

1 asking us to reinvigorate that interaction. They are talking about a pre-  
2 application submittal in 2010 and they're talking about submitting -- I had  
3 heard 15; this morning I heard 19 additional white papers that would need to  
4 be addressed as part of this effort.

5 This is separate from any effort with NGNP. This is under design  
6 certification. This is a considerable amount of work and it is not in our FY09  
7 budget.

8 IRIS, you heard the discussion of that particular design this morning.  
9 Again, they have a test program that they've asked us to review. We have a  
10 meeting set up for early April to have that discussion. Once again, we're  
11 doing these as resources are available. So, that meeting has been  
12 scheduled.

13 Toshiba, as they mentioned this morning, had a meeting in October of  
14 2007. They've requested design approval. They stated the design approval  
15 would be submitted in 2010 and they are meeting with the staff tomorrow all  
16 day with -- basically presenting the design to the staff as part of a knowledge  
17 transfer familiarization on that particular design.

18 Galena sent in a letter in September of 2007 asking us to resume pre-  
19 app discussions. We haven't heard too much more since then from them,  
20 but they are talking about submitting several white papers on site suitability.

21 Hyperion has submitted a letter. It is basically uranium hydride fuel,

1 hydrogen moderated potassium cooled reactor. Very, very different from  
2 anything that we've looked at before. We met with them in May of 2007 to  
3 discuss the licensing process. They are talking about a pre-app with a goal  
4 of a manufacturing license and they've stated an intent to apply in 2012.

5 COMMISSIONER LYONS: I'd like to ask a question on this  
6 chart. When you do these various pre-application reviews, are you billing the  
7 company? I don't know at what point we start billing, I guess.

8 MR. BAKER: Basically -- I'll use Dave Matthews' phrase -- they get  
9 one free meeting where they come in and we'll describe the licensing  
10 process to them, how they would proceed, and then they get a project  
11 number and then we start billing.

12 NuScale, which is the multi application small LWR. We just received  
13 a letter in January; January 23<sup>rd</sup> it was dated. That is a small light water  
14 reactor. If you think about it in terms of a natural circulation version of IRIS,  
15 that kind of gives you a picture of it. We had a meeting with them yesterday  
16 basically to describe the licensing process and their plans to come in for  
17 design certification. And actually now they are actually thinking about  
18 coming in for a COL further down the road.

19 CHAIRMAN KLEIN: What's the size of that reactor?

20 MR. BAKER: It's about 150 megawatts thermal; 50 megawatts  
21 electric is my recollection. I've lost that piece of my notes.

1 MR. REYES: It's on slide 13. Slide 13 we're going to cover  
2 that.

3 MR. BAKER: Brian is going to talk about that from the  
4 standpoint of tools and so forth. Let me move on to challenges on slide 9.

5 As I said, we've been treating these as resources are available.  
6 Basically, in a restricted resource environment, the Commission gave us  
7 some direction on how to treat priorities and one of those is that we treat  
8 those that have paired with a COL, or a domestic partner get priority.

9 Right now the staff, with the exception of NGNP because of  
10 congressional act, we are treating these as not having a domestic partner or  
11 COL at this point in time. And so they are at the back of the line when it  
12 comes to resources, so we are not impacting the LWR COL work.

13 On top of that you've then got the Congressional direction in this  
14 year's Omnibus Act, which as was mentioned this morning, DOE got  
15 additional funding and as was also stated, we're not in a position at this point  
16 to keep up with that level of funding and support NGNP without additional  
17 resources to do that.

18 If you look at our 2008 and 2009 budget, Brian's going to talk a little  
19 more about this, but basically there's not much there to support advanced  
20 reactor work.

21 Other challenges, it was mentioned this morning there's a small pool

1 of people who have skills in high temperature gas reactors, liquid metal  
2 reactors and we're going to either have to find those resources or keep them  
3 in place or develop knowledgeable staff. And actually, the knowledge  
4 transfer that's going on with Toshiba on the 4S is helping somewhat with that  
5 with liquid metal.

6 Then we've got developing the licensing regulatory infrastructure. The  
7 guidance to the staff and how to do the review. That will be an additional  
8 challenge.

9 In terms of -- go to slide 10. In terms of what we are planning, as Bill  
10 mentioned, we are keeping this separate from the LWR licensing. We are  
11 proposing a separate organization and if we go forward with all of this work  
12 and we're looking at an organization that could grow in 09 to two branches,  
13 about 15 people, or approximately \$4 million. That is not in the budget.  
14 That would be what NRO would need in terms of supporting this level of  
15 effort.

16 Brian's going to talk about the overall resources in terms of both  
17 offices together supporting this.

18 We are consolidating the licensing project management function in  
19 NRO and Research will continue in a role of providing technical support and  
20 developing the tools to support the licensing reviews going forward with this.

21 So, Research had the lead for most of the advanced reactor work or

1 all of the advanced reactor work if you don't count the light water reactors  
2 I've talked about. So, we're consolidating the light water and the non-light  
3 water project management in NRO. And that's basically my portion.

4 MR. SHERON: Thank you. Good afternoon. I'd like to provide  
5 you with an overview of our readiness; that is our ability -- or the ability of  
6 experienced staff and up to date tools and data to license advanced reactor  
7 designs that are significantly different from our current generation of light  
8 water reactors.

9 In my presentation I will summarize key features of potential  
10 advanced reactor applications, but I will focus most of my presentation on  
11 the status of the NGNP licensing strategy and our plan to meet the  
12 Congressionally mandated schedule for the prototype.

13 I will then briefly discuss other potential applications and provide some  
14 concluding remarks. Next slide.

15 On this table, this is the same one -- essentially you saw the timeline  
16 by Ed. This will give you a little more information about the size of these  
17 reactors, who the applicants are, and whether there is any utility interests. I  
18 think the real point of this, though, is that our infrastructure and our current  
19 resources can't really support these design certification submittal dates as  
20 being proposed. Next slide.

21 COMMISSIONER JACZKO: I'm sorry, Brian, by applicants you

1 mean design cert applications?

2 MR. SHERON: Yes. In the Energy Policy Act of 2005,  
3 Congress mandated that NRC and DOE jointly develop the next generation  
4 nuclear plant licensing strategy. The Energy Policy Act further mandates  
5 that the report to Congress will identify needed analytical tools, infrastructure  
6 needs for licensing review and resource needs.

7 NRC needs for analytical tools, include new codes and data to  
8 validate those codes in major technology areas as well as the need to modify  
9 and validate existing codes by 2013.

10 NRC needs for infrastructure development, include the identification  
11 and resolution of policy issues during the pre-application reviews, the  
12 development of interim staff guidance by 2013, and a development of skill  
13 sets for review activities. Next slide.

14 Advanced reactor designs such as the HTGR and the LMR are  
15 significantly different from current generation nuclear power plants. All of our  
16 codes were developed and validated for light water reactors. Staff guidance,  
17 such as Standard Review Plans, was also developed for the LWRs.

18 Our tools and data and the regulatory framework embodies the  
19 knowledge and experience that were developed over the past few decades  
20 for LWR accident analyses. For example, LOFT, Semi-Scale, ROSA facility  
21 and the SPES facility. These are all heat transfer loops integral test facilities.

1           We have also conducted an extensive severe accident research  
2 program following the TMI accident which has led to a better understanding  
3 of plant performance under a variety of accident conditions, better  
4 understanding of containment challenges and performance, and a better  
5 understanding of the magnitude and timing of fission product release.

6           We believe we are relatively well positioned to review advanced light  
7 water designs; however, we may need additional data to validate models for  
8 unique plant features, such as those employed in the IRIS design.

9           For non-light water reactors, we do not have the same capabilities,  
10 though they may to some extent exist internationally.

11           We believe we need to develop an infrastructure for non-light water  
12 reactors similar to those that we have for light water reactors. Next slide.

13           CHAIRMAN KLEIN: Just a clarification on the thermal analysis  
14 of the core itself. I assume that you have some codes that you had used for  
15 Fort St. Vrain. Are they applicable for the PBMR or is it's coding different?

16           MR. SHERON: They would be applicable for the prismatic  
17 design core because that's similar to Fort St. Vrain. The Pebble Bed, I think,  
18 is a very different story because of the configuration of the core. You know,  
19 so we would -- they may be applicable, but we'd have to do a lot of validation  
20 and perhaps some model improvement or modification.

21           CHAIRMAN KLEIN: Thanks.



1 MR. SHERON: It's assumed that most data will be generated  
2 by the applicant and/or Department of Energy. Additionally, the identification  
3 and resolution of key technical and policy issues should occur during the pre-  
4 application reviews. The staff also intends to leverage international data to  
5 the extent practical. Next slide.

6 Commission provided us with resources in FY07 and FY08 to support  
7 the development of the infrastructure needed to license an HTGR. We have  
8 started some of these activities in FY07; however, FY08 monies have not yet  
9 been appropriated by the CFO.

10 Even though our computer codes that are used for licensing LWRs  
11 can be adopted for the HTGR, we will need additional HTGR data to develop  
12 and validate them. I will provide examples in the next view graph. Slide,  
13 please.

14 By far the most important aspect of an HTGR is the fuel. As you are  
15 aware, there are several billion TRISO fuel particles in an HTGR core.  
16 These TRISO fuel particles, whether they are incorporated into a prismatic  
17 compacts or pebbles, are relied on to prevent the release of fission products;  
18 therefore, they are performing the functions of the fuel cladding, reactor  
19 coolant system and containment in light water reactors.

20 We want to be sure the fuel performance is commensurate with the  
21 safety functions the fuel should meet. Under a cooperative agreement with

1 NRC, the Massachusetts Institute of Technology is developing a code to  
2 assess the performance of the HTGR fuel. We will be using data generated  
3 by DOE to validate the code.

4 We also hope to be able to obtain data from international test reactors  
5 in China and Japan.

6 For systems analysis, we are planning to use the MELCOR code to  
7 perform confirmatory analysis. As you are aware, we developed the  
8 MELCOR code for light water reactors and it has been assessed and used  
9 extensively by the staff. We are currently developing HTGR unique models.

10 Our plan is to enter into international agreements where possible to  
11 obtain thermal fluid data to assess the code for HTGR applications. We will  
12 rely on commercially available computational fluid dynamic codes to study  
13 important phenomena that impact the safety performance of an HTGR.

14 Similarly, the PARCS code has been developed for LWR nuclear  
15 analysis. We are in the process of updating the code for an HTGR analysis.  
16 Next slide.

17 Material performance under the high temperature conditions  
18 envisioned for an HTGR is another major confirmatory analysis area. The  
19 higher the material temperature is, the less experience we have regarding its  
20 performance particularly in the longer term.

21 We will work closely with DOE to ensure that its research can provide

1 the necessary data to ensure material integrity. If issues related to aging  
2 effects are not resolved by the time the prototype is built, NRC can impose a  
3 license condition to operate the plant for no more than five years until data  
4 are generated and assessed.

5 With regard to PRA quality, the ASME is currently working on  
6 updating its PRA quality standard that was developed for light water  
7 reactors. We are participating in this activity; however, the availability of  
8 operational data for HTGR specific components is not known.

9 Issues related to the H<sub>2</sub> production facility will be treated as external  
10 threats to the nuclear plant. We have capabilities to assess the potential and  
11 consequences of hydrogen combustion for both deflagration and detonation.

12 Next slide, please.

13 It's very unlikely that NRC can build and operate a large scale HTGR  
14 integral test facility to obtain data for the development and assessment of  
15 various codes in time to support the Congressionally mandated NGNP  
16 schedule.

17 So, our planning assumption is that we will look for collaboration  
18 opportunities with countries that have integral HTGR test facilities; for  
19 example, China, Japan and the Republic of South Africa. However, NRC  
20 may need a smaller scale facility typically the type we locate at universities to  
21 provide answers to questions that may arise during the review and to resolve

1 technical issues that may not be fully addressed by the codes. Next slide.

2 We are working with CSNI to coordinate multinational activities for  
3 potentially developing and sharing data and performing international  
4 standard problems related to HTGRs and LMRs.

5 Other organizations that we plan to contact to establish collaboration  
6 are IRSN in France, EC - the European Commission, Germany, United  
7 Kingdom, Japan and China. In addition, we will continue to collaborate with  
8 universities; for example, MIT and the Department of Energy. Next slide.

9 As I mentioned earlier, in addition to NGNP we are expecting  
10 additional applications such as the 4S liquid metal reactor with passive  
11 safety features; the Hyperion reactor, which is a small, self-regulating  
12 hydrogen moderated and potassium cooled reactor fueled by powdered  
13 uranium hydride; and IRIS, an LWR that has unique safety features that are  
14 not used in current generation LWRs.

15 Our staff skills and current tools and data are lacking in these  
16 technologies. It will require extensive efforts and resources to bring our  
17 technical capabilities to the level needed to license these designs.

18 We estimate it will take about five years and adequate resources to  
19 fully develop these capabilities.

20 We are in the preliminary stage of estimating the resources needed.

21 With respect to the PBMR COL application, we have been working

1 with the applicant since November 2004. We have completed our review of  
2 four white papers on PRA approach, licensing basis event selection,  
3 structures, systems and components classification and defense in depth.

4 Request for additional information have been issued. Planning is  
5 proceeding on reviewing two new papers on fuel performance and evaluation  
6 models for PBMR.

7 Although progress is being made based on our budget resources,  
8 RES cannot provide independent capabilities for NRO to start a COL review  
9 in 2010. Our planning is to produce these tools and data to support the  
10 NGNP schedule of 2013.

11 I wanted to mention before I get on my concluding remarks with  
12 regard to the NGNP report that we are preparing for August. We've -- as I  
13 understand, we've reached agreement with the Department of Energy in  
14 terms of an approach. It is a modification of Part 52 to some extent. It  
15 follows part 52.

16 Obviously, Part 52 you still have to meet requirements in Part 50; for  
17 example, 50.46, 50.48.

18 For those aspects of Part 50, those regulations in Part 50 that do not  
19 apply to a gas cooled reactor, the approach would be to develop risk  
20 informed alternatives using risk information to the extent practical.

21 That's similar to the way we did it, I believe, on Fort St. Vrain where

1 we looked and we find out which regulations don't apply. The licensee would  
2 request an exemption and propose an alternative. We would work with the  
3 licensee to come up with alternative requirements that basically met the  
4 same safety function.

5 That's the approach as you heard from Dr. Corradini. We've been  
6 down and we've discussed this with the ACRS just recently and I believe we  
7 have one more meeting with them. And the plan right now would be to bring  
8 a paper to the Commission, I think in the May timeframe.

9 Anyway, my concluding remarks. The NRC could meet its  
10 commitment to support the Energy Policy Act mandates provided that DOE  
11 selects an NGNP design and operational envelope in early 2009.

12 The NRC's ability to meet its commitment is also contingent upon the  
13 pre-application review beginning in 2010 and policy and technical issues  
14 being resolved by about 2012 and a complete design of high quality being  
15 submitted for COL by about 2013 with sufficient NRC resources being  
16 available. Next slide.

17 In planning for advanced reactors, the NRC recognizes there are  
18 challenges ahead including the development of necessary skill sets and  
19 infrastructure for licensing reviews, the availability of adequate funding and  
20 personnel and the resolution of technical policy issues.

21 We must interact closely with DOE and applicants to ensure the

1 adequacy of data and tools to participate in its international collaboration.

2 That concludes my presentation.

3 MR. REYES: That concludes our prepared remarks. We gave  
4 you extra time so you can ask a lot of questions.

5 CHAIRMAN KLEIN: And we probably will.

6 MR. BORCHARDT: Chairman, if I could, I'll give you the  
7 answer to the question. About the fourth quarter of calendar 2008, we sent  
8 out a regulatory information summary last year and based upon the  
9 responses to that, there's four COL applications expected during the fourth  
10 quarter.

11 Exelon for the Victoria County Texas site, an ESBWR; Amarillo Power  
12 for an EPR; UniStar at the Nine Mile site, another EPR; and then Fermi,  
13 which has not informed us of the design yet.

14 CHAIRMAN KLEIN: Thanks. As you can tell from the  
15 questions this morning and Brian answered part of those, the question is  
16 how do you come up with a licensing strategy when the design isn't really  
17 finalized, which is challenging, nor the site picked. So, that will be, I think, a  
18 challenge and I'm sure Commissioner Lyons will ask about Part 50 and Part  
19 52 or combinations thereof. Commissioner Lyons?

20 COMMISSIONER LYONS: Thank you, Mr. Chairman and  
21 thanks to all of you for an excellent briefing.

1           Brian, I did appreciate your comments on the 50/52 approach to the  
2   licensing and personally, I appreciated the discussion this morning a great  
3   deal, too. I came out of the discussion this morning and I think it's consistent  
4   with what you said. I think this was partly Greg's point this morning; that it  
5   may matter less whether it's 50 or 52, probably -- I think the Chairman even  
6   called it 52-light at one point, but you did imply that we are prepared to make  
7   significant changes in Part 52 as required to match this particular technology,  
8   recognizing that its certainly different from the light water. And I think  
9   probably we are going to have to make some adjustments given the maturity  
10   level of the technology at the time we are going through this.

11           I hope I am surprised and that they have all the answers at the time  
12   we need them. But in any case, I did appreciate your comment.

13           One thing I asked this morning, and it may be premature to ask you, is  
14   where discussions, if any, are standing on the question of confinement,  
15   containment types of approaches.

16           It seems to me that by building in a robust confinement as was  
17   discussed this morning and Dennis even mentioned the possibility of  
18   underground siting, that one would also be further enhancing the safety  
19   envelope substantially. Is it premature to ask that kind of a question?

20           MR. SHERON: No, it's a good question.

21           COMMISSIONER LYONS: I mean, do they know what they're



1 doing at this point?

2 MR. SHERON: I think what we need and I've said this  
3 previously, and that is that it will probably come down to a policy issue that  
4 perhaps the Commission needs to weigh in on, but before we can present  
5 anything to the Commission, we would need to get something from the  
6 licensee in the way of a submittal and a proposal.

7 They would have to make the safety case on why they believe, for  
8 example, if they wanted a confinement why that was acceptable. We would  
9 evaluate it and then we would forward that probably to the Commission with  
10 a recommendation. I'm going to ask Dr. Eltawila -- you've had maybe more  
11 discussions of any other insights.

12 MR. REYES: But the issue is that it's required by the  
13 regulation, so they have to propose an alternative. So, that's the way we will  
14 handle it and whether they propose, we don't know, and whether that  
15 proposal is acceptable or not, we don't know. It's a problem because the  
16 design is not there.

17 MR. ELTAWILA: Just to follow up to what Brian said. We have  
18 raised the issue of containment versus confinement to previous  
19 Commissions several times and the Commission came back and told us that  
20 you need additional information.

21 So, we are working on developing this licensing spread sheet about

1 confinement versus containment and we hope to address this as part of a  
2 Commission paper that will be coming to the Commission to discuss what is  
3 the requirement; why do we need containment; what is, as Mr. Spurgeon  
4 indicated today, you need the containment for light water because you want  
5 to confine the steam to condense it to be able to circulate it for ECCS.

6 So, we'll keep that in mind. We'll look at all the other functional  
7 requirements that containment needs to perform and then we will come with  
8 recommendation to the Commission about the pros and cons of each option  
9 for your decision.

10 CHAIRMAN KLEIN: If you could just educate the three of us,  
11 since we were not on the Commission when Fort St. Vrain was licensed.  
12 What was the approach? Was it confinement or containment on Fort St.  
13 Vrain?

14 MR. ELTAWILA: I believe it was confinement, but I will look to  
15 the other side.

16 MR. REYES: Yes.

17  
18 MR. BAKER: Can I add something to that answer? It really  
19 goes to the question of when this would occur and what's in the licensing  
20 strategy. The way the joint working group is approaching that particular  
21 issue, those issues would actually be addressed in the pre-application phase  
22 in terms of addressing those policy issues.

1           The licensing strategy is really just how you approach it and as Mike  
2 Corradini said this morning, its Part 52, Part 50, its risk informed  
3 deterministic.

4           It's going to that level of information. You shouldn't expect a licensing  
5 strategy to get into some of the more technical issues.

6           MR. ELTAWILA: But the issue of containment would be much  
7 easier addressed if we have a strong fuel management program. The  
8 performance of the fuel as Brian indicated in his presentation is the most  
9 important aspect.

10          So, if DOE finished their fuel qualification program and we review the  
11 program and we have confidence in the result that will come out of that, that  
12 would make the decision much easier about confinement versus  
13 containment.

14          MR. REYES: If you don't need to retain the coolant inventory  
15 for cooling post-accident at the core and you don't have significant releases  
16 leaving the core, then that will be a rationale for not necessarily requiring  
17 containment.

18          COMMISSIONER LYONS: Agreed. But we need that  
19 rationale, but at least from what little I know of high temperature gas  
20 reactors, that's very likely to be the way it develops.

21          Since a couple of you just referred to Fort St. Vrain that was

1 another question I wanted to ask. To what extent are we going through a  
2 structured knowledge management data recapture, whatever the right word  
3 is to gain whatever lessons we can. I'm sure there is a number that aren't  
4 applicable, but still I would assume that there is information from Fort St.  
5 Vrain that does apply. I was curious if we were going through any sort of a  
6 structured process to gather that data?

7 MR. ELTAWILA: As part of our knowledge capture that we  
8 started a few years ago, we have developed a report and we issued the  
9 report about operating experience in Fort St. Vrain and we also -- Peach  
10 Bottom and some of the old European HTGRs. So, we have an operating  
11 experience report that we have developed to capture that knowledge.

12 In addition to that, we have established a very small level of effort at  
13 Oak Ridge National Laboratory to have a knowledge management activity  
14 and we have a web site about community of practice that people from  
15 different organizations that are doing work in HTGR can put their information  
16 and share information with us. So, that is working very well.

17 In addition to that, there was an old code that was developed by Oak  
18 Ridge and Oak Ridge kept it actually running. Right now we have it here at  
19 NRC and we are training our younger staff to work with that code to  
20 understand what can go wrong in an HTGR in case of accident and so on.

21 So, we are using all this information for training our staff and collecting

1 the information that was done in the past.

2 As Brian indicated, we are working with CSNI again to start to get the  
3 international community to participate in the international standard problem  
4 and that is one important feature to ensure that our code assists against  
5 experimental data.

6 So, we prepared a list of questionnaires and we've tried to get a group  
7 of international organizations to start participating. The first things that these  
8 international organizations should have the willingness to give data for the  
9 other countries to be able to use it for code assessment.

10 MR. REYES: Remember that all those activities are under that  
11 very, very, very modest budget line item that we left in '08 to continue that.

12 COMMISSIONER LYONS: That would have been my next  
13 question, but I'm out of time. I would guess my colleagues will take  
14 adequate care.

15 CHAIRMAN KLEIN: Why don't you ask your favorite question;  
16 money?

17 COMMISSIONER LYONS: Well, okay. We did -- I did, I think  
18 several of us did raise dollars in various ways with Dennis this morning.  
19 What I interpreted his answer to be, and I would be curious if you also  
20 interpret it the same way, was he certainly recognized a need for the DOE  
21 and the NRC to be progressing in lockstep.

1           He recognized that there was a significant increment in dollars  
2 provided to DOE in '08 that was not provided to us. What I thought I heard  
3 him say was that he hoped we would make a case in '09 to the appropriators  
4 and I think we should consider doing that.

5           That leaves open the question of '08 and at least I interpreted his  
6 remarks as being somewhat receptive to a request from us to look at  
7 balancing the '08 resources.

8           Now, that is not exactly what he said. I'm sure everyone here heard  
9 this slightly differently, but nevertheless, I do think that would be appropriate,  
10 at least based on what I heard. So that's not really a question, but --

11           MR. SHERON: Maybe I could address the resource issue.  
12 Right now in 2008 we have about \$3.5 million budgeted for the advanced  
13 reactors.

14           MR. REYES: Out of our own budget.

15           MR. SHERON: And 6 FTE.

16           MR. REYES: This is what the Commission approved in the '08  
17 budget if you recall that. He is speaking about our money.

18           MR. SHERON: What was approved for '09 for all advanced  
19 reactor work, at least in the Office of Research was 8.9 FTE and \$5.75  
20 million. Now, on top of that if you remember with regard to the Energy Policy  
21 Act, DOE provided us with \$4 million over a two-year period for the

1 development of the licensing strategy report. So, we've gotten \$2 million a  
2 year from DOE.

3 In addition, I think it was probably about a month or two ago we  
4 initiated a meeting with DOE to discuss the need for, you know, what we  
5 would need in the way of resources as well as perhaps leveraging their  
6 experimental program to meet NRC needs. At the time, DOE indicated they  
7 would look and see if there was additional funding they could provide to us.

8 We haven't heard anything yet. I don't know -- have you got any more  
9 information on that? But we did make the request of DOE for perhaps they  
10 could find additional funding to provide so that we could again develop -- do  
11 more to develop the infrastructure.

12 COMMISSIONER LYONS: My suggestion based on the  
13 morning discussion is that if we haven't heard very soon, perhaps raise it  
14 again at Dennis' level.

15 MR. BORCHARDT: Excuse me, Chairman. Could I take the  
16 liberty of trying to address a topic Commissioner Lyons raised at the very  
17 beginning of the questions? It was discussed a lot this morning. It had to do  
18 with Part 52 and coming up with some innovative approach to that. I think  
19 there is a misunderstanding or a significant disconnect between what the  
20 industry would like to see and what Part 52, at least in my mind, would be  
21 acceptable.

1           Part 52 creates a lot of regulatory certainty because there is enough  
2 design information for us to make a combined licensed decision with finality.  
3 What the industry seems to want to do and the Department of Energy as  
4 well, is for us to issue that same issue finality based upon the same amount  
5 of information that might be available at a construction permit stage under  
6 Part 50.

7           I try to be open minded, but I don't see a connection there. There is a  
8 definite amount of detailed design information that the staff must have in  
9 order to make the safety finding that's required to issue a combined license  
10 under Part 52.

11           I don't see any way around that unless you want to create a whole  
12 new licensing process that opens up the opportunity for hearings and  
13 litigation and other activities after construction is complete, which is an awful  
14 lot like Part 50.

15           I don't think we really connected in the discussions this morning and I  
16 just felt obligated since that topic came up in your opening comments that I  
17 don't really see an immediate success path there.

18           COMMISSIONER LYONS: It may be convincing me to go back  
19 on some of the thoughts I expressed this morning about whether this should  
20 be Part 52 at this point in time.

21           MR. REYES: The operative word that Bill talked about is the



1 level of detail on the design. That's what answers the questions we typically  
2 need under the regulations to make our safety case.

3 So if your design is -- if the plant is built and running, let's say Pebble  
4 Bed modular reactor in Africa, then you have all the details you need to  
5 make a judgment by us whether to move forward. If you don't have that level  
6 of detail on the design, we may have difficulty getting there. And that's the  
7 point that Bill was trying to make.

8 Part 52 works on an assumption that we have all the detailed  
9 information on the design to make the safety judgment and then you can  
10 issue an operating license with the condition that it would be built and tested  
11 as per what was submitted to us.

12 CHAIRMAN KLEIN: Have you gone through Option A is Part  
13 50; Option B Part 52 and what you would require under both to see which  
14 path is better?

15 MR. BAKER: The working group went through that analysis.  
16 Keep in mind, their goal was what's going to get us to an operating license in  
17 2021 with the most certainty. And in that comparison they determined that  
18 Part 52 was going to get us there with that certainty.

19 CHAIRMAN KLEIN: If you have the design.

20 MR. BAKER: If you have the design; that is correct. The  
21 issues they looked at were if you go down a Part 50 route, you end up two

1 opportunities for hearings. You end up with less amount of information when  
2 you start construction. And they went back and they looked at the history of  
3 all the issues when we operated under Part 50 and what that meant in terms  
4 of time for construction, ability to meet schedules and it was really driven by  
5 what gives us the certainty to get there.

6 MS. CYR: I think the issue with respect to Part 50 is -- what  
7 you're really looking at is issue preclusion. In the early stages of when we  
8 did construction permits from a litigation standpoint, when you looked at  
9 issuing a construction permit there is a minimum set of information you need  
10 when you do that. It's not a lot.—PSAR in terms of what we found  
11 acceptable to be able to do that. You can have a lot more information.  
12 If I go ahead and the Commission reviews and approves that, I may not have  
13 enough to issue the Part 50 OL, but I may have an awful lot more information  
14 -- when you're talk about flexibility of an approach, I may have an awful lot  
15 more information then I had at the time I was doing Part 50 CPs in the '70s.

16 If you're looking at difference in approaches from flexibility, it may not  
17 be that I'm doing Part 50. I may not have enough information to do a design  
18 certification to make all of my findings to issue a COL, but I may be able to  
19 make an awful lot more findings than I made back in the '70s. So, that I've  
20 made an awful lot of findings and therefore I made a final decision with  
21 respect to those issues and on the basis of that there is enough information

1 for somebody to go and build, begin to construct, and then I would have to  
2 come back and get an OL and have the agency look at those issues which I  
3 had not looked at and made a final decision with respect to before.

4 So, under Part 50 there's flexibility with respect to how much  
5 information I may have and may have enough to make a decision on at the  
6 time I would issue a CP.

7 But that is the difference between that, I think, and what Bill's saying  
8 with respect in order to do the COL, I really have to have all the information  
9 to be able to make my findings with respect to that.

10 CHAIRMAN KLEIN: I guess my question that I had earlier with  
11 my 52-light approach, is how much design information and design  
12 certification do you need to go down the Part 52 route?

13 In other words is there flexibility on that side in terms of the amount of  
14 information you would have? And then obviously you're going to kick the can  
15 down the road for a lot of ITAAC issues.

16 MR. BORCHARDT: My initial answer would be we have a Reg  
17 Guide 1.206 that lays out the requirements for a COL application and that is  
18 our best estimate having never been through the process of what it would  
19 take for us to be able to make that regulatory finding to issue a combined  
20 license.

21 MR. REYES: We have some insights. If you look at the design

1 certifications that we approved before we had COL applicants, there was a  
2 level of detail there that is not like some of the ones we are doing today and  
3 we agree that the remaining level of detail would be provided by the COL.

4 We have some experience on that, but I can tell you, if you don't have  
5 your design, I go back to my original statement, if you don't have the design  
6 for the facility, it's going to be very difficult.

7 COMMISSIONER JACZKO: The important thing, I think we  
8 have this -- we're coming at this from the wrong perspective. If there's no  
9 final design, there's never going to be a plant built, period.

10 The advantage of Part 52 is it forces the applicant to do the hard work  
11 first, get the design done, so that we can go through and review something  
12 with certainty.

13 If we allow a process, more like a Part 50, there is a tremendous  
14 opportunity for incomplete work, which means incomplete work on our part,  
15 which means lack of certainty and lack of ability to getting an end point.

16 We're not in the business of licensing plants. We're not in the  
17 business of issuing construction permits. We're in the business of getting  
18 plants to operate.

19 That's the goal. If you are going to build a plant and get it to operate,  
20 you need a complete design. Part 52 provides you forcing function for that  
21 design to get complete.

1           If what we're hearing back from the applicants is they don't think they  
2    can do that, that's not a problem with our process, that's a problem with the  
3    applicant and the state of the industry and the state of the technology on the  
4    applicant's side.

5           So, you know, I am very, very uncomfortable with us coming up with a  
6    brand-new process. It's taken us 20 years to get – 15 -- well, I guess almost  
7    20 years to get Part 52. If we're going to start now and come up with Part  
8    58, I think that is the wrong way to go.

9           I mean we did Part 52 because of what happened wrong, which was  
10   we allowed applicants to come in with incomplete designs and start building  
11   plants and then we would change things in the middle, there was no finality  
12   in our regulation with Part 52. We have finality in our regulation when the  
13   COL is issued; changes to our regulation, unless there's a back fit analysis,  
14   don't go in changes in the plant.

15          They have certainty moving forward in the construction phase about  
16   how to do it. Those are all the advantages that we get with Part 52, but if the  
17   applicant can't get a design done, that's something the applicant needs to do  
18   and we need to force them as we did here.

19          That's one of the lessons with the light water reactors has been; the  
20   insistence on the staff of high quality applications, complete designs,  
21   complete application. That's what's allowing this process, although it's a little

1 bit rocky. It's not smooth sailing. There is some level of detail that is missing  
2 and all of those kinds of things. It has forced that work up front.

3 And I think that is the advantage and I think if we go down a road of  
4 going back to the old days we would go back to the old days, which is  
5 Shoreham, which plants that get built and never get operated, constantly  
6 changing regulations and backfitting plants. That's why we had the backfit  
7 rule because of what happened when we did plants under Part 50.

8 The problem isn't our regulations. The problem is the level of  
9 certainty and the level of detail on the applicant's side.

10 MR. BAKER: I want to raise one point. The joint working  
11 group is coming up with a recommendation that will go to the Commission  
12 and will go to the Secretary. That's the working group's recommendation  
13 and that will go forward then to Congress as a joint recommendation. That  
14 doesn't mean the applicant has to choose that.

15 The applicant can still come in and say, "This is what I want to do."  
16 Even today. There are benefits to Part 52. I think everybody realizes that,  
17 but we haven't taken Part 50 off the books.

18 So, there is this other issue about what will the applicant want to do?  
19 What will the applicant be in a position to do?

20 COMMISSIONER JACZKO: I think one of the things we have  
21 to be careful here. The purpose of this licensing strategy is for us to develop

1 an infrastructure. It's not to provide a report to Congress. The idea here is  
2 to come up with something that works.

3 As I talked about this morning, one of the difficulties we're facing right  
4 now is we had Assistant Secretary Spurgeon here not really laying down a  
5 real clear signal about what approach he favors. We had a group of eight,  
6 nine, ten people, who I think if you asked them probably didn't know enough  
7 about it, but wouldn't really have an idea to tell you what way they favored  
8 and it probably depends on whether they were for process heat or for an  
9 international design or what their needs were, the kinds of approach they  
10 would find applicable.

11 But the whole idea here is to get everybody focused around NGNP  
12 and get them to use that as a vehicle to move forward. That's why we're  
13 doing this licensing framework so we can lay out the framework for how  
14 we're going to go through and do the confirmatory research.

15 What kinds of things we're going to need to see? What are the  
16 technical issues we need to have to resolve and do all that?

17 I think we're on a good track right now. I think the staff has come to  
18 some good conclusions and I think a lot of this is just really fundamentally  
19 missing the point that I think the concern we're hearing is because the  
20 applicant's not ready, and I don't think we can fix the process to address that.

21 CHAIRMAN KLEIN: I think part of that is driven by EPAAct;

1 originally of picking a date of 2021, but as I recall, there was also a flexibility  
2 as to whether that schedule was really reasonable. And so I think as we go  
3 forward what we should look for is what's right, what's the best way to do it.  
4 And then if we start from 2021 and work backwards, you know, it may mean  
5 that DOE needs a final design by this summer. And then that says that 2021  
6 may have to be re-evaluated. I think as we go through that process, we'll  
7 want to look at that.

8 But I think at the end of the day we need to look at what's the best  
9 way to proceed and not be totally driven by 2021 because I think, again,  
10 there's flexibility in there if we have to meet that.

11 MR. SHERON:: I did just want to point out that if -- I think the  
12 piece that's missing in this is the fact they're trying to take a first of a kind  
13 design and immediately go into the licensing process and on top of that get it  
14 done fast. If you go back -- I'm showing my age, but when I first started  
15 working on the Clinch River project --

16 MR. REYES: I wouldn't acknowledge that if I were you.

17 MR. SHERON: If you think about it, that was the first of a kind  
18 except that the Atomic Energy Commission built the FFTF facility, the fast  
19 flux test facility and put it out in Richland and ran it and the whole idea was to  
20 get that experiential database, you might say, in terms of demonstrating that  
21 these things will work and use that as the basis for licensing the commercial



1 version which was Clinch River.

2 FFTF was not licensed by the AEC. It was an AEC reactor. I think  
3 the piece that's missing is the fact that we don't have that demonstration  
4 plant, you might say. We're going straight to something that is supposed to  
5 be commercially viable. You need to go through that design stage, and I  
6 think what I heard from DOE and I'm sympathetic, is that for a first of a kind  
7 it's kind of hard to come up with that final design the first time through.

8 COMMISSIONER LYONS: That's why I was raising the issue  
9 and said several times that I am not at all convinced that they can come up  
10 with a final design. And I don't disagree with Greg that it would be wonderful  
11 if we could force them to do that. I'm just not sure they're going to be able to  
12 do that on any time scale that makes any sense. As far as extending the  
13 2021, we were hearing enough comments this morning that implies that at  
14 some point the whole thing becomes moot. I'm not sure that going later than  
15 2021 makes terribly much sense.

16 COMMISSIONER JACZKO: I think -- one of the things I think  
17 is important and I always look to Bill in this because it's one of his most  
18 candid moments when he always talks about design acceptance criteria. But  
19 Part 52 does provide a lot of that opportunity to do designs in stages as well.  
20 Let's keep that in mind.

21 The Westinghouse AP1000 design we approved did not have finality

1 for major piping systems; did not have finality for the control room, for Digital  
2 I&C, because that was still evolving technology at the time. So, all of those  
3 opportunities exist within the Part 52 process to deal with designs as we go  
4 along in the COL process as we go through this.

5 PBMR has a design that they say they are going to have criticality in  
6 2013. They're going to have a finalized design pretty soon, which to some  
7 extent could give them a leg-up in terms of being the direction for NGNP.  
8 So, it's not outside of the realm of possibility that there will be finalized  
9 designs or more finalized designs.

10 CHAIRMAN KLEIN: My guess is PBMR may not be a final  
11 design. After they operate it for a while, it may be modified as well. So, I  
12 think the question is when we do a design cert, how many amendments can  
13 we handle and can we go through that process? That will probably be a key  
14 issue that if we go down that path, so we're looking forward to seeing your  
15 paper and recommendations as to how complete, if we go down that path  
16 how the design cert is.

17 MR. BAKER: One point to make. PBMR is coming in for a  
18 design cert separately; NGNP at this point is not considering a design cert in  
19 the NGNP time frame. They're coming in for a license, not necessarily a  
20 design certification in terms of getting the rule done and having a certified  
21 design.

1                   COMMISSIONER JACZKO: And that's not till 2013 under the  
2 current schedule.

3                   MR. ELTAWILA: They are submitting their application in 2010.

4                   COMMISSIONER JACZKO: For NGNP, the COL is anticipated  
5 2013, I believe.

6                   MR. ELTAWILA: That's correct.

7                   COMMISSIONER JACZKO: That is the time when we would  
8 have a requirement for a more complete design at that point than a four-year  
9 licensing time and four-year construction time.

10                  That gives us under the current schedule, 2009 is when pre-  
11 application review work would begin. That is four years to begin working on  
12 the design, working through the design, getting to a complete design. There  
13 is plenty of, you know, time in there if there is a commitment and the  
14 resources come from the applicant to work through those issues and  
15 potentially even be able to work off of an operating PBMR facility.

16                  CHAIRMAN KLEIN: I think the challenge we probably will have  
17 as we go down this path, it will really depend a lot on what NGNP is, whether  
18 it's Pebble Bed or prismatic. I think we do have the codes and a lot of data  
19 for Fort St. Vrain that we handled and dealt with.

20                  On the other hand, Germany has a lot of information on the Pebble  
21 Bed, both Julich and THTR, and then the Chinese as well.

1           So, there's some data out there that it's almost like you know, not  
2 quite like Clinch River and FFTF. There have been plants that have been  
3 running with gas that I think might give us some additional some technology  
4 and some data. It means we'll need a lot more, but I think there is a fair  
5 amount of data, and it depends on which way they go.

6           I think what we need is the computer codes to do a lot of the safety  
7 analysis. But I think if you look at your schedule, it should help drive DOE to  
8 make that decision to give us a design that we can then start working with.

9           In terms of information out of Germany, do you have pretty good  
10 access on Julich and THTR?

11           MR. ELTAWILA: We don't have this information right now, but  
12 we expect to receive it as part of the PBMR application because they have  
13 pulled the technology from Germany and they are going to submit it as part  
14 of their justification for the safety case of the design.

15           CHAIRMAN KLEIN: In Dortmund, remember they had that hot  
16 gas duct. They were doing a lot of testing for a long period of time on the hot  
17 gas duct. It seems on the material side there's a lot of information that we  
18 can help build on.

19           MR. ELTAWILA: We will definitely try to approach the  
20 Germans to see if we can access this information, but maybe because of  
21 contractual method between Germany and the Republic of South Africa, they

1 might not give us this data without PBMR approval. But in any case, we will  
2 get this information under the application review of the PBMR.

3 CHAIRMAN KLEIN: I'm sure that when China bought a lot of  
4 that technology from Germany they also had some of it.

5 MR. ELTAWILA: They have some of it.

6 CHAIRMAN KLEIN: Well, in my last trip there, there's some  
7 sharing that should occur between the two countries, so I think we'll move  
8 forward on that regard.

9 In terms of, Brian, I guess getting back to page 23 of your concluding  
10 remarks and you look at the commitments to support EAct '05, there is a lot  
11 that DOE needs to do and a lot we need to do. From this side of the table  
12 what the Commissioners would like to know -- we don't have to know it now,  
13 but basically what do we need to do our part of EAct requirements in terms  
14 of people, funding and other resources. I know space would be one of them  
15 that you need.

16 MR. SHERON: We would be okay if we -- I've already done  
17 the projection for Church Street.

18 MR. REYES: We've got him covered in Church Street. He  
19 kicked ADM out of the building, so he's going to the whole building.

20 CHAIRMAN KLEIN: One of the things, though, I agree with  
21 Commissioner Lyons, based on the discussion that we had with Dennis

1 Spurgeon this morning that both DOE and NRC need to move in similar  
2 fashions. And if there's resources needed for us to meet EAct '05 then we  
3 certainly should let that be known to DOE.

4 MR. SHERON: We would obviously put that in our FY-10  
5 budget request, but we think that there is still some additional resources we  
6 would need in '09 to, again, and this would be a combination of both  
7 Research as well as NRO in order to again meet the DOE schedule.

8 CHAIRMAN KLEIN: Obviously, as Congress looks at budgets  
9 for '09, I'm sure that we will communicate the fact that this program needs to  
10 move in parallel. That if they receive a significant dollar amount and we don't  
11 receive a dollar amount, then it doesn't help complete the whole process.

12 MR. ELTAWILA: If I may add to what Brian said. I think one of  
13 the important things that we have to hire people immediately right now  
14 because we need the group is going to interact extensively with DOE about  
15 their testing and analysis program and part of that interaction they will  
16 transfer the knowledge, so we would like to have the staff that will be working  
17 on that to be here during the interaction between us and DOE so they absorb  
18 that knowledge and be prepared for the licensing review.

19 So, I think one of the critical things is the NRC staff and, of course, a  
20 very good contractor to support us.

21 CHAIRMAN KLEIN: Commissioner Jaczko?

1                   COMMISSIONER JACZKO: I guess I would just make a  
2 couple brief comments on the discussion on the Part 52 issue. One, I think it  
3 probably is good to get the Commission sooner than May; whatever the  
4 staff's approach is going to be. I don't know that we've yet come to a  
5 conclusion.

6                   I hope we're narrowing in on something, which sounds to be the  
7 approach the staff is taking. It seems to me to be a good approach, but  
8 probably which I think the schedule right now is get something end of May.  
9 My sense is sooner than that would probably be better.

10                  CHAIRMAN KLEIN: I think at least a draft. In other words, it  
11 doesn't have to be final, but at least something that we can start looking at, I  
12 think, to see the road map would be helpful.

13                  COMMISSIONER LYONS: On that, I think that we've gotten a  
14 little bit caught up, I think, in the Part 50 versus 52 and all these things, but I  
15 think the important thing for me in all of this and I think it's what Mike  
16 Corradini said and you Ed alluded to it, the real important thing here is the  
17 technical issues. How are we going to resolve the technical issues? And  
18 clearly, the actual, I guess, resolution to the technical issues in a more  
19 detailed sense is going to come later, but at least for the road map right now  
20 the big approach is kind of to go with the deterministic risk informed  
21 approach or a combination of those two things.

1           That to me is probably the more fundamental decision for the  
2 Commission to really look at because that in the end is not the process;  
3 that's our definition of safety and what it's going to mean in this case, which I  
4 think is the more -- laying that foundation is going to help us decide how we  
5 address issues like containment or confinement or changes in emergency  
6 planning zones or anything else that might come out of it. So, I think, again,  
7 getting those things out to the Commission early would be helpful.

8           I'm going to switch gears for a little bit because I have Bill here, go  
9 back to our existing light water -- new light water reactors and just ask a  
10 couple of questions on some updates on where we stand with some of the --  
11 what I still see as the critical path items for getting that process completed.

12           The first one is Part 73. Maybe can you give me an update on where  
13 we stand with Part 73 right now? I know we are in the process of doing  
14 guidance documents and getting ready to release guidance documents on  
15 that. I don't know if those drafts have gone out or how that is progressing.

16           MR. BORCHARDT: I am going to need some help on that.

17           MR. REYES: On Part 73 --

18           COMMISSIONER JACZKO: If you want to get back to me on  
19 that, that's fine.

20           MR. REYES: Part 73 we're pushing to accelerate the schedule  
21 for the rule. In June, Dr. Mallett is going to deliver it to me or we will have a



1 vacancy posted. Then on the other stuff, we'll owe you the details on the  
2 guides.

3 COMMISSIONER JACZKO: But right now you would say it's  
4 moving forward.

5 MR. REYES: On a serious note, the staff is pushing, but it's a  
6 lot of work. We're going to try to accelerate everything to meet it. Part 73 is  
7 a key issue we're pushing hard on.

8 COMMISSIONER JACZKO: Okay. The next question -- this  
9 has to do with -- I saw the APWR design cert is on here. We're going  
10 through the acceptance review with that right now. Again, it's my  
11 understanding that this falls into that area of not budgeted, but if we have  
12 resources we're doing it. I just want to make clear that my understanding of  
13 that is correct. Right now we do have resources because I guess some  
14 applicants didn't come in.

15 MR. BORCHARDT: Some COL submittal delays have opened  
16 up some resources. Either way, we wanted to do the acceptance review, so  
17 if there were issues that needed to be addressed they could work on that  
18 now. That's going to be our general approach to the maximum extent we  
19 can, even in '09, where we currently don't have enough resources to do all  
20 the COL reviews starting on the date they are submitted.

21 We want to try to do the acceptance reviews, so that if there's work

1 that needs to be done, the applicants can do that, and then, you know,  
2 resubmit the required additional information.

3 COMMISSIONER JACZKO: Okay. And on that point of  
4 acceptance review, we've done now, I guess it's about four or we have at  
5 least in review. We have South Texas. We have North Anna, Bellefonte and  
6 Duke that are in process or have been completed. Are there any lessons  
7 that the staff has learned right now about how the acceptance review  
8 process is going? Any changes, you think, could be made? Would there be  
9 an advantage to a longer time or coming up with some kind of criteria or  
10 anything you think you've learned at this point that would be useful to take  
11 stock of?

12 MR. BORCHARDT: I think the Commission's authorization to  
13 let us go to 60 days is beneficial because it's allowed us to go to a higher  
14 degree of detail. We're doing an assessment to see if there are any  
15 significant lessons learned.

16 My initial reaction would be that while you can always take longer to  
17 do it, part of the habit we need to get into is to do as good a review as we  
18 can, make a decision, and move on. And 60 days was enough for us to  
19 make some fairly difficult decisions on the first several. They weren't perfect  
20 applications.

21 We had a very thorough airing within the staff. We discussed the

1 issues and forced ourselves to a decision. Just based on that experience, I  
2 think 60 days was enough. We felt under pressure, but that's a good thing.  
3 So, I don't think we need more.

4 As the industry sees the feedback from the first several, they're  
5 learning. We've gotten that feedback from other future applicants that they're  
6 paying very close attention. So, I expect the quality to actually improve over  
7 time. It will actually get a little easier, I think.

8 MR. REYES: I was going to emphasize that second part. To  
9 Bill's and his staff's credit, all the issues that we have documented to the  
10 applicants early on have been clearly distributed to all future applicants and  
11 they have taken that to heart; in fact, delayed some applications to make  
12 sure they were fully complete.

13 And what you are seeing now is the latter ones we have received.  
14 Those issues are not there. They're much, much better applications and  
15 hopefully we'll get through it faster. I think there are lessons on both sides.

16 COMMISSIONER JACZKO: The last question I have, and I  
17 would just go back to the advanced reactors for a moment. One of the  
18 things that I think Brian or maybe Ed it was in your presentation; talking  
19 about the hydrogen hazards analysis and looking at that on the process heat  
20 side, that may introduce one of these, I guess, licensing basis events or some  
21 kind of design basis accident equivalent. Looking at that, given the potential

1 that we may not necessarily be dealing with hydrogen production use of the  
2 process heat, but say the petrochemical applications, are we looking at  
3 hazards that could more broadly be, rather than just a hydrogen production  
4 hazard, but a petrochemical facility incident or are we still too premature for  
5 that?

6 MR. ELTAWILA: All external hazards would be treated whether  
7 it's a processing plant or the chemical plant for the production of hydrogen.  
8 Any stress to the nuclear facility itself would be assessed -- its impact on the  
9 nuclear facility.

10 MR. SHERON: Its proximity to the nuclear plant is also very  
11 important.

12 MR. REYES: The siting issue would cover that. We have  
13 current generation reactors that are nearby liquid nitrogen gas storage  
14 facilities, chemical facilities, et cetera, et cetera. So, when you go to the  
15 siting you have to know how the proximity is and all the external hazards that  
16 Farouk mentioned have to be dealt with. It could not even be connected to  
17 the facility. It could be a business nearby.

18 COMMISSIONER JACZKO: Do we have any examples of  
19 facilities that have the kind of proximity we might be talking about to one of  
20 the chemical facilities?

21 MR. REYES: We have some relatively close.

1 These proposals that you heard this morning are really close because the  
2 transportation of whether you are talking hydrogen or talking heat or steam,  
3 you don't want it far away for efficiency purposes, so you are going to be co-  
4 located.

5 In fact, we have one existing reactor who has an industrial facility  
6 nearby and they were looking into can they get heat, steam from that facility  
7 and it's very close by.

8 COMMISSIONER JACZKO: Okay. Those are my questions.  
9 Thank you.

10 CHAIRMAN KLEIN: Commissioner Lyons?

11 COMMISSIONER LYONS: Maybe a couple of straightforward  
12 questions. Brian, you said, I think it was on slide 17, that you don't have '08  
13 dollars yet. You said the CFO had not been able to appropriate them yet.  
14 That slightly puzzled me. I thought that the '08 funds were in-house. Are  
15 they not?

16 MR. ELTAWILA: I think maybe when we prepared the slides  
17 that was the case, but I think the funds should start being released by the  
18 CFO. So, we did not update the slides, but we have the resources for '08 to  
19 start awarding contracts.

20 COMMISSIONER LYONS: Resources in '08 to start are not  
21 the issue?

1 MR. ELTAWILA: That's correct. The Commission put the  
2 resources for us.

3 MR. REYES: It takes about a month from when we get the  
4 money approved before they see it in their checking account in their  
5 allocations.

6 COMMISSIONER LYONS: I just wanted to add my  
7 concurrence with the statement that both Greg and Dale made, that if it's  
8 possible to see a draft of the licensing strategy sooner -- soon, I should say.

9 MS. VIETTI-COOK: You have it. We got it in preparation for this  
10 meeting.

11  
12 MR. ELTAWILA: The background document. The licensing  
13 strategy is still in development and we will --

14 COMMISSIONER LYONS: That's what I thought you meant.

15 MR. ELTAWILA: Yes, that is correct.

16 COMMISSIONER LYONS: And then just a comment and I hate  
17 to belabor it. I'm still confused on 50/52 issues. Maybe my colleagues are  
18 100% clear on it. I think what I was understanding Bill to say was that -- well,  
19 at least a possibility is 52 with a number of open issues or maybe it was  
20 Greg that was pointing that out.

21 But if you really want to stay with Part 52, you can do 52 with a  
22 number of open issues that would have to be addressed at some later point

1 in time. I just remain very doubtful that DOE is going to get there -- get all  
2 the details sufficiently put together to really come in with a complete Part 52.

3 MR. BORCHARDT: I'm not sure I can go along with the open  
4 issues comment idea. We need to have enough information in order to  
5 make a regulatory finding. You can base that --

6 COMMISSION JACZKO: The Commission has to as well on  
7 Part 52.

8 MR. BORCHARDT: Of course. But you can base that finding  
9 on detailed design information combined with ITAAC and DAC is just a  
10 subset of ITAAC; things that need to be verified afterwards in order to do  
11 that. We don't have any provision to have -- issue a license with an open  
12 item.

13 COMMISSIONER LYONS: I'm sorry, I meant DAC. I said  
14 open issues.

15 COMMISSIONER JACZKO: Certainly an approach the staff  
16 could use is license conditions that would limit operation in certain ways that  
17 would allow data to be collected, limiting output temperatures, things like that  
18 that would allow operation, I would assume, with certain parameters, and Bill  
19 -- maybe you're looking to Karen.

20 MR. BORCHARDT: I'm looking at Karen.

21 MS. CYR: You'd have to look at very specific -- maybe I can

1 issue them a five-year license or something, but if I am only authorizing --  
2 that's a possibility, but we have certain -- minimum information you have to  
3 have to be able to make a finding that I'm going to issue an operating  
4 license. We're fairly clear about what those are and so I have to have  
5 sufficient information either in the form of acceptance criteria or detailed  
6 information sufficient for me to make those findings.

7 I mean in the ITAAC sense, it's going to operate at this level of  
8 pressure for this amount, so they basically go out and do that. It's a  
9 condition subsequent and that sense that I do that. It's not that I'm sort of,  
10 "well, we will see how it comes out" kind of thing.

11 Again, in a sense it would be like the staff used to issue low power  
12 licenses. You issued a license so that they can operate at 5%. I suppose  
13 there is some possibility of that and then they can come in and apply to  
14 move up to 100% or something if I only had enough information or data to  
15 show that it could operate at this level of power or something like that.

16 MR. BORCHARDT: The way I think of it is ITAAC is a  
17 verification activity. It's not a deferral of a regulatory decision.

18 COMMISSIONER JACZKO: I shouldn't have raised that. I  
19 didn't mean to reopen that.

20 COMMISSIONER LYONS: All that assumes that DOE is in a  
21 position to make that level of determination.



1 I am just very pessimistic as to whether they're going to get there. What I  
2 was trying to suggest this morning was there may be situations where in the  
3 absence of DOE having sufficient knowledge in some areas that a trade-off,  
4 if you will, or something that we could accept in lieu of that would be a more  
5 robust confinement/containment capability. That was the point I was trying  
6 to make and I'm not sure I really ever got that -- well, I should just stop here.

7 CHAIRMAN KLEIN: I think as you develop this strategy, I think  
8 there's things that we need to make our decision. There's things that DOE  
9 needs to do, and so we will obviously have to strike a balance, but I think if  
10 we articulate when we need information to make our decisions then it clearly  
11 articulates when they need to make their decision with design activities. And  
12 if they're not ready, then we're not going to be ready.

13 We'll just have to let those chips fall where they fall. Again, I think the  
14 key is being flexible; not to be so rigid that we can't move forward on this  
15 area of uncertainty, otherwise we get back to the infamous chicken and the  
16 egg. We can't move until someone else moves, so we need to keep moving  
17 forward, I think, for the benefit of the American people. So, we'll keep that in  
18 mind.

19 I have to -- certainly, I'm glad to see it's 50% less time on acceptance  
20 review and we will wait to see --

21 MR. BORCHARDT: Effort.

1                   CHAIRMAN KLEIN: Effort, yes. We'll look forward to see what  
2 the effort is after you do the first COL to see what efficiencies are gained  
3 there as well.

4                   MR. BORCHARDT: We have a while to wait till we're done  
5 with that.

6                   CHAIRMAN KLEIN: Also, good news on the fact that the  
7 quality of the COL's are improving, so that people are communicating. I think  
8 that's also a positive sign that lessons are being learned along the way.

9                   Do you get a sense that we will see in the future more utilities going at  
10 early site permit and then the COL or is it too early to tell on that one?

11                  MR. BORCHARDT: I think we're seeing relatively little interest  
12 in early site permits. I hear of talk of one or two in the future but not very  
13 much to be honest with you.

14                  MR. REYES: It's a time crunch issue; not that they don't like it.

15                  CHAIRMAN KLEIN: Is that because of EAct incentives?

16                  MR. REYES: Among other things. If you look at what drives  
17 their long range planning for generating assets and then you look in their  
18 view the recent changes were coal, or that option may be on the cards and  
19 they were planning on doing that. Now the long range horizon is moving  
20 them to maybe the option of nuclear and they didn't have that plan.

21                  So, when you do those kind of situations, it may be ideal to do an

1 early site permit and then do the COL, but it may not be better in terms of  
2 time. And so when you see their decision making from the utilities point of  
3 view, it's not having an ESP or not having it is better or less, you start with  
4 having electrical energy on the grid on a given date and you work your way  
5 back.

6 And if this is not movable, if this date is not movable, then it drives  
7 every other decision. If you were doing long range planning and coal was  
8 still an option and other things were still an option, they probably would have  
9 gone to the ideal ESP process.

10 CHAIRMAN KLEIN: Of course, I assume that a lot of the  
11 drivers right now, though, is the incentives --

12 MR. REYES: For the first wave.

13 MR. BORCHARDT: By the end of this year, there's a deadline.

14 CHAIRMAN KLEIN: And so, it will be interesting to see the end  
15 of next year what that strategy is, whether the ESP COL is a preferred option  
16 for that next phase.

17 MR. REYES: I go back to my argument. Our utilities are going  
18 in front of the public utilities commission with a coal plant proposal and they  
19 got to know. So, now you start from scratch planning because you still need  
20 that generation and you either go natural gas or you go nuclear. If you  
21 decide to go nuclear, you just ate a lot of your planning horizon.

1           So, if you talk to the utility executives that is driving some of the option  
2 of not to go to the ESP to do it all in parallel, which is a good feature of the  
3 Part 52 that we created there to eliminate risk, but they can't take advantage  
4 of it as much as they could simply because they are tight on this horizon

5           COMMISSIONER JACZKO: I think it's also we've found the  
6 ones we've done that it's -- there have been some -- because most of the  
7 early site permits did not come in, again, with this idea of finalized design,  
8 but there are a lot of issues that were deferred to COL anyway. There  
9 weren't as many issues that were closed down during the early site permit  
10 process to truly make it advantageous.

11           CHAIRMAN KLEIN: I think Vogtle was the first one that really  
12 had a plant, a design identified.

13           MR. REYES: That is the advantage of doing it that way. The  
14 disadvantage is if you did it with Technology A and for whatever reason that  
15 ends up not being your choice, whether it's cost or something else, you may  
16 not be able to do Technology B. So, that's another issue on the planning.

17           CHAIRMAN KLEIN: For flexibility. Thanks. Any more  
18 questions?

19           COMMISSIONER JACZKO: No more questions.

20           CHAIRMAN KLEIN: Thank you for a good first presentation, a  
21 good discussion. I again would like to compliment the staff's working with

1 DOE on the working group. I think that's important. I think we also need to  
2 continue to listen to industry to see what their needs are and hopefully at  
3 some point in time everything will converge.

4 And certainly on the research side and operation, there is a lot of  
5 information from other countries that we need to take advantage of their  
6 experience and what they have done in the past.

7 So, thank you and we look forward to the next update on both the new  
8 reactors and the advanced reactors.

9 The meeting is adjourned.