

1 UNITED STATES NUCLEAR REGULATORY COMMISSION
2 BRIEFING ON OFFICE OF NUCLEAR REGULATORY RESEARCH
3 -- PROGRAMS, PERFORMANCE, AND FUTURE PLANS

4
5 + + + + +

6 THURSDAY

7 FEBRUARY 18, 2010

8 + + + + +

9 The Commission convened at 9:30 a.m., the Honorable
10 Gregory B. Jaczko, Chairman presiding.

- 11
12 NUCLEAR REGULATORY COMMISSION
13 GREGORY B. JACZKO, CHAIRMAN
14 DALE E. KLEIN, COMMISSIONER
15 KRISTINE L. SVINICKI, COMMISSIONER

16
17
18
19
20
21
22

- 1 BILL BORCHARDT, Executive Director for Operations
- 2 BRIAN SHERON, Director, Office of Nuclear Regulatory Research (RES)
- 3 JENNIFER UHLE, Director, Division of Systems Analysis, RES
- 4 CHRISTIANA LUI, Director, Division of Risk Analysis, RES
- 5 MICHAEL CASE, Director, Division of Engineering, RES
- 6 JAMES LYONS, Deputy Director, Office of Nuclear Regulatory Research
- 7 MARY MUESSLE, Director, Program Management, Policy Development and
8 and Analysis, RES

9

10

11

12

13

14

15

16

17

18

19

20

21

22

1 PROCEEDINGS

2 CHAIRMAN JACZKO: Good morning, everyone.

3 We are having our meeting this morning on the Program
4 brief on the Office of Regulatory Research.

5 The Commission will hear a status update on
6 the important programs in this office and some of the
7 things that we can be looking forward to in the
8 coming year.

9 Certainly the agency's research programs are
10 very important to advancing our safety mission.

11 They provide extremely good advice and tools
12 and information to the regulatory offices, really to
13 the agency as a whole, and always provides us with
14 nice opportunities for interesting briefings as well
15 with the seminar series and other things.

16 Certainly the Commission places great
17 importance on the work that is done and we really
18 benefit from the high quality of the work that comes
19 out of the office.

20 It's independent critical analysis that really
21 is crucial to our ability to verify the information
22 coming from licensees to verify our own technical

1 analyses and to ensure that we remain vigilant in our
2 mission of safety, security, and environmental
3 protection.

4 Our agency certainly would not be the same without
5 this significant office. This is something that is
6 really unique when I look and as others have seen, and I sure
7 Dale is aware of as well when we go internationally
8 how we are very fortunate to have this capability
9 of our own as part of our organization, so it's a
10 great opportunity for us to hear today all the things
11 that are going on.

12 I would note this is a unique time that we
13 are having this meeting, apparently this is National Engineers
14 Week, so it is certainly a great opportunity to
15 highlight the work of the engineers and of the folks
16 that we have with us.

17 Personally I am not an engineer and I have never
18 celebrated National Engineers Week in the past, nor has Steve,
19 we have our own celebrations.

20 I certainly do want to applaud all the people we
21 have here and appreciate all of the
22 services of our engineers and I am sure we will hear

1 a lot of the folks from Research with an
2 engineering background along with others who have
3 other backgrounds and other disciplines.

4 With that, I would ask if any of our Commissioners
5 would like to make a comment?

6 COMMISSIONER KLEIN: Engineers Week is good, as it
7 turns out I am speaking at the National Engineers
8 Week downtown today and also Research is good so we
9 look forward to hearing all of the good things that
10 you all have been doing.

11 COMMISSIONER SVINICKI: You bated all
12 engineers into speaking up now, but I have been
13 celebrating National Engineers Week.

14 up to and including in
15 college when I had put up a
16 geeky sign just to make sure that everybody knew it
17 was National Engineers Week.

18 Two things you said, Mr. Chairman. One is you said
19 that it is an opportunity for interesting briefings.

20 I wonder sometimes given the strong technical
21 interests of the members of the Commission if the NRC
22 staff thinks it's a blessing or a curse to have such

1 strong interests from this side of the table, but I

2 am happy to join you in expressing that.

3 It's great to have this capability in house, but

4 it poses a real challenge to the NRC's staff

5 because it has to be the right regulatory research

6 and they are always having to strike that balance. I

7 look forward to exploring those issues today.

8 Thank you.

9 CHAIRMAN JACZKO: Thank you for the comments. Bill,

10 I will turn it over to you.

11 MR. BORCHARDT: Good morning, and thank

12 you. The Office of Nuclear Regulatory Research is an

13 integral part of the success of the NRC as you

14 mentioned.

15 They have the difficult task to develop the technical

16 basis and the foundation for the agency regulatory

17 programs and the decisions that we make on a daily

18 basis.

19 That challenge is made even more difficult because

20 of the long lead times and the time frames they need

21 to start doing this work in order to support the

22 regulatory decisions that are made throughout the

1 rest of the agency.

2 Let me congratulate Brian and his team for fostering
3 a very high level of cooperation and mutual support
4 with all of the program offices.

5 It is probably better today than it has ever been in
6 the past, it is more closely linked, and the
7 results of the work that their staff does is utilized
8 on a daily basis and is very much appreciated by the
9 rest of the staff.

10 We have a very full agenda today, so I will turn it
11 over to Brian.

12 DR. SHERON: Thank you. First slide, please. Good
13 morning. I would like to acknowledge the support
14 that the Chairman, Commissioners, and Bill, provide
15 to our office.

16 As Mr. Borchardt notes, the Office of Nuclear
17 Regulatory Research furthers the regulatory mission
18 of the U.S. Nuclear Regulatory Commission by providing the
19 expert technical advice, technical tools and
20 information for identifying and resolving safety issues,
21 for nuclear power plants and other facilities
22 regulated by the NRC, assistance in regulatory

1 decisions and the development of the basis for

2 regulations and guidance.

3 In all of these activities Research partners with

4 other program offices and has accomplished many

5 activities with the abilities of its diverse and

6 highly technical skilled staff. I want to thank my

7 staff and other offices for their support in these

8 successes.

9 Today we will discuss key program projects and their

10 status as well as new directions that we see for

11 NRC in current issues such as long term spent fuel

12 storage.

13 Our agenda starts with presentations from Dr.

14 Jennifer Uhle, the Director of the Division of

15 Systems Analysis.

16 Dr. Uhle will present information on the state of

17 the art reactor consequence analysis, the analysis

18 of cancer risk in populations living near nuclear

19 power facilities and advanced reactor research.

20 This will be followed by Chris Lui, the Director of

21 the Division of Risk Assessment who will present

22 information on probabilistic risk assessment and

1 human reliability analysis.

2 Mike Case, Director of the Division of Engineering
3 will present information on license renewal beyond 60
4 years, followed by Jim Lyons, my deputy, who will
5 discuss our long term research program.

6 Mary Muessle, Director of Program Management
7 Development and Analysis Staff will present an overview
8 of the research results from the Office of the
9 Inspector General Safety Culture and Climate Survey
10 talking about the research focus areas.

11 I'll then conclude the staff's portion of the
12 briefing and turn the meeting back to the
13 Chairman and the Commissioners for additional
14 discussion.

15 Next slide, please.

16 During the past year the NRC Research Program has
17 addressed many key issues that support the agency's
18 safety mission.

19 In October 2009, we published NUREG-1925, Research
20 Activities 2009, which provided a collection of
21 information sheets that summarize current research
22 projects.

1 Overall, fiscal year 2009 was a very notable and
2 productive year for research given the number and
3 complexity of technical issues that the office
4 addressed while also relocating to Church Street.

5 The Office of Administration was and continues to be
6 very supportive in our needs regarding that move.

7 Although I will not be able to touch on all the
8 research projects mentioned in NUREG-1925,
9 generally I note that Research worked on and
10 continues to work on numerous activities.

11 Two thirds of Research budgeted activities are
12 identified by the regulatory offices through user need
13 work requests.

14 Research works with its customer offices to provide
15 technical support for licensing actions as well as
16 consider future research needs via our long term
17 research plan which Jim Lyons will address later.

18 I would like to mention some examples of the
19 license amendment request reviews or technical
20 information requests for which Research has unique
21 expertise.

22 They include support to NRR for recent exemptions or

1 relief requests for the application of primary water

2 stress corrosion cracking mitigation methods.

3 Support for the Regions on non-destructive

4 examination and material degradation, the evaluation

5 of a shoreline fault near the Diablo Canyon plant,

6 the examination of ground water at Indian Point and

7 Braidwood and support for the Cooper Special

8 Inspection team and its public outreach.

9 Research is responsible for several other

10 significant activities that include publication of

11 many annual reports.

12 Examples are Report to Congress on Abnormal

13 Occurrences and a Report on Occupational Radiation

14 Exposure at Commercial Nuclear Power Reactors and

15 Other Facilities.

16 Research also prepares several annual Commission

17 papers which include the Summary of Activities

18 Related to the Generic Issues Program, Status of

19 the Accident Sequence Precursor and

20 Standardized Plant Assessment

21 of Risk Model Programs, the Periodic

22 Assessment of the Activities of the Committee to

1 Review Generic Requirements and the Annual Review of
2 the Lessons Learned Program.

3 In addition, Research publishes numerous technical
4 reports which have included Evaluations of
5 Structural Failure Probabilities and Candidate Inservice
6 Inspection Programs and Modeling a Digital
7 Feedwater Control System Using Traditional
8 Probabilistic Risk Assessment Methods.

9 In fiscal year 2009, the staff completed resolution
10 of Generic Issue 163, a Multiple Steam Generator Tube
11 Leakage, and Generic Issue 191, Assessment of
12 Debris Accumulation on PWR Sump Performance.

13 There will be a separate Commission briefing in
14 April on Generic Issue 191.

15 In addition Research made significant progress on
16 other generic issues such as Generic Issue 199,
17 Implications of Updated Probabilistic Seismic Hazard
18 Estimates in Central and Eastern U.S. on Existing
19 Plants.

20 In November 2009, the staff issued a revision of
21 Management Directive 6.4 on the Generic Issues
22 Program.

1 This revision provides an updated process on generic
2 issue resolution which improves timely disposition of
3 existing generic issues and any potential new generic
4 issues.

5 Research also provides technical bases for
6 rulemaking and develops associated regulatory guides.

7 For example, Research completed guidance for the
8 Power Reactor Security Rule, guidance on methods
9 for licensees to ensure compliance with 10 CFR Part
10 26, Subpart 1, and guidance which endorsed the American
11 Society of Mechanical Engineers and the American
12 Nuclear Society PRA standards.

13 Another prominent accomplishment includes Research's
14 sponsorship of numerous seminars. Hopefully you
15 have seen a few signs in the White Flint complex that
16 announced them to the staff.

17 A few recent seminars include the 30th Anniversary
18 of the Accident at Three Mile Island II, the 1975
19 Browns Ferry Fire and the Experimental Basis for
20 Modification of Cladding Embrittlement.

21 These seminars are usually held in the auditorium
22 and are recorded on DVD to maintain a strong knowledge

1 management initiative for technical areas.

2 In addition, Research established and initially
3 sponsored a more theoretically and mathematically
4 based Reactors Fundamentals course that was well
5 received by the staff throughout the agency which
6 will continue to be presented at the Professional
7 Development Center.

8 Several technical training courses were offered
9 including two on high temperature gas cooled reactor
10 technology and the use of the MELCOR Code.

11 Further, the Lessons Learned Program also lends
12 itself to knowledge management.

13 Many of these activities are communicated through
14 The Researcher. The Researcher is our office
15 newsletter that is popular with all the NRC staff.

16 Lastly, another active area in our office includes
17 international activities to ensure that the NRC's
18 programs both leverage and incorporate the results of
19 international research and analyses.

20 This helps NRC identify emerging technologies and
21 issues and support NRC's efforts to verify and
22 validate computer codes used to model nuclear reactor

1 power plant behavior.

2 Access to the foreign test facilities expands our
3 knowledge base and contributes to the effective and
4 efficient use of NRC's resources in conducting
5 research on high priority safety issues.

6 Through bilateral agreements NRC obtains valuable
7 technical information on seismic issues, fuel
8 behavior and material science, fire modeling,
9 thermal hydraulic experiments, aircraft impact test
10 assessments, radionuclide sorption data and more
11 recently advanced reactors.

12 Next slide, please.

13 In the upcoming year, Research will continue to face
14 several challenges and I have broken them in
15 problematic and technical challenges.

16 Although some of these challenges will also be faced
17 by other offices, it becomes more difficult when
18 overlaid with RES challenge of being at a remote
19 location.

20 In addition to staying connected we now recognize
21 that getting connected will become another focus
22 point as we hire new employees who have not

1 previously worked with the other program offices.

2 More discussion on this will be presented later in
3 the briefing during the discussion on the RES results
4 from the OIG's safety culture and climate survey.

5 I would now like to mention some future technical
6 activities that will challenge the agency.

7 Two technical activities, SOARCA and PRA, will be
8 covered more in depth by my division directors, so I
9 will leave the specific discussions on those for
10 later.

11 I would like to briefly discuss the future research
12 needed for the long term storage of spent fuel.

13 Presently, NMSS and Research are working together on
14 a draft user needs work requests. The research focus
15 will be on the development of technical bases for the
16 key aging issues associated with the fuel and with
17 the storage casks.

18 Recently we met with Dr. Miller of DOE and have
19 agreed to engage DOE in cooperative research in this
20 area.

21 Thank you again for your support and I will turn the
22 briefing over now to Dr. Jennifer Uhle my Director

1 for the Division of Systems Analysis who will begin
2 with SOARCA.

3 DR. UHLE: Good morning, and thanks, Brian. I will
4 start off as Brian indicated talking about the SOARCA
5 program and I will start with a bit of background.

6 Over the years to develop information to support its
7 regulatory mission the NRC has performed several
8 research studies to understand the probabilities and
9 the consequences of severe accidents at nuclear power
10 plants.

11 One such study is entitled "The Technical Guidance
12 for Citing Criteria Development," which was published
13 in 1982 and is referred to as the so called Sandia
14 Citing Study.

15 All of these studies were based on information
16 existing at the time and over the years as we have
17 learned more they have proved to be conservative and
18 when used to inform public policy even misleading.

19 The staff is now engaging in a project called the
20 State of the Art Reactor Consequence Analysis, or
21 SOARCA, to develop best estimates of the off site
22 radiological consequences for severe accidents at

1 U.S. operating reactors as well as to communicate
2 those results to achieve an informed public
3 understanding of those consequences.

4 SOARCA benefits from hundreds of millions of dollars
5 of national and international research on reactor
6 safety and health effects and reflects improved plant
7 design, operation, accident management strategies and
8 emergency preparedness measures implemented over the
9 last 25 years.

10 The staff used state of the art computer models as
11 well as current information to develop best estimates
12 of accident progression and off site radiological
13 source term for those scenarios that were predicted
14 to lead to core damage as well as the associated
15 public consequences from those scenarios.

16 At this stage as you know we have completed two
17 analyses. One is the Peach Bottom Atomic Power
18 Station and the second is the Surry Power Station.

19 Peach Bottom is a General Electric BWR with a Mark I
20 containment and Surry is a Westinghouse PWR,
21 with a large dry containment. These designs
22 represent two major classes of reactors that are

1 operating in the United States today.

2 We have completed the analysis for these two pilot
3 plants and we provided the Commission the
4 preliminary results in March 2009. The preliminary
5 results indicate that for the sequences analyzed
6 potential radiation releases would occur several
7 hours later than previously predicted and those
8 releases would be substantially smaller.

9 As a result the best estimate of early fatalities
10 from the severe accidents would be far fewer than
11 previously estimated.

12 In fact, the analyses indicate that essentially no
13 early fatalities will occur and the average individual
14 latent cancer fatality risks are very low for the
15 unmitigated sequences examined, in fact,
16 significantly below the agency's quantitative health
17 objectives.

18 The staff has prepared a draft NUREG that documents
19 the study method and the results. It is being
20 currently reviewed by an independent peer review
21 panel comprised of national and international subject
22 matter experts from academia, the government, and the

1 private sector.

2 In response to their comments we have completed
3 additional analyses and have revised the NUREG to
4 address their comments. The peer review is
5 expected to be completed in a couple of months.
6 Once the comments are fully addressed we will
7 continue with the further review internal to the
8 agency including review by the ACRS which will be
9 an open public meeting.

10 We will then proceed with a public review of the
11 NUREG and we will host several public meetings to
12 help foster an effective public comment period.

13 The staff will then revise the report to address the
14 ACRS and public comments and we will provide a
15 proposed final NUREG to the Commission in October
16 2010.

17 Next slide, please.

18 So the SOARCA project is very complicated
19 technically that covers several technical disciplines
20 in great detail in fact.

21 We have been challenged already in our communication
22 internal to the agency and therefore as we look to

1 the future we expect to be challenged as we
2 communicate with the public especially during the
3 public comment period.

4 We will attempt to facilitate this public
5 communication process by holding several public
6 meetings which we will give a chance for the staff
7 and the public to exchange ideas interactively.

8 We have developed a brochure that we hope will be
9 the main vehicle to communicate the findings to the
10 portions of the public that do not want to read the
11 very technically focused NUREG.

12 We have also provided this brochure to staff in the
13 NSPDP or the Nuclear Safety Professional Development
14 Program participants in reaching forward to message
15 test it and we have received favorable feedback.

16 This brochure was written by a risk communication
17 expert who has no formal nuclear power background and
18 she has been instrumental in describing the study and
19 its conclusions in plain English which we hope to
20 help the communication.

21 The roll out of SOARCA results to all the stakeholders
22 require communication of numerical risk to a diverse

1 audience and we will continue to work with the Office
2 of Public Affairs to craft and deliver a message that
3 strives to address the stakeholder's perception of
4 risk, people's relative tolerance of
5 technological dangers and their acceptance of risk
6 analysis. That is our challenge here in the future.

7 As you're aware the original SOARCA program called
8 for analyzing eight different reactor containment
9 design classes which represent the entire commercial
10 fleet in the U.S..

11 We believed it was prudent to conduct the peer
12 review and obtain comments from the public and the
13 ACRS on the pilot plants before we continue to
14 analyze the other six plants so that we could adjust
15 the methodology as we needed to based on what we
16 learned.

17 Upon providing the results of the pilot plants to the
18 Commission, the staff will then develop a Commission
19 paper with recommendations for the Commission's
20 consideration concerning the next steps in the SOARCA
21 project and whether the remaining six design classes
22 or a subset of those six should be analyzed.

1 This recommendation will likely consider the staff's
2 proposed work on level 3 probabilistic risk
3 assessment which will be discussed by Christiana Lui
4 here shortly as well as the regulatory insights
5 that can be gained from the SOARCA results and how they
6 could be used by the agency.

7 Next slide, please.

8 I would now like to change topics to another study
9 that we are conducting in the Office of Research, the
10 analysis of cancer risk in populations living near
11 nuclear power facilities and again let me start with a bit
12 of background.

13 In 1990, the National Cancer Institute published a
14 report entitled, "Cancer in Populations Living Near
15 Nuclear Facilities," and that report concluded that
16 cancer mortality rates are generally not elevated for
17 people living in the 107 U.S. counties containing or
18 that are closely adjacent to the 62 nuclear facilities
19 that were in operation at the time.

20 NCI Study, the National Cancer Institute study is a
21 primary resource that the agency uses when addressing
22 questions from stakeholders on cancer risk.

1 Today there continues to persist perceived or a
2 belief by the public of a perceived elevated cancer
3 rate in populations near the facilities, so there's
4 still is a lot of questioning of the NRC's staff in
5 public meetings about this perceived elevated cancer
6 rate.

7 Since the study is 20 years old we are now
8 attempting to update that study and we are taking
9 advantage of the advances in graphical information
10 systems technology and the precision of demographic
11 data.

12 The Office of Research, based on that will be
13 focused on providing the NRC with the latest cancer
14 incidence and mortality data for populations near
15 past and present facilities and the study will give
16 the agency the latest scientific information for
17 responding to the stakeholders' concerns related to
18 this topic.

19 The staff began work in October 2008, with the
20 Center for Epidemiological Research at the Oak Ridge
21 Associated Universities' Oak Ridge Institute for
22 Science and Education or ORAU.

1 So the contractor ORAU has developed a draft methodology
2 for the study on assessing cancer mortality risk and
3 what we are trying to do in this study is to help to
4 answer other questions from the public is developing
5 a methodology for determining the feasibility of
6 assessing cancer incidents risk which we have not
7 done before.

8 Because of the technically complex nature of the
9 work, the staff has established an external peer
10 review committee with national and international
11 subject matter experts, again, from academia,
12 government and the private sector to review the study
13 methodology, and to help ensure that the study will
14 be of high quality and will be technically robust.

15 Similar to the SORACA study the staff is again
16 anticipating challenges associated with communication
17 of the study's approach and the results.

18 Consequently, we have established an agency wide
19 communication team to help develop a communications
20 strategy and ultimately a plan.

21 The staff has recently issued a sources sought
22 notification to openly solicit for commercial

1 entities that may be able to conduct the study
2 because when we originally placed the study at ORAU, we
3 did a sole source placement based on our known
4 understanding of their expertise.

5 The sources sought is not an indication of any
6 deficiencies in ORAU's work, but rather to ensure
7 that other commercial research organizations are
8 aware of the project and are offered the chance to
9 compete if they are skilled and capable.

10 The staff is now in the process of reviewing the
11 sources and will decide whether to post the contract
12 as a new solicitation or to continue with our current
13 contractor.

14 Next slide, please.

15 We hope to complete this study by the end of 2011,
16 but the date depends on the outcome of the sources
17 sought process and as we go forward we realize that
18 we will be challenged with communicating to
19 our stakeholders.

20 Our aim is to share a common understanding with all
21 stakeholders, and as I indicated before, we developed
22 a communication team to develop appropriate

1 communication tools to facilitate this outreach.

2 Next slide, please.

3 I would now like to switch to the Advanced Reactors and

4 the work that the Office of Research is doing to

5 develop the infrastructure that will be used by the

6 agency to perform licensing reviews.

7 Of these designs the NRC has received letters from

8 potential design certification applicants outlining

9 proposed application submittal dates and if these

10 plans materialize the NRC could receive an

11 application for a small modular reactor design

12 certification as early as fiscal year 2011, and even

13 multiple designs in 2012.

14 In addition, the next generation nuclear power plant

15 program established by the Energy Policy Act of 2005

16 is expected to provide a design certification

17 application in fiscal year 2013 for high temperature

18 gas cooled reactor.

19 We have already been working in the advanced reactor

20 area to help develop this infrastructure and we have

21 developed and we are executing the needed research

22 programs to develop the analytical tools to provide

1 an independent analysis capability and regulatory
2 guidance for both the staff as well as the industry
3 to support this anticipated work.

4 We established a very strong collaborative working
5 relationship with the Department of Energy at this
6 point primarily focused on the NGNP design.

7 We have regular meetings and conference calls to
8 keep abreast of both agencies' research programs and
9 in cases where there is mutual interest we do our
10 best to collaborate to make sure that we are not
11 duplicating the effort and this collaboration of
12 course is encouraged by the Energy Policy Act of
13 2005.

14 For instance, I gave you an example, training staff is a common
15 concern because these designs have not been licensed
16 in quite a while.

17 We have held several successful joint training
18 sessions on high temperature gas reactors and they
19 have occurred in a variety of locations.

20 They have also provided another forum for discussion
21 of technical ideas and we find that having these
22 joint sessions allows the NRC staff and DOE staff to

1 develop a good collaborative working relationship
2 that has really allowed us to have an open
3 communication with DOE and we think it has
4 facilitated our progress and has enhanced the
5 effectiveness of our research program.

6 The majority of the research that is underway is
7 dedicated to the development of infrastructure for
8 the NGNP Program including thermal fluid, neutronics
9 and fuel behavior analysis tools as well as graphite
10 and high temperature metallic materials
11 characteristics.

12 At this point we are trying to focus on areas and
13 issues that are common to both designs that DOE is
14 considering for the NGNP program which are pebble bed
15 and the prismatic core design and the DOE has been
16 delayed in down selecting to either the pebble bed or the
17 prismatic core design and that results ultimately for
18 us in a bit of a challenge as I will discuss in a
19 bit.

20 Some of the potential vendors that have been
21 discussing applications with NRO are pursuing small
22 modular reactors of other designs than high

1 temperature gas cooled reactors such as integral
2 light water reactors or liquid metal reactors and we
3 have initiated some low resource level work such as
4 knowledge management activities for sodium fast
5 reactors and the scoping study to determine the need
6 for thermal hydraulic code development to support the
7 integral light water designs.

8 We feel that we are in a flexible position where we
9 can increase or decrease the level of effort as
10 circumstances may dictate and we look to the Office
11 of New Reactors to provide this guidance to us.

12 Next slide, please.

13 Nevertheless, as I indicated, up to this point the
14 advanced reactor arena has been very fluid and it has
15 been challenging to identify a plant and execute the
16 exact necessary research to prepare the agency to
17 review a small modular reactor when there
18 is obviously uncertainty in the design
19 type that will be submitted to us. This applies to
20 those vendors who are pursuing integral light water
21 designs and liquid metal designs and also to the
22 NGNP program because we are not sure if they

1 will be submitting a pebble bed core or a prismatic
2 core design.

3 The challenge here is that the analytical tools that
4 we are developing must be capable of simulating the
5 important phenomena over the range of conditions that
6 the reactors will experience and that is obviously
7 very design dependent and code applicability to those
8 designs cannot be established until the design is
9 fixed.

10 We are also challenged in the amount of time that's
11 available to prepare for these submittals. Since
12 submittals may be received as early as 2011, the time
13 horizon is pretty short, but we are doing our best to
14 get the agency in a place where it can ultimately
15 handle these licensing design reviews.

16 As we go forward we will continue with our efforts
17 to develop the infrastructure to support the
18 licensing reviews of advanced reactors and we will
19 continue to work collaterally with DOE to do so in
20 the most efficient manner.

21 We will coordinate very closely with the Office of
22 New Reactors to help us adjust as is necessary to any

1 changing priorities and schedules that arise and
2 hopefully by the time these designs are submitted we
3 will have the necessary infrastructure developed,
4 that is our intent.

5 I will now turn the presentation over to Christiana
6 Lui who will discuss PRA and HRA.

7 MS. LUI: Thank you and good morning. I am
8 Christiana Lui and today I will discuss our work in
9 probabilistic risk assessment or PRA and human
10 reliability analysis or HRA.

11 Since the completion of NUREG 1150,
12 NRC's last detailed plant specific PRA study for five plants
13 about 20 years ago, there have been many substantial developments that
14 affect plant risk and our understanding and
15 assessment of that risk.

16 In addition to the risk informed regulations
17 such as the station blackout rule and the maintenance
18 rule there had been plant modifications such as the
19 addition or improvement of plant safety systems,
20 changes to technical specifications, power
21 uprates and the development of improved accident
22 management strategies.

1 In conjunction with advances in PRA methods, models,
2 data, and tools, most recently as you have heard, the
3 SOARCA project has significantly updated our
4 understanding of severe accidents.

5 The methods, results and insights from NUREG 1150
6 have been used in many risk informed regulatory
7 applications.

8 For example, NUREG-1150 has been used in part to
9 help establish the numerical risk acceptance
10 guidelines for risk informed changes to plant
11 licensing bases contained in Regulatory Guide 1.174
12 which we now have considerable experience
13 implementing.

14 We believe that the time is right to capture our
15 advances in PRA technology and risk understanding
16 and add to them to create a comprehensive risk analysis tool box
17 so that we can continue to effectively support the
18 implementation of risk informed regulation.

19 Today, we have identified two goals for such a
20 project. First, to improve our knowledge of nuclear
21 power plant site wide risks so the agency can effectively
22 use more comprehensive updated risk insights in

1 focusing our safety mission.

2 Second, to upgrade and disseminate information
3 about our methods, models, data and tools which will
4 enhance our ability to address current and future
5 risk informed regulatory decisions.

6 Next slide, please.

7 Many existing level 3 PRAs have focused on the
8 risk of single unit reactor accidents at full power.

9 The planned new level 3 PRA will focus on overall
10 site risks. This particular slide provides a visual
11 depiction of a complete site risk analysis.

12 The inclusion of accidents other than reactor
13 accidents will be assessed during the scoping study
14 which I will discuss shortly.

15 The approximate scope of NUREG 1150 is shown by the
16 gray shaded region which was limited to the risk
17 assessment of single unit reactor accidents that were
18 initiated by internal events occurring during full
19 power operations.

20 Since only Surry and Peach Bottom had results from external
21 initiating events such as fires and earthquakes
22 the shaded box does not extend to cover the

1 whole external events bullet in the shaded region.

2 Focusing on reactor accident risks as illustrated in
3 the diagram, the planned project's scope is much broader
4 than the NUREG 1150 scope.

5 We would like to improve our understanding of
6 reactor accident risks by evaluating accidents that
7 might occur during any plant operating state, full
8 power, low power, and shutdown that were initiated by
9 the occurrence of internal events as well as external
10 events that may simultaneously affect multiple units.

11 While performing these probabilistic risk
12 assessments it is important that we use a common set
13 of assumptions, level of detail, methods, models
14 and information. This will help to ensure that the
15 risks associated with individual accident
16 sequences regardless of how and when they are
17 initiated or what radioactive sources they involve
18 can be meaningfully combined into an estimate of
19 overall site risk.

20 Next slide, please.

21 We plan to conduct this project in several stages
22 and we are performing a scoping study to establish

1 the project scope, select candidate sites for further
2 analyses, select PRA methods, models, tools, and
3 data to be used and identify any new work that may be
4 needed to accomplish the project's objectives.

5 We will also use the scoping study to estimate
6 resources and information needs to better understand
7 and address the potential challenges.

8 After completion of the scoping study we plan to
9 initiate a pilot site study. Additional site
10 studies will be implemented based on the results,
11 findings, and any lessons learned from the pilot
12 study.

13 We intend to fully utilize the results from recently
14 completed and ongoing PRA and HRA research activities
15 as well as the SOARCA study recognizing that
16 resources, expertise, and information availability
17 could be potential challenges.

18 Our goal is to piece together the best approach that
19 will allow us to pursue these updates without
20 sacrificing the quality and the timeliness of the
21 ongoing risk informed regulatory support that the
22 Office of Research provides.

1 We will also pursue industry cooperation to obtain
2 the most up to date plant information for this
3 planned project.

4 Although resources, especially the availability of
5 risk analysis expertise, present a challenge to these
6 new initiatives, we also see these projects as a
7 great opportunity to develop new risk analysts who
8 will gain state of the art knowledge and experience
9 in PRA. We welcome any Commission guidance on our
10 current plan.

11 Next slide please.

12 I would now like to discuss our work in the area of
13 human reliability liability analysis. The importance of the
14 human contribution to both the occurrence and the
15 mitigation of accidents is widely recognized.

16 For example, we have learned many lessons from the
17 Three Mile Island accident and changed the way we
18 regulate.

19 A prediction of human performance even in the
20 probabilistic sense is technically challenging and
21 continues to be the subject of research at NRC and
22 worldwide.

1 However, our ability to predict human performance
2 improves as the situation becomes more constrained or
3 better defined, for example, through consideration of
4 procedures and training.

5 Our ongoing research efforts hold the prospect of
6 improved methods, tools, and data to systematically
7 identify potential human failure events and estimate
8 their probability.

9 Past NRC research has supported the development of
10 many of the HRA methods currently in use. We
11 published HRA Best Practice Guidance a few years ago
12 which has received international attention.

13 Our recent and current HRA work is focused on making
14 best use of available tools and of developing
15 improved more realistic tools to support regulatory
16 licensing reviews and other staff analyses.

17 We are collaborating with international and domestic
18 partners to improve HRA methods and tools, develop
19 consensus HRA models and build a comprehensive
20 empirical human performance database.

21 At the same time we are providing improved HRA
22 methods for specific applications such as fire, low

1 power and shutdown reactor operations and byproduct

2 material uses.

3 Next slide, please.

4 The key to HRA prediction is to understand the

5 context in which the human behavior of interest

6 occurs such as plant conditions, scenario

7 evolution, individual characteristics as well as

8 crew and organizational factors.

9 Fortunately data from the most realistic contexts

10 or in other words the actual accident conditions are

11 rare.

12 Advanced control room and concepts of operation

13 also present HRA challenges. In order to model the

14 context to predict human liability it is necessary to

15 understand, for example, what and how

16 information is provided to the operators, how

17 operators can interact with the plan, how many

18 operators are present and their roles and the extent

19 of automation.

20 Performing human liability analyses for these

21 contexts become rather challenging when design

22 details are still being developed.

1 Because real life data is rare to meet our HRA data
2 needs we are continuing to identify and access data
3 from a variety of sources and to collect new data.

4 These efforts include collaborative research
5 and data sharing with a number of international and
6 domestic groups, non nuclear industrial organizations
7 and other governmental agencies.

8 Our current work on advanced control rooms and the
9 associated new concepts of operation is focused on
10 understanding the human system interface.

11 The data we obtain from these activities we all
12 support the enhancement or development as appropriate
13 of regulatory HRA tools that will serve our agency's
14 needs now and into the future.

15 This concludes my presentation and I will now turn
16 the presentation to Mike Case.

17 MR. CASE: Thank you, Chris. Could I have the
18 first Life Beyond 60 slide.

19 In accordance with the Atomic Energy Act, nuclear
20 power plants are licensed for a 40 year period with
21 the possibility of extending the license for an
22 additional 20 year period.

1 Our regulations in 10 CFR Part 54 do not preclude
2 subsequent license renewals beyond the initial term.

3 Staff has an ongoing successful program to review
4 licensee applications for the initial license renewal
5 period and has reviewed and approved to date
6 59 units for an additional 20 years of operation
7 beyond the initial licensed period.

8 The staff expects that essentially all licensees
9 with operating reactors will request an initial license
10 renewal.

11 With several plants now entering the initial
12 license renewal period in accordance with the NRC
13 regulations, these licensees could apply for a
14 subsequent 20 year license renewal period at any
15 time.

16 Based on public meetings with industry some
17 licensees are considering submitting applications for
18 a subsequent license renewal period possibly as early
19 as 2013.

20 Although the burden is on the industry to
21 demonstrate through their research in engineering
22 activities that an applicant for a subsequent license

1 renewal can safely manage the aging effects on
2 structures, systems, and components within the scope
3 of the license renewal, the agency must be prepared
4 to review these applications in a timely manner.

5 The Office of Research in collaboration with the
6 Division of License Renewal in the Office of Nuclear
7 Reactor Regulation began working on the Life Beyond
8 60 area several years ago as a long term research
9 item.

10 In February 2008, Research had laid the ground work
11 for our current activities by holding a joint public
12 workshop with the Department of Energy.

13 This workshop engaged a range of domestic and
14 international stakeholders in discussions on issues,
15 technologies and future needs for long term
16 operations.

17 The staff continued its initial scoping activities
18 with focused followup with major domestic and
19 international participants with interest in aging
20 management issues for long term operation.

21 These follow up activities included engaging the
22 Nuclear Energy Institute and the Electric Power

1 Research Institute on the industry's long term
2 operations research program, participating in the
3 steering committee for the development of the
4 Department of Energy's Research Program on light
5 water reactor sustainability, sponsoring an
6 international collaboration with potential partners
7 in Asia in October 2009 on collaborative research
8 efforts relating to aging degradation management
9 activities, and finally planning
10 a similar workshop in May of this year
11 for potential European partners.

12 As a result of the staff's initial scoping
13 activities several areas of technical focus have
14 emerged for subsequent license renewal periods such
15 as aging of cable insulation, concrete exposed to
16 high temperature and radiation, and aging management
17 of the reactor pressure vessel as well as its
18 internals in piping.

19 We believe that research activities in these areas
20 will help provide important information to support the
21 staff in effectively evaluating these topics for the
22 period of extended operation and developing appropriate

1 modifications to the regulatory framework.

2 Next slide, please.

3 The overall goal of our work in the Life Beyond 60

4 Program is to develop the information necessary to

5 answer the longer range technical and policy issues

6 on whether there is reasonable assurance that

7 licensees can assess and manage the aging of

8 components during the period of operation beyond 60

9 years.

10 Since this program is just beginning the transition

11 from the scoping phase to the implementation phase no

12 Commission policy issues are expected in the next

13 year.

14 In partnership with the Office of Nuclear Reactor

15 Regulation, a user need request has been developed

16 to guide our future implementation activities.

17 The user need will begin the assessment of

18 potential modifications to the regulatory framework

19 by focusing our future activities in four key areas:

20 The first is holding periodic NRC and industry workshops

21 focusing on the operating experience in the initial renewal

22 period and the related industry research activities;

1 developing an expanded materials degradation
2 assessment for the subsequent license renewal period
3 that extends our previous assessment to cover the beyond the 60
4 year period and expands it to cover the identified
5 areas of technical focus; we want to
6 develop a library of results of the
7 licensees' implementation of aging management
8 programs in order to determine if the present
9 requirements are sufficient for the subsequent
10 license renewal term; and finally,
11 we want to continue to leverage domestic
12 and international partnerships on aging management
13 research.

14 We believe that the successful completion of these
15 items in combination with the ongoing license renewal
16 work such as updates to the Generic Aging Lessons
17 Learned report will provide a solid technical basis
18 to address the issues associated with the licensed
19 operations of plants beyond 60 years.

20 I will now turn the presentation over to Jim Lyons
21 who will speak on the long term research
22 program.

1 MR. LYONS: Good morning, I will discuss the long
2 term research activities that we do.

3 Long term research is defined as research that is
4 scoping in nature and is not already funded or
5 already being worked on in some other area.

6 We try to look five years down the road to determine
7 the fundamental insights and the technical
8 information that will be needed to address potential
9 fundamental insights and to identify gaps in our
10 knowledge.

11 We ask ourselves, "Are there safety issues out
12 there? Who needs to address them? Should it be the
13 industry or should it be the NRC? When do we need
14 that information in order to for us to be effective
15 regulators?"

16 The first long term research plan was developed in
17 2007. Plans for succeeding years have been sent to
18 the Commission on a yearly basis to support their
19 budget development process.

20 We also currently identify as a matter routine many
21 forward looking research projects that are in the
22 next five years that still need to be worked on.

1 These forward looking activities such as the work we
2 are doing in probabilistic seismic hazards analysis,
3 digital instrumentation and control issues and
4 advanced reactor code development are identified and
5 pursued during the normal planning and budgeting
6 process.

7 The process for identifying candidate long term
8 research projects starts by our requesting from the
9 research staff and from the regulatory office staff
10 any suggestions they have on future work that they
11 can see.

12 These suggestions are reviewed by a committee of
13 senior level technical advisors from the research and
14 the regulatory offices.

15 The review committee uses five criterion scoring the
16 candidate projects.

17 First of all, will the candidate project address
18 gaps created by technology advancements? Would it
19 advance the state of the art? Will it provide an
20 independent tool to the NRC? Will it apply to more
21 than one program area? Can we leverage our resources
22 through cooperative agreements working on those

1 projects?

2 The results of the scoring process are provided to
3 Brian and to the other program office directors to be
4 used in the planning and budgeting process.

5 The projects that were identified in fiscal year
6 2009, and are continuing in 2010, are the Advanced
7 Level 2 and 3 PRA modeling techniques which support
8 the work that Chris Lui described and then we did
9 some exploratory work that identified facility design
10 and data needs for an integral effects test facility
11 at Oregon State University.

12 The construction of that scale model of a high
13 temperature gas reactor at OSU will be funded by the
14 Department of Energy through an existing memorandum
15 of understanding between the Department of Energy and
16 the NRC.

17 This fiscal year we are planning on two projects
18 that were deferred from 2009 and two new projects.

19 First is a demonstration project to get additional
20 data on the storage and transportation of high
21 burnup fuel; a scoping study
22 to identify viable extended in-situ

1 real time monitoring sensors and techniques; a
2 review of past digital I&C testing related to the
3 effects of heat and smoke to determine if future
4 testing is needed; and finally, .
5 the review of advanced fabrication
6 techniques for structures and components to determine
7 if any safety or regulatory concerns exist.

8 There are seven candidate programs in fiscal year
9 2011 that were identified in SECY-09-0021.

10 Resources are included in the fiscal year 2011 budget
11 for those items, and as always, we will revisit those
12 candidate projects when we finalize the work that we
13 will be doing in 2011 to determine which
14 one of those we will proceed with.

15 The process for identifying candidate projects for
16 fiscal year 2012 has been completed and the
17 Commission was informed of that recently in
18 SECY-10-0013.

19 There were four projects there that were given high
20 priority ranking. The first was assessing the
21 feasibility of quantitative methods for ensuring that
22 the protective coatings inside containment continue

1 to meet their design basis requirements;
2 developing insights on the types of regulatory
3 issues that might confront the NRC if advance
4 reprocessing methods are included in the policy
5 decisions regarding the disposition of spent fuel;
6 staying abreast of the development of smart grids
7 and any impacts they may have on the safety of
8 nuclear power plants; and finally,
9 exploring safety and regulatory issues of
10 the thorium cycle which has been proposed by some
11 stakeholders and certainly is something down the
12 road.

13 Next slide, please.

14 Let me address the second bullet first. The staff
15 believes that the process for funding long term
16 research that was described in our recent SECY-09-0176
17 will maintain the funding for long term research
18 since the projects will be assigned a high priority
19 in the planning and budgeting process by the Office
20 Director for the Office of Research in consultation
21 with the other office directors.

22 So we think that that's going to be a very effective

1 message.

2 Finally, our challenge is not to get too far ahead
3 of the policy makers and the industry. We don't
4 know exactly what challenges the NRC will face in the
5 future, but we do know that in some areas we need to
6 start that research well in advance of the
7 implementation of new policies and technologies in
8 order for the NRC to effectively carry out its
9 mission to protect people and the environment.

10 With that I will turn it over to Mary Muesle.

11 MS. MUESSLE: Good morning. I would like to
12 discuss our safety culture safety and climate survey
13 results and how we will use our research focused areas to address
14 them.

15 We are very proud in Research of our results
16 from the OIG's NRC safety culture and climate
17 survey that was administered last May.

18 We had double digit improvement in every one of the
19 17 categories from the 2005 survey and similar
20 research results from the 2002 survey.

21 This increase brought us in line with the rest of
22 the NRC and higher than the U.S. national in high

1 performance norms in most categories.

2 In November we formed a staff level working group to
3 complete our initial analysis of the results and to
4 formulate our next steps.

5 Through these efforts we have identified areas that
6 we see as the foundation of our success and want to
7 continue to maintain.

8 These strengths include the work life balance of the
9 staff, the physical work environment, and our staff
10 actually really likes the offices at Church Street.

11 Our staff is team oriented and our employees are
12 treated with respect. The staff received fair
13 performance evaluations and there is effective
14 communication by supervisors.

15 Next slide, please.

16 The analysis of our results also indicated specific
17 areas that might require further attention. One of
18 the key ones is staying connected.

19 Research scored lower in this area and while the
20 staff likes the offices at Church Street they also
21 feel somewhat disconnected from our colleagues at
22 White Flint and the other interim buildings.

1 This finding was not a surprise and it supports the
2 Chairman's and the Commission's goals to have all of
3 our NRC offices in a single complex and we appreciate
4 all of those efforts.

5 We are actively addressing staying connected and are
6 currently participating on the agency committee and
7 we have also formed an internal research committee to
8 maximize communications within the NRC.

9 We have also been working with other offices on
10 interim solutions and would like to particularly
11 thank the Office of Administration for many
12 improvements to the Church Street building including
13 on site support and shuttle services and to the
14 Office of Information Services for providing on-site
15 IT support and also services loner laptop distribution at
16 Church Street.

17 We have also heard that we can do a better job
18 communicating and empowering our staff by promoting
19 awareness of the openness of NRC's management to
20 hearing differing views through open door policies
21 and through the differing professional opinion
22 process.

1 We can also communicate more information on our
2 efforts for capturing staff knowledge as people
3 retire or otherwise leave the office and we will work
4 with the Office of Human Resources to ensure
5 training courses are available and that the
6 staff has time to take the training, particularly
7 career advancement training outside of the Nuclear
8 Safety Professional Development Program.

9 As always we will continue to address staff concerns
10 around the idea that quality may be unduly sacrificed
11 to meet performance metrics.

12 We initially reached out to research staff through
13 the working group and at office and division "all
14 hands" meetings to gather more information on the
15 research culture and climate and we will continue to
16 solicit staff input through other means such as focus groups
17 in areas that need further investigation.

18 All of this input will form the basis for our action
19 plan which we will submit to the EDO in March.

20 In implementing our action plans we will incorporate
21 the new activities into our existing research areas
22 of focus.

1 Next slide, please.

2 For the past several years Research has identified
3 areas of focus for the office and updated them annually.

4 The current areas which were last updated in January
5 2009, are: maintain high technical quality,
6 optimize performance of corporate support measures,
7 emphasize project management and physical awareness,
8 stay connected and maintain relationships with
9 stakeholders and promote self development and well
10 being.

11 Within each area we have targeted efforts to address
12 during the year. This strategy has helped us to keep
13 our finger on the pulse of the research organization
14 and to be proactive in determining areas of strength
15 and of risk in the office.

16 We believe the strategy contributed to our success
17 on the culture survey and many of the items
18 identified on the survey are already being addressed
19 under this initiative.

20 For instance as previously mentioned we have planned
21 activities for staying connected.

22 We are also developing knowledge transfer plans

1 which match the junior and senior staff together to
2 create training plans in specific technical areas for new or
3 developing employees.

4 Another group is building project manager notebooks
5 for knowledge management and has formed the Church
6 Street Information Living and Learning, or the CHILL
7 committee to provide an NRC community at an interim
8 building.

9 Research will meet in March to update the focus
10 areas and will incorporate recommendations and action
11 items for the safety culture survey at that time.

12 Brian will now conclude the presentation for
13 Research.

14 DR. SHERON: Today you have heard a discussion
15 of the major programs and projects in Research
16 that are expected to continue in the next
17 year.

18 As with most offices Research experiences the
19 balancing act of securing the expertise needed to
20 meet the current workload.

21 We have also been working very hard to assure
22 adequate contract support to keep up with the

1 critical projects that are scheduled to provide
2 deliverables to customer offices in the coming year.

3 Our key focus is to provide the tools and
4 information needed to resolve safety issues and we
5 strongly support the collaborative efforts among the
6 offices and we will continue that strong coordination.

7 During the briefing we have identified many of the
8 policy issues that are expected to come before the
9 Commission this coming year.

10 Additional key research activities for this coming
11 year will also include maintaining the focus on aging
12 related materials issues such as dissimilar metal butt
13 weld inspections and mitigation; support
14 the program offices on cyber security and
15 Digital I&C issues; severe accident knowledge
16 management and maintenance; and supporting the
17 agency's fire protection stabilization plan including
18 the transition to NFPA 805.

19 Again, I would like to express my appreciation for
20 your support and this completes the staff's
21 presentation.

22 CHAIRMAN JACZKO: Thank you, Brian and

1 Bill, and everyone for a very informative
2 presentation. There certainly is a lot of
3 interesting work going on in the Office of Research.
4 We will begin our questions with Dr. Klein.

5 COMMISSIONER KLEIN: Thank you for a good presentation. I
6 noticed that the staff likes their offices at Church
7 Street. The question is, Brian, are they going to
8 want to come back when White Flint 3
9 is finished?

10 DR. SHERON: We will have to check out the offices
11 first.

12 COMMISSIONER KLEIN: Good answer. One of the challenges
13 you have in the research area, there are a
14 lot of really interesting and needed projects to work
15 on.

16 Jim mentioned it in terms of you don't get
17 ahead of industry and their needs. So how do you
18 balance those issues, knowing that you have to do something, but
19 not getting ahead of industry.

20 DR. SHERON: I will let the others talk too, but my
21 perception is that we do rely on our senior level
22 review committee which, as I said, involves senior

1 level employees from all of the offices and they
2 perform a screening and I think we went through the
3 screening criteria that we use, but that tempers what
4 is recommended.

5 We did identify, for example, some areas in the past
6 where we actually wrote a letter to the industry and
7 suggested that if they were going to be pursuing a
8 certain area we gave them some additional areas that
9 they needed to look into that they would have to
10 pursue and be prepared to address when they did come
11 in.

12 We don't necessarily say, "We're going to go out and
13 do this research," and actually do it before the industry
14 does.

15 What we may conclude is that it's a valid area to
16 work on, but it may not be necessary at this time,
17 we could wait and see what the industry does or we
18 may need to go to the industry asking them, "If
19 you're going to pursue this we have to start doing
20 something now so we need a better commitment."

21 We try to put out the feelers, if you want to call
22 it that, and see how far the industry or how serious

1 the industry is before we actually go off and really
2 commit to anything major, but I will let anybody else
3 go ahead if they want to say anything.

4 MR. CASE: Just a quick addition. Brian does
5 it really well in that we focus on the program
6 offices and we focus on the regulatory need.

7 When you focus on those two activities, it sort of
8 keeps you out of trouble with getting ahead of the
9 industry.

10 It helps us to keep focused on the product we're
11 trying to make and focused on the customer we are
12 trying to serve and then we really don't have a
13 problem with getting out too far in front because the
14 customer will not do it and the regulatory product
15 typically doesn't get out in front. It's part of the
16 focus on the customer and the product.

17 DR. UHLE: I would like to add just to compliment
18 what Mike just said is that we also do a great deal
19 of communication with the industry. As the Office of
20 Research as it is our role to anticipate what the
21 needs are going to be.

22 We are very involved in the standards development

1 organizations so we see what are the topics that
2 people are concerned about.

3 We participate in conferences to get out amongst the
4 industry to find this information.

5 In addition we have yearly meetings with the
6 Electric Power Research Institute, the research arm,
7 as well as the owners groups to determine where they
8 are heading and that allows us to stay not ahead, but
9 to stay, I would say, at pace with the industry.

10 COMMISSIONER KLEIN: What do you do to keep from getting
11 behind? That is also a challenge that you stay
12 ahead and we're not the long pole in the tent.

13 DR. SHERON: One of the things I know we
14 do, and Jennifer alluded to it, is we constantly try
15 to keep in touch with the various players you might
16 say.

17 For example, we periodically meet with EPRI and one
18 of the things that I continually ask EPRI is, "What
19 are you working on down the road? What are you
20 looking for?"

21 You will notice at the RIC we have a breakout
22 session now which is "International Perspectives on

1 Long term Research," and one of the things I wanted
2 to accomplish with that session is to find out what
3 other countries, for example, France, Japan, even
4 Korea, are doing in terms of long term planning?

5 We talked with DOE to find out where they are
6 heading with things. The way we do it is we
7 continually pulse and interact with these
8 organizations that are going to be providing the
9 funding and the impetus to improve technologies and
10 try to keep our pulse on where they are going and
11 use that as a gauge on how fast and how much we
12 should put in that area.

13 COMMISSOIONER KLEIN: Jennifer, you talked about SOARCA and
14 you said it looks like on the two pilots you
15 have completed, "That the time constant is different
16 and the source term is different than initially
17 planned." Does that look like the EPZ might be
18 modified based on the preliminary results?

19 DR. UHLE: At this point, in fact, there was an SRM
20 from the Commission early on as you are aware that
21 said, "Don't talk about how SOARCA is going to be
22 used. Keep your head down and focused on the

1 technical work."

2 That's what we have done.

3 However, in going forward as I indicated one of the
4 policy issues that we will be facing will be, "How is
5 this information going to be used?" and we will
6 provide in the SECY paper after we provide the
7 results of the pilot plants some recommendations for
8 the Commission's consideration.

9 Before I would say anything, we definitely need to
10 communicate with the regulatory offices and consider
11 what options there are.

12 Now the regulatory offices are involved in the
13 SOARCA process. We have a steering committee with
14 all the regulatory offices involved and so they are
15 kept abreast of the results that we are finding, but
16 at this point we have these results for these two
17 plants and we will see if that is something that we
18 can say for all plants at all sites or whether there
19 is something different about the different design
20 types or even if there would be something that could
21 be very site specific. At this point we have only
22 focused on these first two plants.

1 COMMISSIONER KLEIN: Chris, in your presentation you said,
2 "If we proceed to Level 3 PRA." Why would you not
3 proceed to Level 3 PRA?

4 MS. LUI: As I have highlighted in my presentation,
5 though we do realize that our potential challenges
6 such as resource needs, expertise needs, and the
7 information needs, we have to gauge to take on these
8 new initiatives how that may impact our
9 current work that we are doing to support the regulatory
10 offices.

11 It's going to be a balancing act there that we want
12 to look at, how we will be able to accommodate both pieces
13 in such a way and also if we're going to go forward
14 with the new initiative the information will come on
15 a timely basis.

16 That's the only reason where we kind come out of not
17 fully committed to doing that. We would be
18 conducting a scoping analysis to help us to better
19 understand what might be the potential limitations
20 and challenges so that we can make a good decision
21 about the path going forward.

22 COMMISSIONER KLEIN: At this point it is not a funding issue.

1 It's just a whether you want to do it issue?"

2 MS. LUI: I would like to say that it's not clear

3 right now. Well, it could become a funding

4 issue if after the scoping analysis we look at the

5 resource needs we think the time line that we would

6 like to have the result is going to be in such a way

7 that it is going to require a fair amount additional

8 resources.

9 By this point in time I would like to say, and this

10 is my personal view, I am very optimistic that we

11 will be able to pursue this project because of all

12 the groundwork that we have laid in the past 20

13 years.

14 COMMISSIONER KLEIN: Thank you. Mike, you talked about

15 "Life Beyond 60" and I noticed that you were not

16 talking about Bill's age or anything when you talked

17 about that.

18 One of the things I was impressed with when I went

19 to the Callaway plant is that they are looking at

20 some of their piping which is polymer based rather

21 than metal based.

22 Do you have any kind of a research program to look

1 at the long term aging impacts of these new piping
2 materials?

3 MR. CASE: Yes, we have a couple of activities. It
4 is high density polyethylene piping and there's
5 actually a code case going through the American
6 Society of Mechanical Engineers, ASME, so we are involved
7 in that.

8 Some of the areas that we're looking at for the
9 plastic piping as we call it is the way they're fused,
10 they are sort of melted together and that's how
11 they fuse them so we want to look at that fusing
12 process and see that that is actually done
13 safely.

14 We are looking at NDE methods that can be used on
15 plastic piping because it is a little bit different
16 so we want to understand how they examined the
17 fusions they make.

18 Then the third thing we're working on, in the plastic
19 pipe area is, well, let me see, no, I can't recall
20 that one, but we do have some research going on in
21 the plastic pipe area and we are engaged with the
22 program office on helping them with the code case.

1 COMMISSIONER KLEIN: Are there any techniques you can use to
2 sort of advance the aging issues when you look at
3 those?

4 MR. CASE: No, I'm not aware of that and I don't
5 know if we have looked into the aging issues
6 associated with this piping. We can look at that.

7 Once again that might be something we can add on.
8 Right now we are in the getting it out in the plant and
9 making sure it is being done safely.

10 COMMISSIONER KLEIN: Obviously, the issue we are all familiar
11 with are leaking underground pipes. As we look at these new
12 reactors, are there some new materials that might be
13 applied that would make life easier for everyone
14 sitting at the table 60 years from now?

15 MR. CASE: Actually, plastic piping is one of the
16 preferred solutions for some of the underground
17 piping issues.

18 COMMISSIONER KLEIN: One of the things, Jim, on long term
19 research activities is the possibility of recycle.
20 Could you talk a little bit about any events that you
21 are looking for in that regard if we go down
22 the recycle path what research do we need to do as a

1 regulator to be ready?

2 MR. LYONS: One of the topics that we have
3 identified in the fiscal year 2012 paper is that we
4 want to start scoping out what are the issues that
5 need to be addressed?

6 What are the regulatory issues?

7 What are the technical issues do we need to address
8 in order to be ready for advanced reprocessing
9 techniques if they come up and even the work that
10 Jennifer is doing in getting ready for advanced
11 reactors start looking at if we end up
12 getting into liquid metal reactors, the fast breeder,
13 that type of reactor, what types areas do we need
14 to look there?

15 Yes, so we are kind of continuing to look where we
16 have to, and again, not get too far ahead of the
17 policy makers on this, but at least to be thinking
18 about what we want to do and what can we and what
19 should we do if that is where we head.

20 COMMISSIONER KLEIN: Thank you.

21 COMMISSIONER SVINICKI: I will start with a couple of
22 comments, Dr. Sharon. I am glad you mentioned the

1 Office of Research's role in seminars.

2 I had been interested in a lot of them that I have
3 read in the agency wide announcements and I have
4 managed to go to one or two. They tend to be a
5 packed house which is really a compliment to your
6 staff in putting them together.

7 I want to highlight that your staff had the lead
8 as I understand it for the anniversary of the Three
9 Mile Island event and I thought that that was really
10 an outstanding event and I know that your staff was
11 supported by staff from other offices, but they did
12 have the lead on the TMI anniversary event and I
13 thought it was particularly well done so I wanted to
14 compliment your folks on that.

15 Also, I wanted to make a comment because we have
16 heard a couple of you mention a research priority
17 that is emergent now which is to know more about long
18 term storage of spent nuclear fuel.

19 I know the couple of times it was mentioned, I think it was in the
20 context of high burnup fuel, I personally have spent
21 time over the last year understanding better the
22 agency's basis for confidence in the long term dry

1 storage, in particular spent fuel, and
2 certainly now it is appropriate for us to look at
3 emergent research needs there for looking at longer
4 durations of dry fuel storage.

5 Of course that also needs to be done in concert with
6 DOE, and others, but at least in looking at the
7 historical research is when dry storage was more of a
8 novel concept that the EPRI and others did some of
9 the very seminal work on that.

10 I believe it is timely to turn to our research basis
11 on the long term dry storage and do more work there.

12 Maybe you could tell me, Brian. Is it timely if I
13 wanted a more detailed presentation or a briefing on
14 what it is that you propose there or are you still
15 kind of formulating that and would it be timely for
16 me if I wanted additional information because it
17 seems to me you are still in the kind of discussion
18 stage on it.

19 DR. SHERON: Yes, we are still in the discussion
20 stage with NMSS. I believe they also have a briefing
21 scheduled later in the spring, NMSS does on that
22 topic, and I imagine that we would be able to

1 provide a lot more detail then on what the proposed
2 go forward approach would be on research at that time.

3 COMMISSIONER SVINICKI: Yes, I just want to understand the
4 scope better as we move forward and so I know that
5 feedback is more useful if it is early rather than
6 late, so I look forward to continuing to work with
7 you and NMSS on that.

8 Dr. Uhle, I want to turn to your presentation on
9 maybe small modular reactors really more than
10 advanced reactors, although maybe advanced reactors
11 is kind of the umbrella, but within small modular you
12 have concepts that are more or less exotic, I think,
13 some of the proposers are trying to stay closer
14 to things that are familiar and the obvious reason
15 they are doing that is that we have such a tremendous
16 amount of data.

17 If you kind of think of the reactors that we have
18 operating, the power reactors today, I sometimes
19 think it was a multi decadal process, it's like
20 the pyramid, the licensing of a reactor design is the
21 top of that pyramid and there is so much underlying
22 understanding and work that needs to go on to build

1 that foundation.

2 So for a new reactor design, the more they can utilize
3 this, and I think you might have mentioned this, a
4 thing like the applicability of codes to the types of
5 regimes of performance that the reactor would
6 experience with the fuel, what it experiences, so
7 I sat back thinking to myself, "We are still doing
8 research on the fuel we use now."

9 Maybe what I am looking from you is if you can tell
10 me whether I am overwhelming myself with the
11 complexity of things or if I am appropriately
12 concerned about the amount of work that really needs
13 to be done for some of these small modular or more
14 unique more small modular designs.

15 Since I came to the NRC, I have now had the chance to
16 the go to Idaho National Lab in this NRC capacity and Sandia
17 as well.

18 In Idaho I had an opportunity to go through a
19 research facility where a couple of researchers were
20 in the room and they were studying one alloy for one
21 specific NGNP application and they were basically
22 looking at the very high temperature regime so they

1 basically had ovens where they were cooking these
2 little samples and they talked to me and spent some
3 time talking at great length. It will take them two
4 years, the best case estimate there, to get an
5 accepted code case for that alloy for that specific
6 temperature regime.

7 It is easy to look at that and step back, and say,
8 are we appropriately communicating the amount of
9 work that it might take for some of the materials
10 that we have not licensed before for design concepts
11 that are new and different?

12 We structured our research portfolio around the user
13 needs basis, so I am very familiar with that working
14 with the military services and the commanders who go
15 to DARPO or to a Science and Technology Office, and
16 say I have a user need, so I think that's a great
17 construct for us and in the two years that I have
18 been at NRC that works really well.

19 I'm not suggesting that we monkey with that at all,
20 but I am a little worried, we had at least one
21 opportunity before a Congressional committee to have
22 the agency and Mike Johnston went and talked to the

1 Senate Energy Committee about what will it take to
2 bring the regulator along and we testified alongside
3 DOE which is appropriate.

4 It's important that we calibrate the external
5 community on the fact that the reason that we are
6 able to review light water reactor designs and turn
7 around new concepts there is that going all the way
8 back to the Atomic Energy Commission we have
9 built up a body of knowledge about these things that
10 we are familiar with.

11 Am I making too much of this or is there really
12 a lot of work to be done?

13 DR. UHLE: What you're saying is exactly correct.
14 When we take a look at a new technology it's going to
15 be more difficult for us to license it.
16 It will be clunkier along the way and there will be
17 perhaps different road blocks and detours that take
18 place and will not be as streamlined as the light
19 water reviews.

20 However, if you take a look at some of the designs
21 that are being proposed aside from the integral light
22 water designs, but say the sodium fast reactor we

1 have experience with the sodium fast reactors, in
2 fact, Super Phenix in France and the Phenix reactor
3 actually just shut down a year ago.

4 There is a reactor in Japan, so both Japan and
5 France have quite a bit of experience in sodium.

6 We also have DOE experience with sodium fast
7 reactors and therefore there is information out
8 there.

9 We began a licensing review in the mid 1980's on the
10 Clinch River. It subsequently retracted, that
11 application, but we do have expertise.

12 It is not perhaps at our fingertips so that's why we
13 have taken a look at knowledge management activities
14 to try to dust off some of the technical basis that
15 we had developed previously and refresh it and all
16 the training sessions.

17 The challenge really is going to be getting the
18 reviewers and the agency back up to speed on these
19 designs.

20 If I point to HTGRs, again, Fort St. Vrain was a
21 reactor that we licensed and it operated. Do we
22 have the regulatory guidance to the degree? Do we

1 have 400 regulatory guides focused on gas cooled

2 reactors or liquid metal? No.

3 COMMISSIONER SVINICKI: That's interesting. That is actually

4 the second part of this since I am talking to

5 Research I wasn't even focused on that.

6 It is a little bit like your Q and A with Dr. Klein

7 on SOARCA where you said you do your

8 analysis and your research and then the second step

9 is how is that reflected in the regulatory

10 framework, which is the whole other piece that we

11 may or we may not have. Fort St. Vrain was licensed.

12 Obviously a reactor in

13 another country is not something that we

14 necessarily licensed. So that's a whole other

15 component of kind of just bringing the regulator

16 along on these new technologies and that is a

17 significant step all in and of itself.

18 DR. UHLE: We have done some work

19 take a look at that with the technology neutral

20 framework.

21 There are basic principles that you would be

22 concerned about when you have a nuclear reactor.

1 Criticality control is one thing and pressure
2 boundary control for the release of radioactive
3 materials is another.

4 There are big principles that are common to all of
5 these designs. They are a little bit different in
6 terms of the gas cooled reactor where you
7 worry about air ingress when
8 you have a loss of coolant accident or essentially a
9 breach of the primary pressure boundary and the
10 helium releases.

11 You have different concerns, but in general the
12 principals, cool to core, shut the core down, and keep
13 it shut down, keep removing the heat and prevent
14 radiological release.

15 Because of that, I think the ultimate framework is
16 easy to sit down to list, "Here are the concerns,"
17 then you look at the particular design and you
18 understand how it operates and then you take a look
19 at the regulations to determine if they are
20 applicable.

21 Principles are applicable whether or not the exact
22 limit that is specified may not be or the exact

1 design basis, a Chapter 15 transients will not be.

2 That is where we have to scratch our heads.

3 COMMISSIONER SVINICKI: That's a good way to approach the

4 problem. What is the work that needs to be done?

5 What do we need to know? The second element is, Who

6 does it? I know you all are really performing that

7 coordinating function and working with others.

8 We look at the AP1000 and we are exploring with the

9 designer their issues related to basically

10 concrete and rebar and that is not an exotic alloy

11 and something we don't know, but I am sounding

12 negative so I will stop here.

13 CHAIRMAN JACZKO: Following up on Commissioner

14 Svinick's point. You didn't touch necessarily on the

15 integral light water reactors. Obviously that is a

16 technology that is used in a larger scale with

17 current fleet of reactors, so is that an area where

18 you think that we have as much of a need to develop a

19 framework or is that in better shape?

20 DR. UHLE: Certainly integral light water reactors will be

21 easier for us to review. By easier I should say it

22 will require less effort for us to prepare ourselves

1 to do a review. It doesn't mean that technical issues

2 will be any less challenging.

3 We have a lot of experience with light water and our

4 codes are focused on light water, but with any new

5 design there are new features. For the EPR, they rely

6 more on reflex condensation to cool the core at the

7 higher pressures.

8 We never really had that before to worry about

9 because we had high pressure injection so there are

10 new phenomena that we have to take a look and make

11 sure that we can analyze appropriately and we

12 look to see is test data in the appropriate

13 ranges of conditions and we assess the code

14 thereafter.

15 I would say that with the integral light waters

16 they are potentially thinking about a helical

17 steam generator, an helical coil, well we have never

18 done that before.

19 We can connect all the pipes and we have the water

20 materials and properties, but are we going to be able

21 to simulate how that steam generator drains down in

22 the case of a loss of coolant accident then we are

1 going to have to have a test program where the
2 licensee will have a test program and we will
3 validate our code against it and do model development
4 as is necessary.

5 That is for every new design. EPR, USAPWR, ABWR,
6 ESBWR, we go through an applicability report and it
7 takes a year.

8 CHAIRMAN JACZKO: Specifically on the integral light
9 water reactors then, if you look at the issues that
10 need to be addressed, what would you say are the top
11 three things that need to be addressed and are those
12 things being addressed right now by Research or do
13 you have to do more work?

14 DR. UHLE: At this point we are not in a
15 preapplication stage and so what we are looking at
16 would be things in common.

17 They will be integral. They are not have piping on
18 the exterior. So we are really going to be forcing
19 the code to do three dimensional low behavior
20 internal to this vessel.

21 We have a three dimensional capability in the code.
22 Have we used it for this type of geometry? No. So

1 we're taking a look at it and we are saying to
2 ourselves, "How would we model this using the
3 capabilities we have," and then we take a look
4 at data.

5 Is there data out there that has more three
6 dimensional behavior they we can compare it to and how
7 did we do?

8 The steam generator, the helical design of the steam
9 generator, helical coils in the steam generators is
10 another example.

11 There are certain things like that, but we do have a
12 code that is very well documented for heat transfer
13 in the flow path over the fuel rods which we don't
14 have for a gas cooled reactor at this point because
15 we have never done a pebble bed here in the U.S.

16 That's where it's easier, but there still will be
17 particular issues that we need to take a look at.

18 CHAIRMAN JACZKO: Certainly, as we go
19 forward it is important in particular in the integral
20 light water reactors that we are prepared. Right now
21 our plans are to begin with perhaps more
22 significance and substantial preapplication review

1 work in 2011 and then in 2012.

2 If there are areas right now where you Brian don't feel
3 you're able to respond to the user needs from NRR,
4 Jennifer, if there are things that you see let us know and
5 keep us informed so we can make sure that you get the
6 resources to do that because we do want to be
7 prepared to be able to respond and to deal with the
8 applications, and as you said, if there are some
9 unknowns right now we will not know more until we see
10 more detailed designs beyond some of the
11 PowerPoints.

12 Now I would like to turn to a subject that Dr. Klein
13 had raised. Sometimes we ask questions and maybe
14 hidden in them sometimes there are statements. I
15 don't want to put words in his mouth, but I may try
16 to say what he said perhaps without asking a
17 question.

18 I would be supportive of your proceeding with a
19 Level 3 PRA work. Perhaps I heard that in the phrase
20 of his question with the caveats that you rightfully
21 talked about that this is in many ways not
22 necessarily directly applicable to any regulatory

1 needs or anything right now.

2 It is in many ways a knowledge enhancement
3 activity and a skills enhancement and a personal
4 development opportunity right now for a lot of staff
5 which all are valid, but may not necessarily be the
6 highest priorities.

7 I would certainly be supportive in that regard of
8 continuing in what seems to be the path you are on
9 right now of in making this somewhat of a medium to low
10 priority activity, but one in which you are
11 continuing activity and development on.

12 So if I have captured that right, and if I have not,
13 feel free to clarify.

14 MS. LUI: Yes, if I could offer one comment. I know
15 that a lot of our work in terms of what are the
16 established risk metrics are really looking at
17 Level 1 type of measure, sometimes at Level 2 and
18 Level 3 or all the way extending to probably health
19 effects and the consequences are now being looked at
20 frequently.

21 At the same time we do have lots of different places
22 where we need to look at regulatory analyses and

1 that's where Level 3, a good solid Level 3 PRA,

2 really provides a lot of defensibility.

3 In terms of our generic issue program, if we

4 actually go through the entire evaluation we do have

5 to perform regulatory analyses at the end so

6 sometimes we do have to struggle a little bit in

7 order to find that information.

8 Yes, even though there may not be an immediate need,

9 but ultimately that you will provide the agency the

10 best tools to allow us to do all the different types

11 of regulatory decision-making.

12 CHAIRMAN JACZKO: And with that, that perhaps even

13 strengthens my support. I don't see this as a high

14 priority item necessarily, but a medium to low

15 priority activity I think is something where this is

16 well founded.

17 On that topic, are there any licensees out there

18 that have a full Level 3 PRA right now?

19 MS. LUI: I can't really speak about the vintage of

20 the information, but I am pretty sure that there

21 would be at least one or two out there where they do

22 have a full Level 3 PRA.

1 CHAIRMAN JACZKO: Does that include then where they
2 look at low power and shutdown operations or would it simply be
3 full power?

4 MS. LUI: A lot of the information actually exists in
5 piecemeal fashion in a sense that the licensees do perform
6 certain scope of low power and shutdown analysis to
7 support their shutdown operations and many plants
8 have come in for license renewal they pretty much
9 have to do a pseudo Level 3 PRA because of the
10 requirement in that area so it may not be as
11 detailed but certainly scoping analysis do exist.

12 CHAIRMAN JACZKO: One of the issues that has been an
13 ongoing concern as I look out over the years, and the
14 changes that are happening internationally and as
15 well as domestically is the availability of
16 facilities for research.

17 I know this has been an issue that we have talked
18 about in the past with these kinds of meetings.

19 Perhaps, Brian, if you want to comment on that or if
20 there is anybody who wants to make a comment where
21 you see the state of facilities right now.

22 Do we have domestically the capabilities we need to

1 conduct the research we need to, and if not, does it exist
2 internationally or are there just simply some things
3 that do not exist anymore that will hamper our
4 ability to do the kind of confirmatory research we
5 need?

6 DR. SHERON: Right now I think domestically we don't
7 obviously have the facilities that we had back in the
8 1970s and the 1980s like LOFT semi scale and the MIST
9 facility. I could go on and name tons of them, but
10 as Jennifer said, we now have a proposal to work with
11 DOE and they will fund, for example, a scale model of
12 the NGNP gas cooled.

13 Obviously one of the questions is that unless DOE
14 does a down select fairly quick we will be faced with
15 the potential of two different core designs which
16 could involve the need to do more experimental work
17 to have a scale facility of both kind of cores.

18 We don't have that planned right now. We will
19 probably look to DOE if that was the case to provide
20 that.

21 Internationally, we are looking and as a matter of
22 fact one of my initiatives over at the NEA through my

1 membership or in the CSNI Committee we established a
2 tariff group in which Jennifer, and now, Kathy Gibson
3 is a member of, the intent of that was to kind of
4 force the NEA to get out in front, or in other words
5 historically the work they do has always been sort of
6 catch up after things have been decided. The idea
7 was to look at the available facilities worldwide for
8 some of these advanced reactors, the gas cooled as
9 well as the sodium.

10 The U.S. took the lead for the tariff group on the
11 gas cooled and Jennifer provided that leadership and
12 the French are providing the leadership to look at
13 the sodium cooled.

14 I will turn it over to Jennifer because you can talk
15 a little bit about what your group came up with in
16 terms of looking at facilities available.

17 DR. UHLE: The tariff program, again, was
18 specifically focused on two different designs, sodium
19 fast reactor which is underway and Kathy Gibson is
20 involved in that activity and I was the chairman of
21 the gas cooled reactor.

22 So this is just for these two particular designs,

1 and we concluded, and the purpose of the tariff was
2 to ask what facilities are out there that are
3 available to develop the data that would be necessary
4 and the first thing we did was, what phenomena are
5 important and what ranges of conditions do we need to
6 have this data set that we are ultimately going to
7 need to extend over.

8 So NRC and DOE collaborated to develop a phenomena
9 identification and ranking table 4, the NGNP program,
10 the gas cooled reactor, so we used that and we
11 selected those high ranked phenomena from those
12 reports and then that worked.

13 Then, we said, "What facilities are out there?" and
14 we have about 40 different facilities and the
15 conclusion was that there is more than enough
16 coverage.

17 If we are looking at would we have to
18 potentially add extra instrumentation to a facility
19 to look at a particular phenomenon? Yes, maybe we
20 have to do something like that, but we found that
21 there were a lot of overlap in the facilities that
22 were out there and we did make a recommendation that

1 the HTTR, the high temperature test reactor in Japan,
2 which is actually a 5 megawatt prismatic design gas
3 cooled reactor, we said that that would be a great
4 place to do a collaborative work because we could get
5 some kinetic information because it is actually a
6 neutronic core.

7 We are doing the same thing with the sodium fast
8 reactor. We didn't have a phenomenon identification
9 ranking table for the sodium fast reactor, so this is
10 more of an ad hoc identification of the high ranked
11 phenomenon.

12 But, again, asking the same question. What
13 facilities are out there," and based on what I have
14 been hearing from Kathy is that there are a lot of
15 facilities out there.

16 The real benefit of participation in CSNI and CNRA
17 on the regulatory side is just that. It is you
18 develop these collaborative relationships and you
19 have access to the facilities.

20 Typically if we think especially with light waters,
21 if we think there is a technical issue that
22 needs to be looked at the other countries are usually

1 agreeing and we band together, so I don't think that

2 we have to have a facility in the U.S.

3 Also there was another report that was written by

4 CSNI a couple years ago that looked at light water

5 facilities and had the same conclusion, there are plenty

6 out there, but we highlighted the need for the

7 international community to band together, and if there

8 was the potential for one of the most flexible and

9 better instrumented is for the facilities to be shut

10 down, then please alert the international community

11 and then we will cross that bridge when we come to

12 it, but we haven't had that happen.

13 So I think the participation in the international

14 activities through CSNI is a great way to maintain

15 our access to these facilities.

16 CHAIRMAN JACZKO: It sounds at this point there are

17 no major gaps and that is always good news. Dr.

18 Klein do you have any additional questions?

19 COMMISSIONER KLEIN: Just a couple quick questions. As with

20 Commissioner Svinicki, I have concerns with do we

21 really have a good research program now identified

22 for long term storage and then the follow up of

1 transportation?

2 So one thing I would like to see as a follow up is
3 your research plan both for long term storage and
4 then some of the issues we should start looking
5 at as that fuel might be transported to another
6 location after long term storage. Those are two
7 issues that would be good to look at.

8 Then another question that I have for you Jim,
9 do you ever travel internationally?

10 MR. LYONS: Once in a while.

11 COMMISSIONER KLEIN: Do you ever take a laptop with you?

12 DR. SHERON: No, I don't usually take a laptop. I
13 usually take my BlackBerry and use it to communicate.

14 COMMISSIONER KLEIN: One of the things I noticed in Bill's
15 EDO message that came out recently is the fact that
16 we are all sort of homebound with this snow that came
17 in the last few days, the importance of telecommuting
18 and being able to work while we travel.

19 One of the things that I have learned is that with a
20 lot of the hotels in foreign countries you only have
21 Wi-Fi.

22 For those who have laptops, I would just encourage

1 the EDO to continue to push IT processes so that we
2 can travel and have Wi-Fi access both domestically
3 and internationally because it really does make us be
4 able to perform. At least BlackBerries is a good
5 step in that direction.

6 MR. LYONS: You can at least connect it, especially when your flight gets
7 canceled from Frankfurt to Dulles because of snow.

8 COMMISSIONER KLEIN: This is a final question for Brian.
9 One thing where I was really surprised at is when I
10 was at Kashiwazaki recently is the complexity of
11 seismic analysis.

12 Obviously the geology characteristics at that site
13 was very complex, but then it sort of brings in the
14 question, "How well prepared are we for a seismic
15 analysis for complex geological issues?"

16 I assume you're getting a lot of information from
17 the research that the Japanese are doing?

18 Then the second part is, "How are we doing with what
19 we need to do to stay ahead of that potential issue
20 in the U.S.?"

21 DR. SHERON: We have been very actively involved
22 with the Kashiwazaki event and Annie Kammerer of Mike's

1 staff has been over there I would say, I don't know
2 how many times, but many, yes, working with them
3 understanding what was learned, what the lessons
4 learned were as well as, for example, in the tsunami
5 in the southeast region that occurred.

6 We are learning all about where we are trying to
7 constantly take this information and apply it and see
8 what the lessons learned are and whether there are
9 any changes needed in the U.S. I will ask Mike if
10 you want to elaborate any on that.

11 MR. CASE: Yes, I will add on a little bit. We are
12 in the process of what I would call thoroughly
13 modernizing our seismic regulatory guidance.

14 We have a seismic research plan that we have
15 coordinated a lot with the New Reactors Office. It
16 is mostly focused in the central and eastern United
17 States right now, but we are thoroughly modernizing
18 our seismic approach, so at the end of this we will
19 have a world class regulatory framework that has sort
20 of shifted from a deterministic type view to a more
21 probabilistic type of view and we have been doing
22 this in collaboration with EPRI, DOE, USGS and so it

1 is really a consensus process that we are working on.

2 COMMISSIONER KLEIN: Nothing further. Thank you.

3 COMMISSIONER SVINICKI: Ms. Lui, I will turn to a couple of

4 areas that you talked about. First, I solicited for

5 some feedback on the Level 3 PRA and I have some

6 notes here about the scoping study and it seems to me

7 to be complete, but there is something that I would

8 ask you to think about, though, maybe as a precursor

9 step. I don't want to suggest it if it is not of

10 value and you would know better than me, but is there

11 any potential that a workshop or something that would

12 get stakeholder input and I am talking kind of

13 academic expertise industry input, just other

14 interested stakeholders an opportunity to get early

15 input into what you're scoping because, again, with

16 research, my bias is always having issues raised

17 earlier rather than later is helpful.

18 My other perspective is that for Level 3 PRA you

19 talked about building a kind of tool kit. My sense

20 is that different elements of the tool kit are at

21 different levels of maturity, so you could calibrate

22 maybe our internal assessment of what the level of

1 maturity is of things versus some external

2 perspectives.

3 I don't want to suggest an action if you have really

4 done it in bits and pieces. It's not a useful step

5 right now, so if you want to give some feedback?

6 MS. LUI: Yes, absolutely, we are only at the

7 beginning stage of the scoping study so we have not

8 really gone that far yet.

9 What we have done is that we have been discussing

10 the ideas of doing a Level 3 PRA with the internal

11 NRC offices, so we have talked with NRR and we have

12 talked with NRO, and we are in the process of

13 engaging NSIR, NMSS, and FSME just to make sure that

14 everybody is on the same page there.

15 The next step, clearly, is we are hoping that by the

16 end of the calendar year we will be able pull our

17 plan together in terms of what we really intend to do

18 and what will be the actual scope.

19 If we were not going to do any type of assessments

20 that are laid out on that particular slide, or in

21 other words, there are the reactor accidents and

22 there are the other types of accidents where we can

1 document reasons why those would not be included.

2 We definitely want to engage external stakeholders

3 and at this point in time we want to at least involve

4 a strawman so that the stakeholder would have

5 something they can digest and look at to promote that

6 very productive interaction.

7 COMMISSIONER SVINICKI: Yes, because today I think my

8 feedback to you would be that I would feel much

9 better able to give you more specific feedback on

10 what could potentially be very resource intensive if

11 I had a better perspective on some alternatives and

12 maybe some modularity to what you were proposing and

13 what different options might cost out on that and

14 certainly these perspectives on what use we would

15 make of it and how we might feed it back into things

16 and then also to test those theories against some

17 other stakeholder perspectives.

18 MS. LUI: Yes, and in terms of the tool kit,

19 absolutely, I mean in talking about Level 1, Level 2,

20 and Level 3 PRAs, the Level 1 PRA is definitely the

21 most mature.

22 In fact our planning starting point is to start with

1 the SPAR models which is the standardized planned
2 analysis risk models. We actually have those models
3 updated periodically so that they are in very good
4 working condition.

5 In terms of the consequences analysis it is just
6 like the SOARCA study that we have the MAX Code that can
7 actually do a calculation.

8 Where we really need to bridge the gap is in the
9 Level 2 analysis because NUREG 1150 allows you to
10 rely on expert elicitation to actually generate the
11 probability and frequencies in order for us to
12 propagate the computation to that particular stage.

13 With the advancement in our understanding in severe
14 accident and also MELCOR has matured over the years
15 where we're hoping that we would be able to really
16 capitalize on all of this groundwork that has been
17 laid in the past 20 years.

18 As Jim Lyons had mentioned, we also have a piece of
19 work that is ongoing specifically targeting the
20 improved methods to handle Level 2 and Level 3,
21 including the interface with Level 1.

22 We want to really pull these different pieces

1 together in order to do this particular

2 project and that is the reason I am

3 optimistic about the path going forward.

4 COMMISSIONER SVINICKI: I appreciate your mentioning that. I

5 think it was in the Commission's meeting on fire

6 protection that we had an EPRI participant, maybe

7 even the NRC staff talked about certainly the value

8 of expert elicitation, but it also has its limits.

9 I appreciate your mentioning this goes kind of

10 back to this issue of the level of maturity of the

11 various component pieces that we are talking about

12 here.

13 The other issue that you had briefed on today was

14 the HR, the human reliability analysis and at a prior

15 Commission meeting with NRR, I talked a little bit

16 about operator licensing and now I find myself in a

17 circumstance where as I have gathered more

18 information about it, I am not even sure exactly

19 what I would like NRR to provide me more of.

20 It's tough for them because as they give me more

21 information about operator licensing, they are finding

22 that I have additional questions, so I am still

1 trying to scope what I think might be meaningful in
2 terms of the staff looking at some operator licensing
3 issues, but an issue going forward is something you
4 talked about which is the advanced control rooms.

5 This certainly I think has to shadow back into
6 anything we might need to prepare for an operator
7 licensing as far as the way control rooms are going
8 to have a different interface with operators.

9 Can you talk a little bit from Research's
10 perspective on how far we are from having kind of
11 actionable results out of our HRA work that we could
12 feed into our regulatory process on operator
13 licensing?

14 MS. LUI: Yes, absolutely. We are working extremely
15 closely with NRO in terms of the events and control
16 room designs.

17 In fact the staff has gone to visit a couple
18 simulators out there that the current group of
19 potential applicants have built to better understand
20 what it is they are thinking about and what kind of
21 training strategies they are going through.

22 Right now we are at a stage of understanding the

1 system. The way that we are doing this is that we
2 look at the human factors aspects first and then the
3 human factors aspect will get propagated and
4 converted into something we call performance shaping
5 factors in the HRA analysis and given that these are
6 the applicants intent of how they are going to run their
7 operation, what kind of time scale they will be on, what will
8 be the crew size, what kind of technology will be involved and
9 propagate that through the HRA model.

10 We are definitely not there yet because right now we
11 are in a new human system interface
12 understanding stage and recently we have put a
13 couple of small contracts in place so that we will be
14 able to have the best thoughts and the best support
15 to help us in going forward.

16 Clearly, that's again one of those situations where
17 you have a push and pull type of situation. So
18 that's the reason why we are staying very close with
19 the licensing office just to make sure that
20 we are staying on top of the game, not so much ahead,
21 and definitely not falling behind.

22 COMMISSIONER SVINICKI: I appreciate that kind of context. I

1 certainly don't want to ask the staff to have to
2 formulate any recommendations on something if it is
3 premature, but it sounds like you are definitely
4 monitoring and you are plugged in with the licensing
5 folks and so I do appreciate that.

6 Quickly, and this is a last item. I'm not sure who
7 could address this because Dr. Sheron just mentioned
8 it in his introductory remarks. It has to do with
9 smart grid initiatives and any kind of nexus they may
10 have on reliability/cyber security issues.

11 How plugged in are we with government wide
12 initiatives with NIST, with DOE, and with others who
13 are looking at kind of a global interest in smart
14 grid initiatives? Is there someone here who could
15 answer that.

16 MR. WIGGINS: Good morning, this is Jim Wiggins,
17 Nuclear Security and Incident Response. We have the lead for
18 cyber.

19 We also assumed the lead for smart grid because of
20 the connection, but I appreciate your view. We share
21 the same view. It is more than a cyber, it is an
22 overall reliability.

1 As you said, NIST is the lead for, I guess it's the
2 Federal Energy Regulatory Commission in developing
3 the standards.

4 Pardon me, my voice escaped me this week much to my
5 staff's benefit as it turns out, we are getting a
6 lot less questions this week.

7 COMMISSIONER SVINICKI: Mr. Burns is so nice, he said much to
8 your staff's delight.

9 MR. WIGGINS: Yes. NIST set up a structure to
10 provide governance and oversight and it is a smart
11 grid panel of some sort, an oversight board and we
12 have a representative from the office NSIR that sits
13 for the NRC on the board, so he is a voting member of
14 this activity that involves a number of sectors that
15 are interested in smart grid.

16 We are the regulatory government piece of it and
17 there is industry and vendors who are involved in that
18 and that has just started now.

19 COMMISSIONER SVINICKI: I am certain this is happening, but
20 our representative has obviously a heavy burden
21 because he or she will need to kind of put feedback
22 back into NRO, NRR and Research and make sure there is

1 good cognizance of emergent issues because there are
2 likely to be.

3 MR. WIGGINS: Yes, we recognize that. The
4 individual staff member which is kind of atypical for
5 the board membership has a background coming to it
6 from a prior activity before he joined the NRC which
7 made him attractive to NIST and the people who were
8 assembling this activity.

9 We had dealt with that very question about the need
10 to stay connected.

11 At the start of this when we learned of the
12 individual being voted in being somewhat interesting
13 in the way that that happened, but we will leave that
14 out as we don't need to discuss that, but Jack Grobe
15 is here and Mike Johnson is here and we worked
16 together to make sure that we're going to stay tied
17 in.

18 We recognized that that was important and that this
19 individual gets the support he needs to serve the
20 role he is serving on this board which is beyond
21 federal Well, it's a government regulatory role
22 beyond even NRC, but certainly the enlightened self

1 interest aspect of if indicates the NRC interests are

2 paramount in what we are asking him to do.

3 COMMISSIONER SVINICKI: Thank you and thank you, Mr.

4 Chairman.

5 CHAIRMAN JACZKO: Thank you. I was a very

6 interesting briefing and we probably have a certain

7 language that we can work on the Level 3 PRA.

8 It sounds like there is certainly a Commission

9 interest in that activity of varying degrees in

10 putting some language together to work out any

11 specifics that we would need to look at with any

12 breaks or any stopping points or any kind of caveats

13 as that process goes forward.

14 In general, this was a good discussion and we

15 appreciate all the work that you do in this very

16 important area, and as you can see from the questions

17 it is of very strong interest to the Commission. So

18 thanks for all your work and Happy Engineers Week.

(Whereupon, the proceedings were concluded)