

UNITED STATES OF AMERICA
U.S. NUCLEAR REGULATORY COMMISSION

BRIEFING ON THE STATUS OF NRC RESPONSE TO
EVENTS IN JAPAN AND
BRIEFING ON STATION BLACKOUT

APRIL 28, 2011

9:30 A.M.

TRANSCRIPT OF PROCEEDINGS

Public Meeting

Before the U.S. Nuclear Regulatory Commission:

Gregory B. Jaczko, Chairman

Kristine L. Svinicki, Commissioner

George Apostolakis, Commissioner

William D. Magwood, IV, Commissioner

William C. Ostendorff, Commissioner

APPEARANCES

NRC Staff Panel:

Bill Borchardt
Executive Director for Operations

Pat Hiland
Director, Division of Engineering, NRR

George Wilson
Chief of Instrumentation and Control Branch,
Division of Engineering, Office of Nuclear Reactor
Regulation

Eric Bowman
Senior Project Manager, Division of Policy and Rulemaking,
Office of Nuclear Reactor Regulation

1 PROCEEDINGS

2 CHAIRMAN JACZKO: Good morning, everyone. Before we begin
3 today's meeting, I wanted to recognize that this is National Administrative
4 Professionals Week and take this opportunity to acknowledge the dedicated
5 efforts and the high-quality performance of our agency's administrative
6 professionals. It's always, I think, a great opportunity during this week to make
7 sure we highlight the work that those people do every day to allow us to do our
8 jobs and to keep everything working and functioning. This is also a very special
9 day at the NRC. This is Bring Your Children to Work Day here at headquarters,
10 so there'll be lots of people, our future work force, running around, learning the
11 business, I think, at the agency.

12 With that, I'll turn to the agenda for today's briefing. The
13 Commission meets this morning to receive a brief update on the situation in
14 Japan and the NRC's ongoing efforts there to assist the Japanese government,
15 but then the remainder of today's meeting will focus on the NRC station blackout
16 rule, which is our regulatory approach for ensuring that licensees can effectively
17 cope with a loss of alternating current electrical power. And, I think, certainly this
18 is a situation that has relevance, as our task force looks at the situation in Japan,
19 but we also have seen that this is a rule that has relevance here for us in the
20 United States. Severe storms in the south last night provided a reminder of this.
21 One or more nuclear power plants experienced a loss of nearly all their off-site
22 power, leading to shutdowns of those plants. All of the safety systems performed
23 as they were designed and all available diesel generators started and loaded.
24 And, ultimately, the core cooling systems are operating normally. In addition, the
25 spent fuel cooling is currently in service. So, all these plants are stable and

1 they're being placed in a cooled-down condition.

2 Of course, these storms are also a reminder that these storms have
3 tremendous impact, and there have been many people who have lost their lives
4 as a result of this, so we always want to remember that as we talk about these
5 issues. But it was certainly a reminder of the importance of this particular rule
6 and dealing with the potential that not all of the alternating power capabilities
7 function.

8 So, today, the staff will give us a general background on the rule's
9 development as well as more detailed information on the structure of our
10 regulatory approach for dealing with station blackout. And this is one of the
11 many significant issues that the agency's senior level task force is examining as
12 part of our comprehensive review of the safety of the U.S. nuclear facilities as a
13 result of the situation in Japan. And, certainly, from my perspective, I think the
14 purpose for us today is to get a good base line of information for the Commission
15 to get us all at the same level of knowledge about this rule, so that if we get
16 recommendations from the task force in this area, we'll be able to move
17 expeditiously and promptly to address those, and we'll have a good
18 understanding of the basis of the existing rule, and then, if there are changes to
19 be made, what those changes would be and how we would effectively and
20 expeditiously move forward with those recommendations. With that, I would offer
21 any colleagues, my colleagues to make any comments that they would like.
22 Commissioner Svinicki.

23 COMMISSIONER SVINICKI: Thank you, Mr. Chairman. First of
24 all, I appreciate your recognition of the hard-working administrative professionals
25 here at NRC who make possible all of the important work that we do here. And I

1 also would add, that, although, as you've indicated, we're still working to gain
2 knowledge of the events in Japan, station blackout certainly identifies itself as an
3 important issue that we need to be looking at, so thank you for today's meeting.

4 CHAIRMAN JACZKO: Okay, Bill. I'll turn it to you.

5 MR. BORCHARDT: Well thank you, good morning, what I'll do is
6 begin today's briefing with just a very brief overview of the situation in Japan.
7 Since March 21, when we held the last Commission meeting, on the Japan issue,
8 I would say that the situation has definitely improved but we're still in the accident
9 mitigation phase. Off site and on-site AC power has been restored, however
10 they're still using temporary pumps and hoses to inject water into the reactor
11 vessels and spent fuel pool, and into the containments. There's still many
12 unanswered questions regarding the status of various pieces of equipment, the
13 reactor vessel integrity, the spent fuel pool.

14 Regarding the core, the reactor vessel, and the containment, as
15 well as the spent fuel conditions, I would describe the situation as not being quite
16 stable, but certainly not as highly dynamic as it was on March 21 when we last
17 met on this subject. The changes that are occurring within the plant are slower
18 and allowing more time for the Japanese operators and regulators to respond
19 and take corrective actions, as necessary.

20 There's still feed and bleed operations in progress. That is a
21 somewhat dynamic situation, as well as there's unfiltered and unmonitored
22 release paths that remain to be a concern at the Fukushima site. One of the
23 things that make this difficult for the Japanese in responding to this event and for
24 to us to understand the exact situation is that there's a number of suspect
25 accuracy and failed instrumentation at the site, affecting all of the units that really

1 hamper our ability to get a clear and consistent picture of the situation.

2 As you know, the site team in Japan continues. We're providing
3 technical support to the ambassador. We're interacting with the Japanese
4 officials of NISA, our regulatory counterpart, and the operator TEPCO. And the
5 team in Japan is also coordinating the efforts of the consortium of private
6 companies as well as non-government organizations as they work with the
7 government of Japan. Our operation center remains on a 24/7 response
8 capability. We're providing direct support to the site team as well as coordinating
9 all of the related headquarters activities by the technical staff.

10 One of the major developments over the last month has been the
11 creation and development of TEPCO's recovery plan, which is called a road map
12 towards restoration from the accident at Fukushima Power Station. There is a
13 number of elements in this road map, and it focuses on nitrogen injection that will
14 help minimize the potential for future hydrogen detonations, flooding of
15 containment to cool the core, working on process to provide reliable spent fuel
16 pool makeup to achieve long-term cooling. They'll also work on the Unit 4
17 structural integrity of the spent fuel pool, looking at ways of providing waste
18 storage and processing as well as controlling radioactive material on-site and off-
19 site. And then, finally, to address the issue that I mentioned earlier, enhanced
20 monitoring of off-site conditions at the plant. So, our overall assessment is that
21 the Japanese are making progress on addressing the safety and the
22 environmental issues and that the road map that's been put into place is certainly
23 a good start towards long-term restoration.

24 Moving into today's Commission meeting. Obviously, the
25 earthquake and then the following tsunami resulted in a station blackout at the

1 site, which greatly complicated and contributed to the serious events in Japan.
2 Today's briefing's going to be a technical background about the conditions in the
3 U.S. plants, both the regulatory background and what processes and equipment
4 exists in the plants. As I mentioned, on March 21, we did, what I would say, was
5 an instant review of the situation and of the capabilities of U.S. facilities and
6 concluded that there was no need to make immediate changes or to impose
7 immediate orders on U.S. licensees. However, we have well underway the short-
8 term, or 90 day review, that is looking at station blackout and a number of other
9 issues, out of which may result in some future regulatory action or some
10 requirement on licensees.

11 Following that 90 day review, there's going to be a longer-term
12 review that will continue to use all of the technical information available from
13 Japan in order to inform our regulatory approach moving forward. Very recently,
14 we've issued a temporary instruction to our inspections staff that has been
15 performed to evaluate the compliance with the existing regulations, and those
16 results are being provided to the headquarters staff for analysis now.

17 We'll be hearing from three speakers today. The first is going to be
18 Pat Hiland, who's going to provide an overview of the NRC station blackout rule,
19 as well as the advanced accident mitigation strategies implemented at U.S.
20 plants. George Wilson is going to discuss, in detail, the station blackout rule
21 requirements and guidance, and the preparedness of U.S. power plants to cope
22 and recover from a station blackout. And then, finally, Eric Bowman will discuss
23 the mitigating strategy requirements imposed following the terrorist attacks of
24 September 11, 2001. So I'll now turn the briefing over to Pat.

25 MR. HILAND: Thank you, Bill. Good morning Commissioners,

1 Chairman, and go to slide two, please, station blackout background. Looking
2 back over 35 years ago, the WASH-1400 document was issued. And that
3 document clearly stated that station blackout could be an important contributor to
4 the risk of nuclear power plant accidents. In particular, it concluded that if a
5 station blackout were to persist, it could lead to a core melt and containment
6 failure. In 1980, the Commission designated the issue of station blackout as an
7 unresolved safety issue, A-44. Additional regulatory requirements were imposed
8 in 1988, when 10 CFR 50.63 was issued. It's known as the SBO rule, that rule
9 requires each plant to be able to cope and recover from a station blackout event,
10 specifically to assure that the core is cooled and that the containment integrity is
11 maintained.

12 When the station blackout rule was issued, coincident with that was
13 a Regulatory Guide 1.55 that was released. That regulatory guide endorsed an
14 industry standard, 8700, providing guidance in how to implement the rule. All of
15 the operating fleet, all 104 plants today, met the station blackout rule at the time
16 based on a detailed review of each applicant's submittal of how they complied
17 with the rule, as well as, we conducted two on-site inspections in each of the
18 regions, for a total of eight, to provide us confidence that the rule was being
19 properly implemented.

20 After that time period, under the reactor oversight program, we
21 have our Component Design Basis Inspection, or CDBI inspection, that
22 continually looks at those components that may be involved in the station
23 blackout mitigation strategies, as well as there are other inspection modules for
24 our regional inspectors and our site resident inspectors, such as the corrective
25 action inspection program, a plant modification inspection module, as well as an

1 equipment alignment module. All of those items might touch on the station
2 blackout. Feedback from the regions and from the inspections to date indicates
3 that the component design basis inspections are pinpointing some of the SBO
4 activities that we see in the field.

5 Regarding license renewal activities, the evaluation for renewing
6 license has a specific requirement, and they're 10 CFR 54 for a review of the
7 station blackout aging and components required, the safety systems and
8 structures required for the SBO must be included in their aging management
9 process.

10 Regarding new reactors, now, all new standard, that's a word I
11 used in this slide, standard meaning that's not a passive new reactor, because
12 the second bullet would tell you that's not all plants, but all new standard reactors
13 are required to have an alternate AC power source. It's a diverse source,
14 meaning that it must be different than the installed emergency or standby diesel
15 generators. For new reactors with a passive design, that's an AP1000 has a
16 passive design, its design includes a battery-power coping strategy of up to 72
17 hours.

18 As you're aware, we responded to the September 11, 2001 terrorist
19 attack through a number of initiatives. Initially, we issued interim compensatory
20 measures in an order in February of 2002. Within that order is section B.5.b, and
21 that's, we've heard the term B.5.b, and that's where it comes from. Those interim
22 compensatory measures were inspected at each site, evaluated, and eventually
23 became a license condition for all of our facilities. Just two years ago, in 2009,
24 10 CFR 50.54(hh) was issued to codify those requirements.

25 And the last slide is just a paraphrase of that paragraph in

1 50.54(hh). And these mitigation strategies are for beyond designed basis events
2 that could be beneficial in the context of the station blackout. With that, I'd like to
3 turn it over to Mr. George Wilson to go into more detail.

4 MR. WILSON: Thank you, Pat. Good morning, Chairman,
5 Commissioners. As Pat had stated, the 10 CFR 50.63 rule will also involve
6 alternating current power. It intended each site to have to cope, and the big key
7 here is to recover from the loss of off-site power, and we'll get both a little bit later
8 on in the procedures. Once this rule was issued, the NRC staff met with the
9 industry and several working groups, and they started developing the strategy
10 that the rule would be implemented. So we developed Regulatory Guide 1.155.
11 At the same time, the industry developed a NUMARC guide, it's 87-00, on how
12 they would implement and deal with the rule. The NRC endorsed the NUMARC
13 guidance as a way to implement and comply with the station blackout rule.

14 The real key with the station blackout rule was coping, and coping
15 is defined as the time that it takes to recover either on-site or off-site alternate
16 current power back into the plant. The rule specifically gave guidance on how
17 you would calculate and how you would go about doing the coping of the plant.
18 One of it was the on-site redundancy, the amount of diesel generators that you
19 would have at the site, the reliability of the diesel generators. Their reliability was
20 evaluated by different starting mechanisms; 10, 20, 50, to 100 start times, and
21 then that was evaluated. Also, the expected frequency of the loss of off-site
22 power, whether it would be hurricane-type winds, icing. That was also evaluated.
23 And the probable time needed to restore the off-site power that you would restore
24 based on your experience. All that criteria went into the coping analysis, and to
25 the plant. And that's how it was defined.

1 I want to point out here that we have had several, we have had
2 hurricanes here, and the diesel generator liability is a key here, both at Turkey
3 Point in Hurricane Andrew and at Waterford in Hurricane Katrina, the diesel
4 generators started and ran for multiple days. They never did go into a station
5 blackout based on the reliability of the emergency diesel generators that we have
6 at the American plants.

7 And the coping methods; there's two different coping mechanisms
8 that can be used in U.S. plants. Forty-four of the plants in the U.S. are battery-
9 only, so they can have a maximum coping period of up to four hours. When it
10 was analyzed if the coping period went above four hours, then they had to either
11 do modifications to the plant to reduce the coping time, or they had to install an
12 alternate AC power that would come up. The AC, to be an alternate AC plant,
13 with to do no coping analysis at all, you had to be able to be able to bring the
14 power up within 10 hours, excuse me, 10 minutes, and tie it on to the buses. If it
15 took longer than 10 minutes, then you had to do a combination of having an
16 alternate AC power and a coping analysis that was done for the time that you
17 would bring the plant up.

18 Sixty of the plants in the United States are alternate AC plants.
19 They cope from anywhere from coping analysis of two hours up to 16 hours. The
20 coping -- the alternate AC power sources are either hydro-generators,
21 combustion turbines, gas turbines that they can use. It can be the alternate, it
22 can be an opposite unit's diesel generator, if they have excess capacity.

23 The staff reviewed the SBO rule implementation by writing a safety
24 evaluation for all 104 sites, and, in addition, as Pat had mentioned, we also went
25 out and performed eight inspections with a temporary instruction that was written.

1 We did two units, or two plants, in each region, and there was no major issues
2 identified during the temporary instruction. We did find some of the assumptions
3 in the coping analysis, and those were resolved. And so, based on that and the
4 safety evaluations, the staff had determined that the industry properly
5 implemented the station blackout rule, and they were in compliance with that.

6 Basically, the design overview of the plants with the station
7 blackout is that, as I stated, battery coping was a maximum of four hours. They
8 also evaluated and looked at how you could extend battery life, and I'll get on to
9 that in a little bit in the procedures by shedding loads. You had to evaluate the
10 effects of ventilation. You had to use ventilation, so heat up calculations were
11 done in each room to see what the impacts were. You looked at condensate any
12 way that you could do manual operator actions, bringing in compressed air,
13 minimize RCS inventory leakage. The leakage was based on, one of the key
14 components is that for the reactor coolant pump seals in a pressurized water
15 reactor, you could only assume 25 gallons per minute leakage for a total of 100
16 gallons.

17 And the big key here is, operator training was performed and
18 procedures were written. So not only did they have to write specific procedures
19 on how they were going to deal and cope with a station blackout, but they had to
20 be trained upon it.

21 For the specific SBO procedures, they did specific actions on the
22 restoration of AC power. We, in the United States, were a little bit different,
23 because there's a very close relationship between the grid operators and the
24 nuclear power plants. And one of the things, when we wrote a generic letter, in
25 Generic Letter 2006-02, that had to do with the grid interface with the nuclear

1 power plants, we verified that each one of the nuclear power plants would be the
2 first load that would be restored if the grid was lost. So we went back and made
3 sure that the primary reason is that for the safety of the power plants, but that is
4 the first load that's restored in a grid when it goes down in that area.

5 They also developed procedures to enhance emergency diesel
6 generator troubleshooting, and they looked at additional ways to bring power
7 back on, so you look at additional procedures where you bring an alternate AC
8 power on, and look at different ways you can tie it into the plant. They also
9 ensured that the support equipment would be functional without alternating
10 occurring power. That could be bringing in bottled air, putting in nitrogen air
11 stations in there, looking at what valves would have to be manually operated and
12 associated throttle position of those valves. Protection is done to any of the
13 steam-driven pumps, HPCI, RCIC because that is used to mitigate an action of a
14 station blackout, identify the RCS leakage packs, try to minimize the amount of
15 water, and conserve the inventory of water that you have in the primary.
16 Additionally, you look at past, the procedures actually look at past -- the first
17 primary water source, which would be the Condensate Storage Tank, and
18 looking past that, look how you could get additional water sources into the
19 Condensate Storage Tank to further provide inventory water. Also look at
20 stripping non-essential loads off on the DC, which is looking at taking off DC-
21 powered pumps, or removing the starting-flash circuitry for a diesel generator,
22 because that takes down the battery.

23 Also, you would look at, during the heat-up calculations that you
24 would do in the room, that can cause some actuations to happen. So some of

1 the actions, the procedures would direct, would have operators go out and
2 bypass the isolation for HPCI or RCIC to ensure the steam valves would stay
3 open, you still have the steam supply for the steam-driven pumps. Also, look at
4 the equipment that you would actually use to cool down and shut down the plant,
5 and evaluate what that usage would be. This is -- the procedures got very
6 specific, and they were site specific on exactly how they could cope and deal with
7 a station blackout.

8 Also, in the United States, the grid interface, as I explained earlier --
9 there are agreements between each one of the nuclear power plants and the
10 local grid operators, based on voltage and frequency and the restoration of the
11 plant. In addition, the NRC staff here locally, on Monday through Friday, do a
12 grid report, and we look at what potentials for the grid is. And based on the fact
13 that if the grid is stressed or strained, then sometimes maintenance at the power
14 plants would minimize, to ensure that there's no trips, or minimize the chance
15 that there would be a trip of the plant to maintain the grid reliability. We also
16 have grid-reliability standards in the United States now, that are in full force by
17 the Federal Energy Regulatory Commission, and those grid-reliability standards
18 were written after the Northeast blackout, and they ensured additional reliability
19 and stability in the grid, and additional studies are done on that to ensure that
20 that is one of the reasons that, to try to maintain the stability of the off-site power.
21 In addition, there's a specific grid-reliability standard for the nuclear power plants
22 only, which is Nuclear 001, which specifically goes into voltage and frequency
23 requirements at a nuclear power plant, because those are a lot tighter than
24 normal loads that are on the grid.

1 In summary, in the United States, there has only been one
2 identified case of a station blackout. That was at the Vogtle plant in 1990, and
3 that event lasted for approximately 55 minutes. The plant was in a shutdown
4 during the time, and it was because a truck had backed into one of the other
5 transformers that was being used, caused a ground, and ended up being in a
6 station blackout. The plant was able to restore one of the diesel generators and
7 get power restored, and come out of the blackout. As Pat had stated earlier, we
8 do still evaluate for station blackout compliance, and in the license renewal, we
9 make sure that the recovery paths have an aging-management plan. And once
10 again, that is recovery paths. And power uprates, if a licensee changes
11 something, the staff goes back and ensures that the battery-loading capacity
12 didn't change, which could potentially change your coping. We also look at
13 license amendment requests. As stated earlier, one of the plants is a 16-hour
14 coping plant, and originally it was a four-hour coping plant, but there was some
15 operating experience that had happened at the particular plant out west, and
16 based on that operating experience the staff was aware of, the licensee re-
17 performed a coping analysis, and went from four hours to 16 hours. Which
18 included -- that includes some modifications to ensure that the amount of fuel oil
19 that they would need would be there.

20 And we also interface with FERC and NERC. We meet quarterly
21 with FERC and NERC. If there's any issue at all that happens on the grid,
22 there's a memorandum of agreement and a memorandum of understanding to
23 sign with both agencies, which, if there is issues with the grid up to a certain
24 level, if it does get severe, then our headquarters operations officer is called by

1 NERC, and the electrical branch is contacted to look at it. We also get anything
2 that would cause local problems in the grid, so we're very in tune with the grid in
3 looking at issues, and we would get those back out to the plants as they would
4 get stuff back into us. Now I'm going to pass this on to Eric.

5 MR. BOWMAN: Thank you George. Good morning Chairman,
6 Commissioners. I'm Eric Bowman. I'm the staff lead for the mitigating-strategies
7 requirements that were imposed following the terrorist events of 9/11. As Pat
8 had mentioned, we imposed these requirements through a series of regulatory
9 actions, but for convenience' sake, I'll refer to them generically as the B.5.b
10 requirements. By their terms, the B.5.b requirements are broadly applicable to
11 any events that are related to explosions or fire. Due to the context in which the
12 strategies to meet those requirements were developed, most of the details of the
13 strategies on a site basis are designated for official use only, as security-related
14 information. Although they were developed to address impacts to the plant due
15 to explosions or fire, the result was a set of flexible, deployable strategies to
16 accomplish the key safety functions for the reactor sites that could be useful in a
17 wide variety of circumstances.

18 Throughout the development process for the B.5.b requirements,
19 we met periodically with our international partners to share information on
20 approaches to the problem and improve our response. The B.5.b development
21 process was a deliberate, phased approach. Initially, we started out looking at
22 what could be done with readily available materials or personnel. Then we
23 moved on to see what can be done further to aid in the cooling of the spent fuel
24 in the spent fuel pools, and the final phase of the development process was

1 looking at the core cooling and maintenance of containment. The efforts started
2 out under the lead of the Office of Nuclear Security and Incident Response,
3 ultimately transitioning to the NRR in the lead for operating reactors. We had
4 great support from the regional offices, and analyses that came up from the
5 Office of Research during the effort.

6 As I had mentioned, Phase 1 looked at what could be done with
7 readily available materials and personnel. In large part, the reason for that was
8 because we wanted to see what could be put in place rapidly to address the
9 need, and also the terms of the order itself referred to the use of readily available
10 materials and personnel. Phase 1 comprised a series of inspections,
11 assessments, and analyses, drawing on existing equipment and procedures,
12 best practices the licensees had for their initial responses, and lessons learned
13 that came about from the research analyses. That phase culminated in the
14 Phase 1 guidance document that was produced in February of 2005, describing
15 what our expectations were for the characteristics of the strategies that would
16 meet the requirements of the Interim Compensatory Measures Order. That
17 guidance document is designated safeguards information.

18 High-level overview of what we can speak of publicly about the
19 Phase 1 strategies; they involved coordination of response with off-site
20 responders, improvements to the firefighting capabilities on-site, and what I
21 would term as passive measures, such as configuration of fuel within the spent
22 fuel pools in order to enhance coolability.

23 In Phase 2, we looked further at what could be done to promote
24 spent fuel cooling using measures that didn't rely on readily available materials or

1 personnel. The results of this phase were a set of mitigating strategies that are
2 required for the licensees to be able to provide makeup water, or cooling spray to
3 the fuel, using means that are diverse from the normal methods for makeup
4 water or cooling of the pools. The diversity includes a diversity from the power
5 supplies within the spent fuel pool building, or the building containing the spent
6 fuel pool -- whatever it's called on the site. And a number of the strategies within
7 this group are use of motor forces diverse entirely from on-site power distribution.

8 The Phase 3 looked at what else could be done for core cooling
9 and containment. In that effort, we worked with the industry to identify just what
10 are the key safety functions that would need to be satisfied, based on the design
11 characteristics of the plants. The results here were two sets of mitigating
12 strategies; one that is required of pressurized water reactors, and one that is
13 required of boiling water reactors. For the majority of these strategies, the entry
14 conditions assume a loss of all internal power distribution, both alternating
15 current and direct current, and minimum staffing on-site, so it's slightly more
16 conservative than a station blackout condition.

17 Because of the passive nature of the initial strategies, as well as
18 the entry conditions being more conservative, assuming a loss of all internal
19 power distribution, the B.5.b strategies, if they were used in the event of an
20 extended station blackout, would have the potential to extend the period for
21 which a licensee could supply the key safety functions without on-site power
22 available. Subject to your questions, that concludes my briefing.

23 MR. BORCHARDT: That completes the staff's presentation.

24 CHAIRMAN JACZKO: Thanks, appreciate the insights. We'll start

1 with Commissioner Magwood with questions.

2 COMMISSIONER MAGWOOD: Thank you. Thank you for your
3 presentations today. Very informative. Let me ask sort of a basic question on
4 station blackout, something that I've been looking at in the last several weeks,
5 and I just wanted to sort of hear your thoughts about this. The -- you've talked
6 about the maximum life of the batteries and the coping strategy being four hours.
7 And I wonder if you could describe how the agency dealt with this, came up with
8 a four-hour coping duration, while at the same time, the procedures clearly
9 indicate that this is supposed to be a site-specific analysis where you look at site-
10 specific characteristics of the plant, off-site power resources, and one would think
11 you would have a variety of conclusions after going through that analysis. But
12 yet most of the plants, a vast majority of the plants, have this four-hour coping
13 strategy. Can you reconcile those for me?

14 MR. WILSON: Yeah, the four-hour coping analysis was arrived
15 when the staff worked with the industry, and they looked at how long, roughly, it
16 would take to restore off-site power in various places. The estimate was .9 to
17 two hours, so based on that, the staff doubled the time and said you will cope
18 with a station blackout for four hours. So the industry came up with, it would be
19 .9 to two hours, like I said, and we doubled it to have a safety margin there, to --
20 you'd cope with four hours. We chose four hours based on the size and the
21 capacity of the batteries, so anything longer than that, modifications were made
22 or you brought an additional source on, but that's where the original four hours
23 came from.

24 COMMISSIONER MAGWOOD: What's our actual experience with

1 loss of off-site power, in terms of how long it takes to restore off-site power?

2 MR. WILSON: There is some data that was -- we used a NUREG,
3 6890, that has some data in it, and it would go anywhere from .5 hours to three
4 hours. We're also in, one of the statements that I made is we have constant
5 communications with NERC and FERC, and they have done some studies and
6 done some projections across the country on certain circumstances. How long it
7 would take to restore an off-site power, and we're presently looking at that, and
8 we have that to the quick-look team.

9 COMMISSIONER MAGWOOD: When you're thinking about the
10 restoration of off-site power, it's interesting that having an alternative source of
11 off-site power is one of the options that you look at in mitigating a station
12 blackout. However, when you think about the sorts of events that lead to the loss
13 of off-site power, what is the thinking in terms of, if you lose one source of
14 transmission from one off-site source, why do you think you have a second?
15 What sorts of scenarios would it be useful to have the second, redundant off-site
16 power source if you lost the first one? If you have a hurricane that takes out the
17 transmission lines for one source of off-site power, why would you think there'd
18 be a second?

19 MR. WILSON: I would go ahead and say you're not asking a
20 question with alternate AC source, or are you asking a question about the
21 redundancy of off-site power?

22 COMMISSIONER MAGWOOD: Yes.

23 MR. WILSON: Well, the more off-site power lines that you have,
24 unless you would have a common cause failure that would wipe out a switchyard,

1 the more lines that would come in and you have a more redundant off-site power,
2 then that would give you more capability to mitigate an accident. You would want
3 an alternate AC source, the staff would like to have an alternate AC source,
4 because the capacity of an alternate AC source is above that of the battery, so
5 there's more margin if I have an alternate AC source. There's no requirement, as
6 you had mentioned, to protect that alternate AC source from events. I mean,
7 from environmental effects. There's no requirement. We have, Appendix A,
8 GDC-2, that affects safety-related stuff from environmental effects, but those
9 requirements are not for the alternate AC source, so it is not a safety-related
10 source as robust as the emergency diesel generators, but it does have a longer
11 capacity and capability. That's the reason we'd want it, but there's no
12 requirement as such to have an underground cable which would protect it from,
13 like, high winds. There's no requirement that we have for that.

14 COMMISSIONER MAGWOOD: But you mentioned that the
15 procedures that have been developed for station blackouts -- how much work
16 has been done to reconcile, or I guess to merge the station blackout procedures
17 with the severe-accident management guidelines? How much coordination is
18 there between those two?

19 MR. WILSON: Well, the station blackout is an abnormal operating
20 procedure. The SAMGs are above anything that you would have, so they're way
21 beyond what a station blackout. The basis of the SAMGs, when you go through
22 them, is you would have power to do certain things, to get water back or to
23 minimize the release path. So as far as I know, they're not in tune, they don't go
24 from one to the other. The station blackout specifically tries to restore power, but

1 as far as I know, and -- Donny, can you add anything?

2 MR. HARRISON: You got it.

3 MR. WILSON: But they're not in tune where one feeds into the
4 other. They're used for a different purpose.

5 COMMISSIONER MAGWOOD: So you never assumed that in the
6 case of a severe accident, that you lost offside power? Is that what you're
7 saying?

8 CHAIRMAN JACZKO: Donny, do you want to maybe go up to the
9 mic?

10 MR. HARRISON: I'm Donny Harrison from NRR. The answer to
11 your question would be no. If you're into the SAMGs, you're into an event that's
12 gone beyond your normal emergency procedures and your abnormal
13 procedures, but what you might be in is going through the SAMG guidelines
14 looking for water sources, for containment flooding, and that type of thing. But at
15 the same time, you may have your station-blackout procedures open also, and
16 you're trying to recover AC power. You might be doing the coping strategies of
17 taking loads off your batteries so you can prolong their life. So you may be
18 actually in both at the same time. That's kind of what would probably happen.

19 COMMISSIONER MAGWOOD: I mean, I've looked at some of the
20 SAMGs. I haven't looked at all of them. I've looked at some examples of
21 SAMGs for specific plants. You might want to stick around for this. And I'm just
22 curious as to what -- most of the SAMGs, as I read them, seem to anticipate that
23 you do have power

24 MR. HARRISON: Well for most things, you need water and you

1 need to pump it, so implicit in that, you're going to need some type of power
2 supply or steam, if you can run a RCIC pump off the steam and have DC power
3 for the control of the pump. So the SAMGs basically are geared towards a list of
4 water supplies for containment flooding. Some of them need AC power, some of
5 them probably need DC power for control. Again, then you get into the strategy
6 of, "Can I prolong the battery life so I can control the RCIC pump?" if that's what
7 you're using to provide water to the core. So it's a mix, and the SAMGs are
8 guidelines. They're not procedural for specific events. So what it is is a list,
9 oftentimes, and so you'll get into that and you'll start going through the list saying,
10 "What is available? What isn't available?" and you'll get down to what you've got.

11 COMMISSIONER MAGWOOD: All right, I think I'll leave it at that
12 for now. Let me ask just sort of a broad question. This is something that
13 actually, Eric, Leeds and I have talked about a little bit already. Which is, what
14 are the options if one were to have the desire to have a longer coping time? A
15 longer coping duration? What technical options immediately present themselves
16 in your mind to increase the duration?

17 MR. WILSON: Well, the way you would have to -- right now, we
18 don't know about the batteries. You could potentially have a higher-capacity
19 battery would be one way, but even with an alternate AC source, you have to
20 have everything on-site. Like the one plant that has a 16-hour coping analysis.
21 That means their alternate AC source has enough fuel capacity. It's already
22 there that it will run for 16 hours, and they need to get off-site power back within
23 16 hours because that is all the capacity that's there unless they're going to
24 mitigate and bring additional fuel oil and stuff on for the source. So to go beyond

1 a four-hour capacity, I think you would have to have an alternate AC source and
2 you would have to have the capability of those -- well you'd have to have
3 everything there for it to run if you wanted to cope with something for longer than
4 four hours, or change the battery out to a higher-capacity battery that could
5 handle a larger discharge.

6 Another option would be to potentially bring in a battery charger
7 that you could bring in, with a power supply to recharge the batteries and
8 maintain that capacity. That would be something that would -- you wouldn't have
9 to change your batteries. That would be, just bring another battery charger,
10 charge the batteries, and you could extend the capacity of those batteries that
11 you have on-site now.

12 COMMISSIONER MAGWOOD: And I understand there are a small
13 number of licensees that are doing something along those lines now, is that
14 correct?

15 MR. WILSON: Yes, there is one licensee that I'm aware of that has
16 brought a temporary battery charger in, they have it in their procedures that they
17 would charge, and increase the capacity of that battery. And that is one of the
18 coastal plants in the United States that a hurricane could actually affect.

19 COMMISSIONER MAGWOOD: Thank you very much. Thank you,
20 Chairman.

21 CHAIRMAN JACZKO: Commissioner Ostendorff?

22 COMMISSIONER OSTENDORFF: Thank you Mr. Chairman.
23 Thank you all for being here today. I wanted to maybe start out with Pat, I guess
24 it's a question for you and perhaps George. Just a big picture, looking at what

1 the NRC does via regions, resident-inspector programs, to assess the readiness
2 of a specific plant to deal with a station blackout. I understand there was a one-
3 time inspection done back in the '80s that is part of, also, license-renewal
4 application process. Are there any other looks that the NRC takes via its resident
5 inspectors or by other mechanisms, to provide an NRC perspective on the
6 licensee's readiness to deal with the station blackout conditions?

7 MR. WILSON: Pat, I'll take this one if you don't mind. Actually,
8 after Generic Letter 2006-02, we have written some procedures. We used to go
9 out and do a temporary instruction that looked at the worst grid conditions, so
10 whether that would be -- mostly in the summer, where the grid would be
11 stressed. So we used to have a temporary instruction that would go out and look
12 at summer readiness, to make sure that the plant was ready for the extreme grid
13 conditions that could happen in the summer. We changed -- actually went in and
14 changed one of the procedures. The adverse weather procedure actually looks
15 at summer readiness for the plant, on a grid-type basis. Not specifically for
16 station blackout, but it looks at -- are the diesels ready, or are they monitoring the
17 grid? So specifically looks at that -- not looking at non-compliance with station
18 blackout, but looks at because the grid's stressed during those conditions. And
19 that's something the resident inspectors do.

20 COMMISSIONER OSTENDORFF: Anything there, Pat?

21 MR. HILAND: I'd like to add something, just a minor comment. My
22 first 10 years in the Commission, I was a resident inspector at three different
23 power plants. PWR and two boiling-water reactors. And the job of the resident
24 inspector is to be aware of the plant conditions every day. He goes into the

1 plant, he hears what the plant modifications are, what the design changes are, he
2 understands the need for the alternate AC sources on-site, both the standard
3 diesel or in Oconee's case, the hydro plant, as well as what's there for the station
4 blackout. And so you rely on that daily presence, five days a week or actually
5 seven days a week, of the resident inspector. So I would add that only, just
6 emphasize.

7 COMMISSIONER OSTENDORFF: Let me just kind of maybe add
8 another question on to that, that is related to this precise query. And that is --
9 and Commissioner Magwood was asking questions about the four-hour battery
10 time and so forth, as one component of the coping strategies for a specific plant.
11 Can you talk a little bit -- I guess George, about -- is the coping strategy a
12 dynamic, evolving, living piece? Or is it static? Can you talk a little bit about how
13 that might be updated as conditions at the plant, or in that particular part of the
14 grid, may change?

15 MR. WILSON: The coping analysis that was done was a one-time
16 snapshot that the licensees had to look at their coping analysis. We do evaluate,
17 as I stated, in some of the license amendments like power uprate, if the battery
18 capacity would be affected if they were changing and adding DC loads, and we'd
19 go back and look at that. And as in the case of the one unit, due to operating
20 experience, we challenged them and they went back and redid their calculation,
21 ended up being a 16-hour coping plant. There has been several findings on
22 station blackout. They look at the assumptions. So it is -- there are issues that
23 are identified in different inspection procedures, but we do not go back and
24 reevaluate the full-blown assumptions and calculations that a licensee does.

1 MR. BORCHARDT: I think that's -- the key is that the regional
2 inspections that are done, as well as the resident inspectors, will look at every
3 design change that's made at the plant, or nearly every, and then they'll look at
4 50.59 evaluations to make sure that all the proper considerations were taken into
5 account. One of those would be loading on diesels, and if you change the load
6 of the diesel, or you change the load on a battery, those would all be evaluated
7 and would likely lead to an issue, perhaps, with station blackout. We don't do
8 station blackout reviews per se, but there's many, many ways that you would get
9 to a station-blackout issue just in the normal course of our oversight activities.

10 COMMISSIONER OSTENDORFF: Okay, thank you. Let me go
11 back to a comment that George had mentioned in his briefing, and that was, we
12 do have experience with hurricanes, and the Chairman mentioned the tornadoes
13 we've had just in the last 24 hours, and certainly we had a tornado here in the
14 last couple weeks down in southern Virginia that impacted a switchyard at a
15 nuclear power plant. From the hurricane experience, or tornadoes, is there any
16 big area of query that you think the NRC needs to look at, or feel pretty
17 comfortable that our exiting processes adequately assess the impact of these
18 weather-related events on off-site power availability?

19 MR. WILSON: Well, I know one of the things that the staff has
20 done, to give you an example to add defense and depth, when industry and
21 utilities have come in and asked for an extension, an AOT extension, a lot of
22 outage time on some sort of power source, either being a diesel generator or
23 transformer or one of the lines, one of the things that the staff requires is the
24 replacement of that power source with some sort of other power source. Not

1 safety related, but they bring in temporary diesel generators, and with that, the
2 temporary diesel generators, what we have seen is that there are temporary
3 diesel generators, so if something would happen, you could easily get one of the
4 temporary diesel generators, and they got them at Waterford during Hurricane
5 Katrina, they had the temporary diesel generators brought on-site. They had
6 them in case they did lose off-site power, or they had a problem with the other
7 diesels, and they had that temporary diesel there. So that we know that they do
8 have that capability to do it, and they also line up fuel sources, I think, based on
9 some discussions -- and one of my staff members, actually out in Waterford
10 during Katrina, the roads were blocked, they had no other way, so they were
11 starting to bring fuel oil through with a barge. So we have had lessons learned
12 from the hurricanes that not only do they have extra power sources that they can
13 get, but also, you have to think outside the box, to look to see how you're going
14 to get the fuel oil there if the roads were blocked. So that is stuff that we've got
15 lessons learned, and it has seemed to work. At Turkey Point, they ran the
16 diesels for a couple weeks, so it seems to work.

17 MR. HILAND: Yeah, let me just add -- and Turkey Point's a good
18 example, where hurricanes are something that you see on the weather map,
19 approaching you. And there are procedures at the site, and they initiated it at
20 Turkey Point. They shut the plant down before the hurricane got there. They
21 started up the diesels, and essentially, they were well prepared for that event.
22 So there is a process, versus a tornado is unknown. That tornado, you get
23 about, at luck, 15, 30 minutes of warning, for a tornado warning, to react. But for
24 hurricanes, we have procedures in place. Our regional office goes into a standby

1 mode in the response center. The resident inspectors for Hurricane Andrew
2 were on-site throughout the entire event, and so there are some preparatory
3 work that you can do for a hurricane.

4 COMMISSIONER OSTENDORFF: Thank you. Eric, I'd like to turn
5 to you for a minute here on B.5.b. And again, thank you for your presentation,
6 and I recognize that there are limitations as to what you might be able to address
7 in this session, but let me just ask this question. Can you talk in general terms as
8 to what the NRC does to inspect the ability of the licensee to carry out B.5.b-type
9 actions, as far as equipment reliability, testing that equipment, operator training,
10 et cetera?

11 MR. BOWMAN: That's examined on a triennial basis, as part of the
12 triennial fire protection inspection. We added the B.5.b requirements and the
13 strategies that meet them as an inspectable area there, January 1 of 2010. So
14 they look at -- so they look at the capabilities of the equipment to be used to meet
15 the strategies, the maintenance on the equipment, and the training of the
16 personnel.

17 COMMISSIONER OSTENDORFF: So we have a little bit over a
18 year experience with that. Is that what we -- you said January 1, 2010? Any big
19 "ah-ha" kind of lessons learned from that level one year experience so far?

20 MR. BOWMAN: If I could defer that to the closed session, I'd
21 prefer.

22 COMMISSIONER OSTENDORFF: Thank you. Thank you, Mr.
23 Chairman.

24 MR. BORCHARDT: Commissioner, I would also just acknowledge

1 that the industry has done a review of that equipment, of their own. They've
2 identified some issues that are being resolved. Some of them are being informed
3 by the uniqueness of what happened in Japan, as to where equipment is stored,
4 for example. It was looked at differently now, given the tsunami kind of flooding
5 issues, than we might have looked at it previously.

6 COMMISSIONER OSTENDORFF: Thank you.

7 CHAIRMAN JACZKO: If I could just clarify, the tri-annual is not the
8 first inspections we've done at B.5.b. We did, following implementation of B.5.b
9 we did a temporary instruction, as I recall, to inspect all the B.5.b implementation.

10 MR. BOWMAN: That's correct, sir. There were, I believe, four or
11 five temporary inspections that were conducted along the development process.
12 In 2008, we did a final verification that everything was in place. Then we
13 transitioned to monitoring it through the reactor oversight process and the tri-
14 annual fire protection inspection, and --

15 CHAIRMAN JACZKO: Okay. So that, I just wanted to clarify.

16 MR. BOWMAN: That's correct.

17 COMMISSIONER OSTENDORFF: Thanks for the clarification.

18 MR. BOWMAN: Sure.

19 COMMISSIONER OSTENDORFF: Thanks, Chairman.

20 CHAIRMAN JACZKO: Commissioner Svinicki?

21 COMMISSIONER SVINICKI: Thank you all for your presentations.
22 My colleagues have touched on some topics I might have addressed. They
23 might not have posed the questions in the exact same way, so I apologize if I'm
24 covering any of the same ground a little bit.

1 At a very high level, Bill, you talked about the fact, you gave a
2 status report on what's happening in Japan, and you talked a little bit about our
3 90 day and our longer term review. As long as our colleagues in Japan are
4 focused, as they are now, very immediately and deeply still on mitigation, dealing
5 with the circumstances on the ground there, they're obviously appropriately
6 focused on that and not focused, right now, in being able to look at detailed
7 chronologies of events, or lessons learned, or things like that. And yet, we have
8 underway this near term review.

9 And so, my thought turns on station blackout to a question that I still
10 want to ask you, because we do know quite a bit, and we have a presence in
11 Japan, and we've been learning a lot about the events. I would ask any of you if
12 you want to respond: based on what you know today, is there anything about the
13 events that occurred in Japan, with relation to station blackout, that cause you to
14 immediately identify areas in our regulations that you would assess today are
15 potentially inadequate, based on what you know right now?

16 MR. BORCHARDT: Right after the event, and every day since, we
17 ask ourselves whether or not there's some regulatory action we need to take to
18 assure the protection for the 104 plants in this country. And to date, we have not
19 identified anything that requires immediate action. That doesn't mean we won't
20 identify some things that we want to raise to the Commission for future
21 consideration. Station blackout rule oversight might be one of those.

22 But the short term task force is looking at station blackout. I believe
23 they'll address it to some degree. I think it'll, if I were to guess, would guess that
24 will also be an element of the longer term review, as we gain more and more
25 information about the existence or the conditions of switch gear inside of the

1 plants in Japan, which we really have no idea of the condition of that equipment.

2 COMMISSIONER SVINICKI: And I think, somewhat, my question
3 is rooted in a comment, that I believe you made representing the U.S., and you
4 were also, I think, Vice President, the Convention on Nuclear Safety, a really
5 important international meeting on national nuclear safety cooperation
6 internationally. But I think you indicated in your remarks there that we may be
7 learning about this event even a decade from now.

8 So is it accurate to say that, for our 90 day review and also the
9 longer term, that we will, by, perhaps, the end of the year, we'll be looking at
10 issuing some further recommendations if appropriate? It will still be challenging
11 to have good fidelity and solid knowledge of all of the events that occurred over
12 in Japan. Is it true that the team that's doing the 90 day review and our longer
13 term review, they're going to struggle with that issue?

14 MR. BORCHARDT: Clearly. I mean, and their charter
15 acknowledged that they're to use whatever information they have available today.
16 Because we didn't want to wait until we had all of the information; who knows
17 how long that would be? So we didn't want to delay in doing what was
18 appropriate and prudent to do now, or in the near term. And so they will identify
19 many holes in our knowledge that, hopefully, many of those will be filled during
20 the time period of the longer term review. But it's not outside the realm of
21 possibility that it'll be years before we know the full condition of, you know, the
22 inside of the core, and various pieces of equipment that are currently in very high
23 radiation areas.

24 COMMISSIONER SVINICKI: And this may sound simple, but
25 sometimes things are more complicated than we think. Do we have a good

1 ability right now to do a comparison between our requirements on station
2 blackout and Japan's requirements on station blackout? That sounds very
3 simple, like, as long as we can translate it, why don't we have the ability to just
4 lay those side by side? Is that more complicated than we think?

5 MR. BORCHARDT: I don't know, you know, and I don't know how
6 much of the short term task force, they've looked into that. But you're right, it
7 sounds like it'd be pretty simple, it's something you could do through a web
8 search even. But I don't really know, if Artie or -- where's Artie?

9 CHAIRMAN JACZKO: Right behind you.

10 MR. BORCHARDT: Yeah. We'll have to get back to you.

11 COMMISSIONER SVINICKI: Okay, but that is something that it
12 would be your understanding that, for the 90 day review, they'll at least try to
13 access whatever they can in terms of comparability, and that would inform
14 whatever it is the 90 day review would put forward?

15 MR. BORCHARDT: I think that sounds reasonable.

16 COMMISSIONER SVINICKI: Okay.

17 MR. BORCHARDT: they're not doing it now, they will be later
18 today.

19 [laughter]

20 CHAIRMAN JACZKO: Let's make sure that they have their, you
21 know, that that's a task, that they can complete in the appropriate way, then
22 they'll do that.

23 COMMISSIONER SVINICKI: And then I would characterize some
24 of my colleagues' questions, based on the presentations you gave, they have to
25 do with something I think the NRC has been questioned about since this event

1 occurred, and it is: how frequently do we challenge and reassess underlying
2 assumptions that we've made in developing the regulations we have in place?
3 So, George, you talked quite a bit today about looking at any time a licensee
4 might propose a change on-site, we will look at the evaluation they did to comply
5 with station blackout. We'll see if there's any effect there, and we would
6 challenge that.

7 But I think that some of the questions that I think NRC has been
8 asked have to do with: do we look at our assumptions about broader external
9 conditions? And George, you've mentioned working with the Federal Energy
10 Regulatory Commission on grid reliability, grid status, the North American
11 Electric Reliability Corporation. We have important relationships there where we
12 reassess that. But, of course, that's very dynamic, as the nation looks at maybe
13 having more renewable energy, the grid may look different in the future.
14 Can you characterize our overall engagement on really having access to the best
15 information about external things like grid reliability, so that we can constantly be
16 informing whether our regulatory assumptions that we've made in the past are
17 adequate?

18 MR. WILSON: We -- as I had stated, we meet quarterly with both
19 NERC and FERC. And if anything comes up, we're aware of it. We actually are
20 noticed and given information if they're going to change any of their reliability
21 standards. We have commented on the reliability standards to ensure that the
22 safety of the nuclear power plants are maintained. I feel very confident about the
23 status of the grids.

24 When they do new reports, we know that they are doing new
25 research reports, such as there's three reports out right now that we're looking at,

1 based on the frequency response of the grid and the interconnection. We do
2 have, joint Commission meetings with the Federal Energy Regulatory
3 Commission and we also invite NERC. We have contacts with the Department of
4 Energy on their grid sector, their energy sector, to evaluate that.
5 So, as things do change, we do re-look at that. And to see if we do have to
6 evaluate the grid assumptions and the staff has been looking very hard at this for
7 the last three years, specifically with stuff that changes in the grid, and to see
8 how the renewable sources such as, specifically, wind, and how that's taken,
9 because it potentially affects the reliability. And there has been an incident
10 where the wind just stopped blowing and there was 1100 megawatts that was
11 lost in ERCOT, which is the Texas grid. So I feel very confident, we know the
12 status of it and are evaluating that.

13 COMMISSIONER SVINICKI: And you mentioned, in response to a
14 question from Commissioner Ostendorff, that our site-by-site evaluation of the
15 compliance with station blackout was a bit of a one-time snapshot. Based on the
16 answer you just gave me, do you have all of the authorities that you need, if you
17 did need to change an underlying assumption that was external to the plant
18 conditions itself, having to do with a grid or something else? Do you feel
19 confident that you have the authority to compel that licensees have to take that
20 changed circumstance into account?

21 MR. WILSON: Yeah, I think that we have the process that we do
22 look at it potentially as plant-specific backfit, or if we thought there was a broad
23 look at potential rulemaking, and route that through the process. So I would think
24 that process is in place to do that.

25 COMMISSIONER SVINICKI: Okay. And my last question is -- I'll

1 rope in Pat, because I think this is a little bit of a put you on the spot question, but
2 for George and Pat: we've talked a lot about four hour batteries. We talked a
3 little bit about eight hour batteries. But, you know, you're probably, like many of
4 us, since this event occurs, there's been a lot of discussion about four hour
5 battery life.

6 And I don't know if, perhaps, at a family event, or a barbeque, or
7 anything, maybe some member of your family might come up to you and say,
8 "Well, you know, we have natural events that can occur, like hurricanes: those
9 can be multi-day events. What is the basis for having four hours?" Just to a lay
10 person, when they come to you and say, "Is it really only four hours that nuclear
11 power plants have to cope with some sort of event of a long duration?" What do
12 you say to -- if you were talking to a family member, what would you say to that?

13 MR. HILAND: Yeah, I'll start. First of all, the, I would talk to the
14 family member and say, "That's the maximum that we allow reliance on a
15 battery." We have a high expectation that you restore either off-site power or one
16 of your emergency diesels, or an alternate AC power source. It doesn't mean
17 that the battery -- as you heard, we have an example of a plant that has a small
18 generator; maybe they bought it at Home Depot. And they bring it in, they
19 charge the battery, or recharge the battery.

20 That means you can extend the life of the battery, but the four hour
21 coping time is the maximum we allow. That's not to say the batteries can't last
22 longer than that. I don't have the details of all the batteries at the plants, but
23 they're tested periodically to assure that they're in a high state of readiness.
24 That's how I would answer that question.

25 Our experience is the reliability of our emergency diesels is very

1 high. Very high reliability, and it's very -- demonstrated very promptly to restore
2 emergency diesel that either didn't start the first time, there's a problem with it,
3 the mechanics are on-site, the operators know how to operate the controls of the
4 diesel. So we have some high level of confidence that, within four hours, they'll
5 get either off-site power back, of course that doesn't happen if you have a
6 hurricane, or they'll get the emergency diesels back on line. That's my answer.
7 George?

8 MR. WILSON: Yeah. What I would add is, because I've been
9 asked this question. I commute two hours each way and I get asked this
10 question a lot, recently. And how I've answered is that we've only had one
11 station blackout in the United States. Our diesels are very reliable, and they
12 restored that power within 55 minutes. I also explain that we have redundant
13 power supplies. So you have to have something to take out multiple sources of
14 power. And once I explain that, I've, usually they stop, or I run overboard --
15 [laughter]

16 COMMISSIONER SVINICKI: All right, thank you. Thank you all
17 very much. Thank you.

18 CHAIRMAN JACZKO: Commissioner Apostolakis.

19 COMMISSIONER APOSTOLAKIS: Thank you, Mr. Chairman. I
20 guess most of my questions have been asked, but I, we've been talking about
21 assumptions and so on. It seems to me, two of the assumptions that we have
22 been making regarding station blackout now have to be questioned in light of
23 what has happened in Japan.

24 One is the time that we consider when we try to manage station
25 blackout. I mean, we talk about four hours, eight hours, some PRAs go to 24

1 hours. But as far as I know, there are no studies that go to weeks. And that's the
2 first assumption. The second assumption is that there may be major
3 infrastructure damage. So when you, Mr. Wilson, talk about diesel reliability, I
4 assume you are talking about under conditions that are not as severe as what we
5 have seen in Japan. So are these the two assumptions that we have to revisit
6 now, in light of Japan? The time and the state of the infrastructure?

7 MR. BORCHARDT: Well, in my view, clearly the state of the
8 infrastructure is very important. I mean, it's for station blackout, it's for
9 emergency preparedness, it really cuts across the entire spectrum of plant
10 response to an event. We practice emergency response activities assuming that
11 there is the infrastructure surrounding the plant. So there's clearly a good lesson
12 learned.

13 Regarding the duration of the time, I think there is something, we
14 certainly need to evaluate. But I do believe that our regulatory processes and
15 requirements, even though they might, you know, they talk about four hours for
16 the batteries. We, as Pat and George mentioned, have requirements for
17 reliability of the diesel generators, for tech specs, times for how long they can be
18 out of service, and all of those requirements, and fuel storage tanks
19 requirements, that assume that it's going to be a longer duration event than just
20 four hours, certainly.

21 COMMISSIONER APOSTOLAKIS: But certainly not weeks,
22 though. I don't know of any study that went out that far.

23 MR. BORCHARDT: No, but I think that there are, there are plant
24 procedures and protocols in place to get the tanks refilled for diesel generators. I
25 mean, diesel generators are an incredibly important system for plant response.

1 And there are -- every plant that I'm aware of has arrangements to have their
2 facilities, their tanks refilled, in the event that they need to go on long term
3 operation of the diesel generators. When we had the northeast blackout a
4 number of years ago, there were some plants that had, off-site power was out,
5 for a time period, and all those preparations were put into play in order to go,
6 assume that we would have long term loss of transmission capability.

7 COMMISSIONER APOSTOLAKIS: Now, I have a question
8 regarding the temporary instruction. I'm trying to understand what exactly the
9 inspectors did that led you to the conclusion that there are no issues. Did they
10 go in there and look at whether our regulations and the commitments of the
11 licensee are met? Or did they go beyond that and they looked at, you know,
12 what if we have a major external event, natural phenomenon, what's going to
13 happen? Are you prepared to cope with it? Is that something that the task force
14 will look into and the inspectors just looked at the current commitments and
15 made sure that they are, in fact, satisfied? And then, of course, the conclusion
16 that there are no issues probably makes sense.

17 MR. BORCHARDT: In general, we want to give our inspectors
18 guidance to go out and inspect against existing requirements. They may identify
19 topics and ideas that go beyond the design basis or beyond the regulatory
20 requirements. We were certainly becoming aware of some of those ideas, but as
21 a general rule, we inspect against existing requirements. The task force would
22 be the proper vehicle to say, okay, that's fine, but do we need to revisit what the
23 regulatory requirement is? Does it need to go further than the current construct
24 does?

25 COMMISSIONER APOSTOLAKIS: The B.5.b equipment. I don't

1 know if it's appropriate to ask the question now, but did you consider major
2 catastrophe and what it could do to the B.5.b equipment?

3 MR. BOWMAN: The B.5.b was the response to an event that
4 involved explosions and fire, so that was generally the focus of what was looked
5 at in developing the mitigating strategies that would meet the requirements. We
6 can discuss it further in the closed session. I think that would probably be
7 appropriate.

8 COMMISSIONER APOSTOLAKIS: Commissioner Magwood
9 mentioned earlier that what will happen at a particular site is, of course, site-
10 specific. And I'm wondering whether we have site-specific accident sequences
11 and somebody, the licensee, or us, or both, are looking at these sequences and
12 make sure that the regulatory requirements we have, or the commitment of the
13 licensee, since it's beyond design basis, are actually consistent with the site-
14 specific nature of these events.

15 And one example, for example, we -- one example, for example,
16 okay. When we assume that the operators will actually do something, are we
17 considering the possibility they won't do it? Or that they would do the right thing,
18 or the wrong thing? You know where I'm going with this. Are you using PRA at
19 all, when you're doing these evaluations?

20 MR. HARRISON: I think, in a general sense, if you go back to the
21 IPEs and IPEEEs, there was considerations that would be PRA-oriented analysis
22 to address some of this. The IPE and IPEEE were used to close out a number of
23 the safety issues that were, in the mid-80s, related to various capabilities. So
24 those were reviewed in that context. Now, we also have SPAR models, and
25 licensees have internal event PRA models that they have. And again, that

1 should inform their SAMG's as to, like, if you need a diesel generator or fire pump
2 capability, if you have that capability, you can put that in your plant-specific PRA
3 and show that you could mitigate some severe accidents using that.

4 COMMISSIONER APOSTOLAKIS: So some of it is done.

5 MR. HARRISON: Some of it is there.

6 COMMISSIONER APOSTOLAKIS: Okay. Thank you, Mr.
7 Chairman.

8 CHAIRMAN JACZKO: Okay, I'll go back to Commissioner
9 Svinicki's question about the family picnic, or whatever, wherever it was. One of
10 the things I'm having trouble reconciling, I think Commissioner Magwood raised
11 this point too, is the four hour, the four hour time, the coping time, and I think,
12 Pat, you did a nice job explaining that's the maximum time that we would allow
13 before we would expect off-site power to be restored. Where I'm having a hard
14 time reconciling that is we have lots of examples where it takes longer than four
15 hours to restore off-site power. So there seems to be an inconsistency with that
16 assumption, and I think, George, you said the same thing: that our data says that
17 restoration takes about three hours. So I'm not sure if that, if that includes some
18 run time for the diesels and then four hours, or if that is four hours with, say, an
19 immediate loss of off-site power and an immediate inability of the diesels to
20 operate. How do you reconcile those two issues?

21 MR. WILSON: Well, the four hours is based on losing all alternate
22 current power. So that's the losing the diesels and losing off-site power. As to
23 diesels are running and you have your power supply --

24 CHAIRMAN JACZKO: Right.

25 MR. WILSON: -- and that's what we've seen here, in the U.S., the

1 diesels have ran. We've only had that one event. But the four hours, like I said,
2 is, that's just based on having no power and just doing, only coping on the
3 batteries by itself. If you have -- if you can do a combination, then you do an
4 analysis. You do a coping period that, if you think your batteries, you're going to
5 need your batteries for two hours, you would do a coping analysis that says, I
6 can handle just on the batteries for two hours, then I have my alternate AC power
7 come on, and then I do an analysis on how long I would think that alternate AC
8 power needs to run before I would restore the power. That's how they're all
9 combined. So the four hours is the, what I would consider to be the worst-case
10 scenario, where I have nothing, I'm just on my batteries. And, like I said, there
11 are processes that --

12 CHAIRMAN JACZKO: And I appreciate that. The point, though, is
13 that, clearly, if we get into a situation which is the situation we have in Japan,
14 which is, where you lose the diesels, it takes more than four hours, in some
15 cases, to get off-site power restored. In the hurricane situation, you know,
16 Turkey Point, you said the diesels were running for days? I'm interpreting that to
17 mean that it was days before off-site power was restored. I mean, I think, from
18 Browns Ferry last night, they still have not restored, maybe they have one line,
19 not fully restored, but they have one line, so that they seem to be okay, there. So
20 --

21 MR. HILAND: [inaudible] emergency diesels there.

22 CHAIRMAN JACZKO: And, again, and in that case, the diesels are
23 running. But, of course, the station blackout is the rule for when the diesels
24 aren't running, is not the rule for when the diesels are running. It's intended to be
25 that situation in which they don't, they don't run, for whatever reason. So, again,

1 that's why I think, from a risk perspective, we don't believe it's a significant event.
2 But four hours doesn't seem to be a reasonable time to restore off-site power if
3 you've, if you've lost the diesels immediately. So I'm not sure where we have the
4 data that supports that right now. I mean, unless I'm, I mean, tell me if I'm wrong,
5 I guess it's what I'm trying to ask. Am I wrong about hurricanes? Did it only take
6 four hours to restore site power and they just didn't --

7 MR. HILAND: No, you're correct. You're correct. But the four
8 hours, as George described, came from an analysis that what was the ability to
9 restore off-site power, and what was the ability to restore, how reliable were the
10 emergency diesels. Now, they came up with two hours. And we said, okay, two
11 hours is the average at the time. We're not going to allow anyone to give an
12 analysis greater than four hours, with that expectation.

13 And you're right. In the hurricane situation, the reason the plants
14 have, you know, preemptive procedures, when they see a hurricane approach,
15 they shut the plant, they turn on their emergency diesels, and that's, they
16 anticipate the loss of the off-site power. You know, the four hours is, you want to
17 restore either off-site or an emergency diesel. And we, we may confuse
18 emergency diesel with alternate AC power. And alternate AC means your
19 emergency diesels are out of service, as some, some mechanical problem or
20 common mode, and you have this alternate AC. And there's a number of plants
21 that chose that path. The alternate AC, and the reason for the time frames, is
22 how much fuel do you have on-site for this alternate AC, whatever the gas
23 turbine, how much gas do you have available to run it? And you know, typically -
24 -

25 CHAIRMAN JACZKO: Those alternate ACs are not seismically

1 qualified.

2 MR. WILSON: That's correct, they're not.

3 MR. HILAND: Right, that's correct.

4 CHAIRMAN JACZKO: So they're not intended to necessarily
5 survive --

6 MR. HILAND: That's correct.

7 CHAIRMAN JACZKO: -- some of those type of events.

8 MR. HILAND: Right.

9 CHAIRMAN JACZKO: Well, I appreciate that and as I said, I'm just
10 trying to understand the, you know, kind of the basis. And, again, just to
11 reiterate, it's not, the diesel reliability is very high, and I was just looking back at
12 the statement's consideration for the original ruling, even, I think, in the time from
13 the 80s to the time in which the rule was ultimately implemented, there were
14 improvements in diesel generator reliability. I assume that those improvements
15 have only enhanced over time, to today. So the likelihood of a station blackout is
16 very low, but in the event that there is a station blackout, that's externally driven,
17 I'm not convinced that, in that situation, four hours is a reasonable time to restore
18 off-site power. And that may be something that we want to look up a little bit
19 more.

20 There's been, I think, a lot of good questions about the coping
21 analysis and the living nature of that coping analysis. I understand that the staff
22 has looked at this issue in the past, and one of the, I think one of the options that
23 was considered, given that the rule doesn't appear to allow, directly, the agency
24 to require an update, that coping analysis, one of the issues that was presented
25 was the possibility of a generic letter. I don't know if you have any information on

1 the status of that. Is that something the staff is pursuing, or are they no longer
2 pursuing a generic letter to update coping analyses?

3 MR. WILSON: Actually, we were, we have evaluated looking,
4 looking into going to the rulemaking as what we have looked at. So that is
5 something that the staff is still looking, and we'll pass the data that we have on to
6 the 30 day look team --

7 CHAIRMAN JACZKO: Okay.

8 MR. WILSON: We do have, we do have some data that we've
9 done and that data will be passed on to the, to the look team. And I was not
10 aware of a generic letter. We were looking at a lot of data that we had received,
11 both from FERC and NERC, and some of the NUREG studies, and looking to
12 see whether or not we had to go after rulemaking and --

13 CHAIRMAN JACZKO: Okay.

14 MR. WILSON: -- enhance the station blackout rule itself.

15 CHAIRMAN JACZKO: So that is, that is effectively ongoing at this
16 point, although not at a, maybe not gotten to a --

17 MR. WILSON: Yes, we're still, we're still accumulating data.

18 CHAIRMAN JACZKO: Okay. Good. Thanks. To what, and we've
19 talked a little bit about, kind of from the external perspective, what the station
20 blackout does, but I wanted to explore just an issue of, obviously, a significant
21 consideration that we've seen from Japan is the impact on spent fuel pools. And
22 to what extent are the spent fuel pools and the limited power needs that they may
23 have included in the station blackout considerations. Is that a piece of it, or is it
24 just the core?

25 MR. WILSON: No, the station blackout rule did not evaluate the

1 spent fuel pool cooling, so that was not part of the rule itself. That was one of the
2 reasons that we had added the other portion, and had Eric go over some of the
3 B.5.b strategy, because that specifically evaluated the spent fuel pool.

4 CHAIRMAN JACZKO: They, maybe under severe -- I mean, are
5 there procedures, maybe under severe accident, or under, I guess it would be
6 more under the B.5.b, to provide power to, to whatever systems are necessary
7 for circulation in the pools? Do those procedures exist more on a kind of a
8 severe accident perspective, or?

9 MR. WILSON: Well, I have some rough data that, we have
10 conducted a survey of the spent fuel pools. It was done in the mid-90s, and
11 about a third of the plants, the spent fuel pools themselves are actually on a --
12 the back-up power is the diesel generator, so they're actually on the safety
13 buses. They're manually loaded, so they are on a safety-related power supply.
14 A large number of the other ones actually have RHR as a back-up to provide
15 spent fuel pool cooling or make-up, so RHR is a safety-related system, then that
16 would be the back-up of the diesel.

17 And then there's several others that they can put a spool piece in to
18 cross-connect systems, to provide additional cooling and make-up mechanisms.
19 So we did look at that in the 90s and evaluate that. So there are ways that they
20 could transfer power, since they could get the battery backup, or a system that is
21 powered by the 1E safety-related system, to provide that. So that has been
22 looked at.

23 CHAIRMAN JACZKO: All right. And then, just turn to the last
24 question. And maybe it, almost may be the opposite of, the flip side of what
25 Commissioner Apostolakis raised, which is: to what extent are we, and how are

1 we modeling station blackout in some of the risk assessments that we do? Do
2 we have a good way to model these kinds of events as we look at our severe
3 accident and the, I mean, particular in the PRA? How exactly do we model these
4 kind of events? And I think, hinting from Commissioner Apostolakis, we don't
5 necessarily look beyond 24 hours for this kind of situation, into the longer, longer
6 time frame. And is that a non-conservatism or a conservatism in the PRA
7 analysis that we have.

8 MR. HARRISON: The way that the point-specific PRA's are
9 developed, the key becomes the probability of recovery of off-site power,
10 ultimately. I know back in the '80s, it was, like, 50 percent of all events were
11 recovered in the first half-hour, and it kind of works down from there. So, and
12 most of the data says that at least prior from my past, we had no events that
13 went beyond like 10 or 11 hours, or something like that. So that gives you a tail
14 of the curve on the recovery curve.

15 So most PRAs run for 24 hour mission times, if there's some critical
16 issue that occurs after that, they may run to 32 hours, or something like that. But
17 what they're looking for is reaching a safe, stable condition at the plant, so if I can
18 -- I got power back or I've got some capability where I can maintain that, then
19 they'll stop the analysis and declare it successful. What that will mean is if you're
20 into an extended outage after an earthquake or whatever, you're going to have to
21 provide fuel to the diesels, and in that situation it's determined that, within a day,
22 you can get those supplies there. Or, within eight hours, you'll be able to get that
23 fuel supply to the plant and be able to provide it. So, that's an inherent
24 assumption, I would say, that's underneath the PRA: that those capabilities will
25 be there.

1 CHAIRMAN JACZKO: As we go forward, I mean, and again, as we
2 get more information and the task force is looking at this kind of things, I mean,
3 that obviously would probably be relevant data inputs to see if some of those
4 assumptions are no longer unnecessarily valid as we go forward. So, again, we
5 appreciate your information. I don't know if anyone has any other questions.
6 Commissioner Magwood?

7 COMMISSIONER MAGWOOD: Just a quick question about Japan.
8 One of the things about the early portions of the events in Japan that was a bit
9 frustrating was recognizing that the Japanese were unable to provide emergency
10 power to the plant and weren't able to connect the -- they brought generators in
11 but couldn't get them connected. Do we have any more insight or understanding
12 as to what the problem was in the early days of the event?

13 MR. BORCHARDT: I don't have a definitive answer. It's another
14 one of those areas where we don't have clear information, but we do have good
15 indication that the switch gear on the lower elevations of the building were
16 severely affected by the tsunami, and that probably, and this is just my opinion,
17 probably caused serious degradation to the electrical distribution within the plant.
18 So even if you had an electrical supply, the temporary generator, there's no place
19 to make an easy connection.

20 CHAIRMAN JACZKO: Any other questions?

21 COMMISSIONER APOSTOLAKIS: I'd like to make one brief
22 comment. The key in developing the accident sequence in a station blackout is
23 the recovery of off-site power, as Donnie mentioned. The 0.9 to two hours range
24 that you mentioned referred to routine failures of the grid. People now have two
25 separate curves, which goes back to your question, Mr. Chairman. There is one

1 curve for recovery from these routine events, and another one from major
2 external events. And that time goes much longer than two hours. So the four
3 hours which was conservative I guess applies only to the routine events and not
4 to the longer.

5 CHAIRMAN JACZKO: Well, again, I thank you all for your insightful
6 information, and it's given us lots of things to think about. And we'll adjourn now
7 and have just a brief closed portion to discuss some of the B.5.b. issues. Thank
8 you.

9 [Whereupon, the proceedings were concluded]