

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25
26

UNITED STATES OF AMERICA
NUCLEAR REGULATORY COMMISSION

+ + + + +

BRIEFING ON SMALL MODULAR REACTORS

+ + + + +

WEDNESDAY

NOVEMBER 5, 2014

+ + + + +

ROCKVILLE, MARYLAND

+ + + + +

The Commission met in the Commissioners Hearing Room at the Nuclear Regulatory Commission, One White Flint North, 11555 Rockville Pike, at 1:00 p.m., Allison Macfarlane, Chairman, presiding.

COMMISSION MEMBERS:

ALLISON MACFARLANE, Chairman

KRISTINE SVINICKI, Commissioner

WILLIAM OSTENDORFF, Commissioner

JEFFREY BARAN, Commissioner

STEPHEN BURNS, Commissioner

1 EXTERNAL PANEL:

2 JOHN KELLY, US DOE

3 RICARDO G. PEREZ, Tennessee Valley Authority

4 ANTONY IANNO, Morgan Stanley

5 ALEXANDER GLASER, Princeton University

6

7 NRC STAFF PRESENT:

8 MARK SATORIUS, Executive Director for Operations

9 GLENN TRACY, Director NRO

10 MICHAEL MAYFIELD, NRO

11 DEBORAH JACKSON, NRO

12 STEWART MAGRUDER, NRO

13 JOSEPH COLACCINO, NRO

14 ANNA BRADFORD, NRO

15

16

17

18

19

20

21

22

P R O C E E D I N G S

1:01 p.m.

1
2
3 CHAIRMAN MACFARLANE: Okay, good afternoon. I'd
4 like to welcome everybody, industry, staff, public who are here for
5 today's meeting on small modular reactors.

6 Before we begin, I want to take a moment to recognize,
7 we now have a full Commission. We have with us Commissioner
8 Jeffrey Baran who has been with us now for -- this is already his fourth
9 or fifth Commission meeting, and we have as of 10 a.m. this morning,
10 Commissioner Steve Burns. And you can see here we are not
11 slouches. We go to work right away. The poor guy is working
12 immediately, so we just want to welcome Steve to the NRC. He's no
13 stranger to the NRC. He worked for the NRC for 30 years leaving as
14 General Counsel to go and work at the Nuclear Energy Agency, but
15 now he's back with us as a Commissioner, so just wanted to note that.
16 And now we can get on with our meeting.

17 So, small modular reactors, they represent a relatively
18 new concept in nuclear power reactors. Unlike the current fleet of
19 Generation 3 or 3+ reactors that we've licensed in the past, SMR
20 reactors are those that produce less than 300 megawatts electric, of
21 electricity, power.

22 Today we're going to have the opportunity to look at
23 the anticipated licensing activities associated with small modular
24 reactors, the status of actions and activities to resolve key generic
25 policy issues associated with SMRs, and activities and plans for SMRs
26 on part of the industry and other government agencies. So, we're going

1 to have two panels, an external panel, and then our own Staff panel.

2 On the external panel, we're going to hear from Dr.
3 John Kelly, who is Deputy Assistant Secretary, Nuclear Reactor
4 Technologies at the Department of Energy in the Office of Nuclear
5 Energy. We have Mr. Ricardo Perez, Rick Perez who is Chairman of
6 the NEI's working group on small modular reactors, and Senior Vice
7 President and Operations Support for TVA. I don't know if you were
8 here the other day.

9 MR. PEREZ: I was.

10 CHAIRMAN MACFARLANE: Yes, okay, so you're
11 making many trips to us. We have Mr. Anthony Ianno, Managing
12 Director of Global Power and Utilities Group Investment Banking at
13 Morgan Stanley, and we have Dr. Alexander Glaser, who is Assistant
14 Professor at the Woodrow Wilson School of Public and International
15 Affairs, and the Department of Mechanical and Aerospace Engineering
16 at Princeton University. Yes, a mouthful. And then we're going to hear
17 from our Staff panel.

18 In between the two panels, we will take a short
19 five-minute break to switch out folks. And remember to keep your
20 remarks to 10 minutes, and try to avoid the use of acronyms. And
21 before B- yes, you didn't hear that one before or you B-

22 COMMISSIONER BURNS: Oh, rats.

23 CHAIRMAN MACFARLANE: I keep trying to beating
24 the drum of no acronyms. It's a Sisyphean task. Anyway, let me turn to
25 my colleagues to see if they have any opening remarks.

26 COMMISSIONER SVINICKI: I would like to add my

1 personal welcome to our new Commissioner, Commissioner Burns. I
2 guess I'm living proof that if you stick around long enough, you'll not
3 only see them come and go, but you'll see them come back again. So,
4 welcome. But in all sincerity, I'm really thrilled to see that you will be
5 here now continuing to contribute your insights to the Commission's
6 important mission in this new capacity as a colleague, so I welcome
7 you, and I'm really pleased to see you here today.

8 COMMISSIONER OSTENDORFF: Steve, I'm glad to
9 have you back. Welcome.

10 COMMISSIONER BURNS: Thanks.

11 COMMISSIONER BARAN: I can't compete with that
12 but I'm delighted to have you here, Steve. Welcome.

13 COMMISSIONER BURNS: I've got to get used to the
14 buttons I guess.

15 CHAIRMAN MACFARLANE: Yes.

16 COMMISSIONER BURNS: Yes. No, thanks,
17 Commissioners, it's very nice of you. It is a strange feeling being back,
18 but I'm looking forward to it.

19 CHAIRMAN MACFARLANE: Good. Are you tempted
20 to scoot one chair over and push Margie's?

21 (Laughter)

22 CHAIRMAN MACFARLANE: I guess if we don't have a
23 General Counsel, Steve can pitch hit. Okay. All right. Well, we'll start
24 with our external presentations, and we'll start with Dr. Kelly.

25 DR. KELLY: Okay. That's on, I think. Thank you,
26 Chairman Macfarlane and Commissioners. It's really a pleasure to be

1 here. Looking back, I think the last time I briefed the Commission on the
2 small modular reactors program was in March of 2011, a very busy
3 month for many of us, and I'm happy to report and I'll go over today that
4 there's been a lot of progress in the last three and a half years, so I'd
5 like to share with you what we've been doing at the Department of
6 Energy with our partners, both the current industry, as well as looking
7 future to advanced concepts in the SMR area. Next slide.

8 So, both the President and Secretary Moniz have
9 strongly spoke on the need for nuclear power to be a key part of our
10 ability to meet our clean energy goals. In fact, we can't meet the goals
11 the President has set for us without a significant contribution from
12 nuclear power.

13 Now, when we look at the small modular reactors,
14 we're not looking at them as somehow competing with large. The large
15 reactors will find their place in the market, but we currently believe that
16 there are certain areas in the country and internationally where large
17 reactors probably cannot penetrate for a variety of reasons. These are,
18 first, the capital cost and the risk of the project. There are safety
19 concerns, and we see small modular reactors as being able to improve
20 the paths of safety of the technology. And we're also seeing needs for
21 replacing aging fossil plants to meet our climate change goals. And we
22 really see in the B- after 2025, a growing demand for clean energy
23 technologies. And this program is really based on the premise that by
24 2025, we need to have a cadre of clean energy technologies available
25 for deployment for the U.S. and the world to meet their clean energy
26 goals.

1 Domestically, we see the small modular reactor
2 program as providing the opportunity for jobs, high-paying, high-quality
3 jobs within the U.S. And if we look internationally, by having the U.S.
4 brand on SMR technology we really hope to be able to influence not
5 only the safety, the security, but also the international safeguards of
6 nuclear power globally. Next slide, please.

7 So, what have we been doing? So, in 2011 we did not
8 have a program. That program was actually initiated in fiscal year 2012,
9 and in late 2012 we made our first selection, but we've taken the path of
10 developing public-private partnerships. The main purpose here is to
11 reduce both the regulatory and financial risks to our partners. When we
12 talked to the partners before we launched the program, regulatory risk
13 and the assumption that it could be very expensive was one of the
14 major concerns of the industry at that point, so one of the key reasons
15 for putting in place this program is to reduce those risks.

16 The program itself is paying for the engineering design,
17 testing, certification, licensing through cost-sharing agreements. We
18 really hope to accelerate this technology. Many think that it would come
19 in on its own but, again, we're looking at having it ready to have
20 large-scale deployment in 2025, and that's going to require some
21 acceleration.

22 The program began in 2012. It's slated to be a 6-year,
23 \$452 million program, so we're in basically the fourth year of that
24 program now, looking to continue it for another couple. And we have
25 agreements with both NuScale, or mPower and NuScale teams and the
26 work on their designs is progressing.

1 Now, just to give you an idea of how the
2 government's funds are being used, I just show sort of here a collage of
3 photos of some of the major B- the more significant activities that have
4 been going on in our projects. Basically shown here are some of the
5 large-scale testing facilities that have been stood up, and the testing
6 programs are underway. So, in my view this thing that was a paper
7 reactor probably in 2011 is really now progressing to a concrete reactor
8 through the demonstration of the technology by these large-scale
9 testing facilities drilling at the Clinch River site to begin to understand
10 the geology for potential future deployment. So, I really see us moving
11 down the path of taking the technology from the paper stage to the real
12 stage. Next slide.

13 So, in addition to supporting our industry partners,
14 we've also been doing some other things to try to help advance the
15 technology. First, we've been working with the Electric Power Research
16 Institute on a document called the Utility Requirements Document. This
17 document was put together back initially in the 1990s to support the
18 deployment of the gigawatt-class reactors that we now see today.
19 We're updating that to reflect the utility needs with respect to small
20 modular reactors.

21 We've been doing a number of economic viability
22 assessments. Lots of questions; we don't know yet all the answers, but
23 we have been engaging institutes such as University of Chicago,
24 Stanford, Illinois Institute of Technology, and Wall Street firms to
25 basically help us understand what the economic perspectives will be for
26 SMR.

1 Most of these point to the fact that SMRs could be
2 competitive, could, is still to be proven, but there's a number of factors
3 that would need to come into play, including the ability to have learning
4 through replication of designs both in terms of the design process in the
5 manufacturing; the fact that moving forward a number of utilities seem
6 inclined to develop a portfolio analysis rather than a simple metric
7 economic analysis to determine the mix of clean energy technologies
8 that they would want to have in their portfolio, and SMRs look like they
9 could be a very important point there. And that there'll be a continued
10 need for government involvement through, perhaps, loan guarantees or
11 other incentives to really incentivize the first movers of this industry.

12 In area of source term, which is going to be I think a key
13 question for SMRs, we've been working with EPRI to help define what
14 the aerosol deposition could be in case of an accident, and we're
15 proceeding down an analysis and potentially an experimental path
16 there.

17 We've been looking at sites, and we've been looking at
18 federal sites, not any particular agency, but sites across the country that
19 have large electricity demand by the federal government, because the
20 President has set clean energy goals for all the agencies of the federal
21 government. So, we're looking at SMRs as potentially supporting that.
22 And we've seen several states, such as Washington and Iowa conduct
23 feasibility studies within their states on the merits of SMR technology.

24 And, finally, we've engaged NNSA, National Nuclear
25 Security Administration, that really looks at the non-proliferation
26 aspects of nuclear technology. They did an assessment of the

1 international safeguards and security of the technology, and basically
2 based on their comparative analysis they did not see the SMR
3 technologies, at least the light-water versions differing significantly from
4 the large reactors in terms of international safeguards and security.
5 Next slide.

6 Turning now to advanced reactors, this is something
7 that I think has been gaining momentum over the last few years that I've
8 been in government, certainly, and we're seeing a number of designers
9 supported by a variety of organizations coming forth with ideas that are
10 using coolants that are not light-water reactor-based.

11 We recently conducted a Request for Information from
12 industry. We had seven companies submit concepts to us for
13 evaluation. Those were evaluated, and then based on that we distilled
14 down the critical research needs to support the furtherment of those
15 technologies. And from that, we issued a funding opportunity and had
16 14 applications received for that award opportunity.

17 And just by coincidence, last Friday we made our
18 selection. I think there were four or five awards totaling \$13 million that
19 the DOE is awarding to a set of companies on a cost-shared basis to
20 further the research and development on advanced reactor concepts.

21 And we're also seeing a number of industry groups
22 form up. One is this National Infrastructure Council, and another group
23 headed by Argonne National Laboratory sponsoring workshops on
24 advanced reactors heavily attended by industry.

25 I'd also like to point out I think an effort that both of our
26 agencies have been really embracing and that's looking at the licensing

1 framework for advanced reactors, and working together to look at how
2 we could develop General Design Criteria.

3 DOE has had the lead on the initial phases of this, and
4 we're getting ready to turn this over to the NRC Staff for further work,
5 but during our initial phase we've had over 80 industry, university, and
6 national laboratory participants in helping us formulate a topical report
7 on this subject, so we're looking forward to the continuance of that
8 activity.

9 Then within DOE we have our own R&D program
10 looking at fuels, advanced materials, testing of components, in-service
11 inspection, a whole set of R&D activities that we think generically will
12 support a wide variety of advanced reactor concepts.

13 And I would hate to leave here without acknowledging
14 over the last three years really the immense support that NRC has
15 given to the SMR activity. Without your help, I don't think we could be in
16 the position today to be thinking about applications for an Early Site
17 Permit in a year, and perhaps Design Certifications two years.

18 Your staff have been laying the groundwork both with
19 the engagement with our vendors, as well as establishing basically the
20 framework to allow them to move forward in their licensing activities.
21 And very important here I think has been engaging on design and
22 risk-informed approaches which many believe will be important for the
23 ultimate licensing of SMRs.

24 So, in summary, I would just like to reiterate that
25 nuclear power is a key element of the President's all-of-the-above
26 strategy. DOE stands behind our SMR program, and will continue to

1 look for efforts to improve the market potential for SMRs both
2 domestically and internationally. And as you can see, both our
3 Secretary and the President are strongly behind this program, so thank
4 you very much.

5 CHAIRMAN MACFARLANE: Great, thank you. Mr.
6 Perez.

7 MR. PEREZ: Well, thank you, Chairman Macfarlane
8 and members of the Commission. Good afternoon.

9 I'll start with slide 1. I really appreciate the opportunity
10 to present the nuclear industry's view on small modular reactors, their
11 development, and the licensing going forward.

12 I've had the honor to work with a lot of you in the
13 reactor development and licensing area for many years in my career,
14 and I see the small modular reactors as a continuum of that progress
15 that the industry has made to bring new reactors into the U.S. and
16 international marketplace. These reactors are providing new options for
17 non-carbon and non-intermittent sources of electricity generation
18 throughout the world.

19 The launching of the new projects at Vogtle 3 and 4,
20 and at Summer 2 and 3 represent only one facet of what many of us
21 believe is needed for nuclear generation to really make an impact in our
22 nation's long-term need for non-CO2-emitting sources of electricity. So,
23 today I'm going to provide you a very high-level perspective of why the
24 nuclear industry sees the clear need for the SMR option. Number two,
25 why we believe the industrial capability clearly exists to deploy the
26 technology safely and successfully. And, finally, how important the

1 NRC and industry's interaction plays in a very important facet in the
2 future of being able to develop that as an effective tool in the United
3 States. Next slide.

4 It's clear that today's fleets of nuclear power plants
5 enables the nation to produce a large tranche of electricity without CO2
6 emission. This is becoming extremely important as both societal and
7 governmental trends move toward reducing coal fueled generation
8 sources.

9 With this trend, the whole spectrum of how reliable
10 24/7 electricity is being generated in the United States is changing. At
11 the same time, gone are the homogeneous markets and simple
12 generating schemes that allowed for quick evaluations and equations to
13 be solved for planning, building, and operating power plants. Now,
14 much of the country has unregulated economic electric jurisdictions.
15 Additionally, with the onset of sources of intermittent renewable
16 generation and efficiency programs this has significantly increased the
17 need for agile and lower capital cost projects to produce electricity
18 throughout the country.

19 In these environments, generation flexibility, small
20 capital costs, diversity all become hugely valuable and important, more
21 than it had ever been. The expansion of natural gas domestic supplies
22 in the United States and the agility of gas-fueled power plants have
23 moved them in to be the short-term option of choice throughout most of
24 the nation's power jurisdictions; especially where gas is needed to
25 follow intermittent sources of renewable generation.

26 Unfortunately, with all the great things that the power

1 generation from natural gas has brought us, it still has challenges for
2 us. As a nation, it still produces large sources of CO₂, stresses our
3 pipeline assets, and limits our overall generation diversity mix.

4 Now, certainly large-scale base load generation will
5 still be needed throughout the nation, but more and more smaller-scale
6 highly reliable and agile electricity projects are becoming a priority
7 need. It is in this segment where we think the SMR option has a great
8 potential.

9 Many U.S. generators see clearly the need for smaller
10 electricity generation projects that do not emit CO₂, and that can
11 provide both certainty and agility to respond to a very variable load
12 demand. In fact, it can be argued that the impact of renewables on
13 climate change without viable energy storage and without a matching
14 source of reliable 24/7 non-CO₂-emitting partner source will be greatly
15 lessened. So, the SMR option we believe delivers an agile, safe, and
16 non-CO₂-emitting electricity that has a clear fit in this evolving energy
17 landscape.

18 The lessons being learned today through the Part 52
19 licensing process and the Vogtle and Summer construction process
20 have really, coupled together with new safer safety system designs, we
21 believe provide a solid platform for developing the SMR.

22 These projects have stimulated engineering thinking
23 throughout the country, and a refreshed look at how we leverage U.S.
24 indigenous strengths in modeling, testing, I&C, fuel design, and marine
25 fabrication to really generate a new, innovative SMR design.

26 It's these proven American industrial strengths that are

1 the heart of the light-water SMRs being designed and developed today.
2 And it's at the heart of that that we believe has the confidence to be able
3 to positively deploy these reactors in the United States.

4 The proof of this aptitude can be seen in the rapid and
5 timely ramp-up of investments being made by industry, and by
6 government. These are depicted in some of the photos you saw on the
7 slide, and in the next slide. Next slide, please.

8 As you heard from Dr. Kelly of the DOE, the economic
9 and technical investigations they have made support the potential for
10 the SMR option to make a positive impact on the nation's energy
11 picture. But an equally important aspect of the developing of the SMR is
12 the licensing process.

13 The unquestionable value of the successful Nuclear
14 Power 2010 Initiative coupled industry and the DOE to advance and
15 improve the Part 52 process for advanced reactors that are now being
16 built was invaluable. This success, the learnings from it, the
17 improvements in licensing efficiency must be leveraged as we engage
18 in the light-water reactor SMR licensing applications that are targeted
19 over the next 12 to 24 months.

20 Now I'm going to give you a personal perspective. I
21 strongly advocate for a transparent, early, and aggressive engagement
22 between the NRC Staff and the upcoming applicants. My personal and
23 professional experience has convinced me this requires steady
24 pressure on timelines, dedicated resources, and clear communications
25 with both sides; that means the Agency and the applicants.

26 No party wins into a blame game on why technical

1 difficult issues and schedules, and policy items are not tackled
2 efficiently. The proven construct for success is based on a strong and
3 reliable regulator that's matched equally by a capable applicant, and
4 that environment where transparent communication can exist and
5 interact with each other. It was that kind of environment that carried the
6 day on the Vogtle and Summer applications, and that is what we have
7 to build on for a successful and constructive SMR licensing process.

8 Now that requires that both parties in the licensing
9 process provide the technical B- the prerequisite technical resources
10 and an engagement brings clarity on technical and policy issues very
11 early on. The upcoming SMR applications will challenge the Agency to
12 manage both new, and also some lingering old issues.

13 On the new side specifically, scalability and
14 appropriately designed regulated issues like source term, emergency
15 planning, staffing, the treatment of multi-modules will bring some of
16 those new challenges.

17 Conversely, some of the old issues surrounding clear
18 thresholds for conducting reviews, the level of specificity needed in
19 design acceptance, and related impacts of those things are still an area
20 of efficiency that will have to be worked on between the Agency and the
21 applicants. Next slide.

22 Now, the future of the SMR development may seem a
23 little far away for most people, especially for the public, but most of the
24 prototype SMR reactors that are being discussed, and that John
25 referenced to, are looking at targeting the first prototype deployment in
26 the 2020 time frame. But let me remind the Commissioners that those

1 reactors in construction today started with design concepts in the early
2 1990s. The first AP-600 Design Certification Rule was issued in
3 December of 1999.

4 Now, those lessons from those reactors clearly gives a
5 path for delivering these SMR licenses and reactor designs in a much
6 more efficient fashion this time around. A large base of the nuclear
7 plants cut across the country with 60 years of operation and the
8 decades of the 2030s.

9 Now, it's yet to be determined what the impact of those
10 plants will make after 60 years. Nevertheless, it's evident that if nuclear
11 is to maintain an important role in non-CO2 electric generation in the
12 United States, various new technical and economic options will be
13 needed. The SMR option targets to provide utilities and other
14 generating companies and entities with a new arrow in their quiver to
15 attack climate change while at the same time meeting demands of a
16 very variable electricity market across the nation.

17 So let me close with this. The President had an
18 important thought the other day, which I think we need to keep in mind.
19 He said, "We have to be guided by science, and by facts." Following his
20 advice, I'm very comfortable and confident that the NRC and the U.S.
21 industry are up to the challenge for licensing an SMR that will provide
22 the American public with a safe product that can be used to
23 decarbonize our energy future for when it's needed for this country.

24 Chairman Macfarlane, thank you for your time and your
25 attention, and that concludes my remarks, and I look forward to
26 answering any questions later on.

1 CHAIRMAN MACFARLANE: Thank you, good. Mr.
2 Ianno.

3 MR. IANNO: Thank you. Is this on?

4 CHAIRMAN MACFARLANE: You turned it off, I think.

5 MR. IANNO: I just turned it off. Thank you, and thank
6 you for having me here today. I really appreciate it. I'm honored to be
7 here today. I think uniquely on Wall Street, I actually have a background
8 working in a nuclear plant before I became a banker, so I was
9 B- worked at Indian Point 2 back when Con Ed owned it, and I'm a huge
10 proponent of nuclear power and what you do to support it. So, thank
11 you for having me here today.

12 Let me just start off by saying I think that, clearly, as
13 Rick said, I think that nuclear power has to be a huge part of energy
14 policy going forward if we're going to meet our emissions targets that
15 we've outlined. I think, however, there are some significant challenges
16 that we're facing today, and maybe turn to the first slide.

17 What I'm going to attempt to do today is give you just
18 some thoughts and an overview of how investors are thinking about
19 nuclear power, and what the implications are to financing for SMRs.

20 I think existing nuclear power is valued today both for
21 its fuel diversity, the environmental advantages; however, it is
22 economically challenged in many markets. And when I mean many
23 markets, I mean the regional markets across the country. It's really hard
24 for new-build nuclear construction to be economic relative to combined
25 cycle gas plants. And that is, I think, the biggest challenge that we all
26 face with respect to nuclear today, even for some existing nuclear

1 plants, we're seeing when they have decision points on large CAPEX,
2 it's a very difficult decision given the economics associated with gas.
3 And, unfortunately, we're in a position now where we have more plants
4 that are shutting down than actually plants that are coming on line.

5 Obviously, that leads to the huge importance of the
6 completion of the new nuclear units that are under construction, and in
7 particular with respect to the NRC, how the testing associated with the
8 new licensing regime is going to play out. I think that's a critical point
9 that investors are looking to, to make sure that that's a risk that they can
10 take on going into the future.

11 Now, saying all that, I think that as competitive markets
12 today do not support the development of new nuclear plants, which
13 means that in order to develop plants they either need to be in rate base
14 or in B- under long-term power purchase agreements. And I think that's
15 B- those are the types of support from a market perspective that will be
16 needed in order to finance nuclear power going forward.

17 Turning over to the next slide, and I think maybe slide
18 3 here in the financing implications for SMRs. Investors are going to
19 focus on the total production costs, including operating costs and
20 risk-adjusted return on capital in appraising the economic viability. So, I
21 know a lot of the focus has been SMRs obviously are something that
22 offers a benefit because the initial capital costs will be lower than for a
23 larger-scale nuclear facility. That being said, it still has to be economic,
24 and we need to figure out that given the small size, that the total cost on
25 a dollar per kilowatt-hour basis is going to be appropriate for the
26 markets.

1 There is from an investor standpoint, SMRs do bring
2 new technology and, therefore, new technology risk. And particularly
3 where we're talking about potentially putting this into rate base, there's
4 a concern if there is that technology risk, will there be prudence reviews
5 going forward, will there be disallowances, and all of that needs to be
6 factored in as companies think about investing and looking at the costs
7 of capital, because they'll be looking, as I said, on a risk-adjusted cost of
8 capital.

9 So, the construction and regulatory risks will need to be
10 addressed, and that can be addressed through fixed-price turnkey
11 contracts, but then really the risk that goes to the new developers, and I
12 think really emphasize the importance for some of these prototypes in
13 minimizing the risk and demonstrating the ability to build some of these
14 at reasonable economic cost. Turn to the next slide.

15 So, investors are going to look for protection for some
16 of these unique risks that we're going to see associated with SMRs.
17 They're going to be concerned, like I said, with the potential
18 disallowances or write offs, and looking for some support there; and
19 whether that's through energy policy or other programs, I think
20 importance for sessions like this to think about how to protect investors
21 for those type of risks.

22 I think the mechanisms like the DOE loan guarantee
23 are going to be hugely important for the debt financing associated with
24 this. Clearly, someone who's looking for a debt-like return is not looking
25 to take that risk so, therefore, a DOE loan guarantee would be one way
26 of obviously providing that protection. But as we've seen, the DOE loan

1 guarantee actually comes with a cost, which under most current
2 programs that's absorbed by equity investors. And now you're asking
3 equity investors to pay for that in addition to getting returns for maybe
4 taking some technology risk; that's the area I think that really needs to
5 be addressed, is have the equity investors in this new technology which
6 will be hugely important I think for energy policy, how are they
7 protected?

8 So, those are all the things that investors are looking
9 to. I think from my clients, the investor-owned utilities, the independent
10 power companies, and then from the investors, whether that's
11 institutional investors, or individuals who invest in these types of
12 companies, that's what they're looking to. And from their standpoint at
13 this point it's kind of early days. They need to monitor this and then
14 figure out over the long term how they're going to be protected. But I
15 think it is on their minds, it is something that they see the opportunity
16 here, and they see the ability of scalable nuclear power which will
17 reduce the initial up front costs and allow companies to maybe invest
18 over time; how that could be hugely important going forward. So, early
19 days from an investor standpoint, but I think both the clients that would
20 invest in this technology and the investors see the long-term
21 opportunity.

22 CHAIRMAN MACFARLANE: Great, thank you. All
23 right. Dr. Glaser.

24 DR. GLASER: Yes. Good afternoon, everyone,
25 Commissioners. It's a great honor for me to be here and share with you
26 some of our work on SMRs. So, before I begin, let me briefly give you

1 some background about our project in Princeton on the first slide, or
2 second slide.

3 So, in a nutshell the main objective of research in
4 Princeton is to review and analyze proposed SMR designs with
5 particular focus on resource requirements and proliferation risks. We've
6 been working on this for a couple of years now, and some of our work is
7 supported by neutronics calculations, and we focus on notional
8 reactors, so we're not so much interested in specific designs that a
9 vendor might be proposing, but we try to organize them by different
10 families or categories, and look at them from a more kind of high-level
11 perspective.

12 Today I'd like to kind of spend a couple of minutes on
13 kind of two topics, one on technology choices for SMRs; and two, siting
14 and deployment options, or deployment choices for SMRs. Next slide,
15 please, and one more.

16 So most concepts today are based on light-water
17 reactor technology, and the main reason for this choice, of course, is
18 the desire to demonstrate SMRs as early as possible, and perhaps also
19 to leverage first-to-market advantage. We've already heard about the
20 designs on the table today, and you can see them here on this, in this
21 table again.

22 Now, the reason for this, if you move to the next slide,
23 is that PWR technology, of course, is mature. There's a lot of
24 experience with PWRs large and small, so in that sense it's a practical
25 next step. But let me make a few additional observations relevant for
26 the fuel cycles of these reactors.

1 We think it's worth noting that small light-water reactors
2 like PWRs would have significantly higher demand for fuel. Overall,
3 we'd be looking at 55 to 65 percent increase in fuel and this, obviously,
4 translates into a similar increase in enrichment demand. And, of course,
5 also a similar increase in the volume of spent fuel generated. And the
6 reason is the lower burnup that this fuel would achieve in these
7 reactors.

8 Now, we don't think this is a major problem for the
9 viability of the technology but, nevertheless, it's something to keep in
10 mind when assessing the pros and cons of different reactor options,
11 especially when one thinks about SMRs on a larger scale, perhaps on a
12 global scale. Next slide.

13 The second category that I'd like to mention at least
14 very briefly are the SMRs with lifetime cores, or reactors without onsite
15 refueling, because I think they already mentioned, and Dr. Kelly actually
16 did mention them in this forum. It's important to remember when you
17 look at the next slide that it was the idea of lifetime core reactors that
18 actually generated most of the interest in SMRs in the early 2000s.
19 There was a 2007 report by the IAEA that listed 30 different concepts
20 for reactors with lifetime cores, but very few of them actually survive
21 today. And some of the more prominent ones are listed here.

22 Now given this technology spectrum for SMRs from
23 very mature PWR technology all the way to more radical reactors with
24 lifetime cores, we believe the big questions for the SMR debate is what
25 type of reactor, what types of reactors should we have in mind when we
26 think about SMRs in the longer term, and on a global scale? And to be

1 clear, you know, the current emphasis on LWR-type SMRs carries
2 some, or carries a certain risk of technology lock-in, which may or may
3 not be suitable for global deployment.

4 With that, I'd like to move on to my Part 2. This would
5 be slide 10 in the briefing, Siting and Deployment Choices, Part 2.
6 Right, here we go. Which, again, we think it's a very important
7 dimension of the SMR debate. Among the most intriguing features of
8 SMRs is the possibility of siting and deploying them in new and more
9 flexible ways. And I wanted to say a few words about both these
10 aspects.

11 Now if you look at the next slide, this is a busy one. It
12 shows coal-fired power plants in the United States. This idea B- one
13 idea that has been around for quite some time is the possibility of
14 deploying SMRs at sites that currently host coal-fired power plants. And
15 in the United States there's still today 560 coal sites with almost 1,400
16 generators, coal generators, and an installed capacity of more than 300
17 gigawatt electric. And as you may know, a significant fraction of these
18 plants are old, very old, and they're small, and they will have to be
19 closed down soon. And if you do the numbers, overall we may be
20 looking at roughly 250 coal sites with about 600 generators that could
21 potentially host SMRs, so that's based on our estimates.

22 Now in the next slide, there are now two ways of
23 looking at the situation. On the one hand, it's true that coal-fired power
24 plants are generally located closer to urban areas. And I believe this is
25 partly why we're talking about the scalable EPZ, the Emergency
26 Planning Zone today. But it's also true that there are many coal plants,

1 old and small coal plants in relatively remote areas, combined we think
2 we're looking at roughly 60 percent of the candidate plants have, for
3 example, a population of less than 100,000 within a 10-mile radius. And
4 if you add those up, there are about 150 sites with a total capacity of 70
5 gigawatts that are in relatively sparsely populated areas.

6 In other words, and that's kind of the bottom line here,
7 one could site 200 to 300 SMRs in the U.S. at sites that are not very
8 different from those where nuclear power plants are today. So, the
9 bottom line, and an important question is, can we perhaps site the first
10 wave of SMRs at sites that are just like any other nuclear sites, perhaps
11 even without revising some of the relevant regulations.

12 Next and it's my final point about the deployment
13 modes. As you know, another characteristic feature of SMRs is the
14 proposition to deploy them in new ways, and I have a few cartoons here
15 on the slides on barges, underground, and under water. And,
16 essentially, all SMRs currently considered for deployment in the U.S.
17 envision underground siting. The idea is not new. In fact, it's rather
18 old, it comes from the 1970s, but it has attracted for obvious reasons
19 new attention, especially since 9/11.

20 Now, if we move to the next slide, the question then is
21 are SMRs better suited for underground siting than large reactors are?
22 And you can see here the excavation volumes, these are estimates that
23 we've done per megawatt electric installed for different types of
24 reactors. On the left you have typical large reactors, Generation 2 and
25 the AP-1000, and two prominent SMR designs on the right-hand side,
26 or three I should say. And as you can see, based on our estimates, and

1 these are rough estimates, there is really no relevant difference
2 between excavation volumes per megawatt installed if you compare
3 SMRs with large reactors.

4 If you move on to the next slide, underground versus
5 above-ground siting. Now, there are many open questions with regard
6 to the advantages and disadvantages of underground siting, but we
7 think the concept does have appeal. Obviously, underground siting
8 would certainly offer enhanced protection against aircraft impact. There
9 may be other advantages even for earthquakes and so on, but there are
10 obviously also some drawbacks, and has to be much better
11 understood.

12 I will only mention one, which is the economics. I think
13 there's no doubt that underground construction will be more expensive,
14 and estimates range somewhere between 20 and 60 percent plus. And
15 SMRs are already challenged to compete with large reactors today, so
16 we believe one critical question is, you know, will the idea of
17 underground siting survive as a characteristic feature of SMRs once we
18 actually start building them. Or to put it differently, if the security and
19 safety benefits of underground siting can be demonstrated, I believe it's
20 very important for the SMR industry to agree early on that this
21 deployment mode is, in fact, a central feature of the new technology.
22 And, you know, it would be important for standardization because
23 SMRs, everything is about serial production, but I think it's also
24 important for public acceptance of the technology.

25 So, perhaps let me stop here and I am, and I guess we
26 all are, happy to take questions. Thank you.

1 CHAIRMAN MACFARLANE: Great, thanks. All right.
2 We're going to start questioning off with the new guy, and we do that
3 here. Did it to me, and we did it to Commissioner Baran, and now it's
4 Commissioner Burns turn, so we'll turn to Commissioner Burns.

5 COMMISSIONER BURNS: Okay. Thank you, Madam
6 Chair. I was intrigued by the comment that Mr. Glaser made about the
7 potential for a technology lock-in. And I might ask Dr. Kelly and Mr.
8 Perez to respond. I know Dr. Kelly talked about both the light-water
9 technology, and I know he's very much involved with the Gen4 issues.
10 And I'd be interested in how do you see a transition, or how do you
11 avoid that potential problem?

12 DR. KELLY: Right. So, if we're interested in clean
13 energy, and the means of producing clean electricity, then we see the
14 light-water technology as being the first movers. And, again, in about a
15 decade as B- really when we see the order books filling up for the clean
16 energy technology broadly, and we think SMRs and large gigawatt
17 class reactors should be part of that portfolio.

18 But moving out into the latter part of the century, there'll
19 be other factors that come into play. Process heat currently emits a lot
20 of carbon dioxide in the atmosphere, and there's opportunities with high
21 temperature reactors, small high temperature reactors such as the
22 B- what was in the NGNP activity, as a means of replacing natural gas
23 as the source of that high temperature heat. And then if uranium
24 resources become an issue, certainly fast spectrum reactors have huge
25 advantages in extending the uranium resources. So we see both of
26 those drivers as coming on the horizon, probably lacking by 5 to 10

1 years after the electricity mission for the SMRs.

2 MR. PEREZ: Thanks for that question, Commissioner.
3 I may take a little different tact than Dr. Kelly. I do agree that there is
4 some benefit relative to insuring that technology keeps moving. If
5 anything, I will generally tell you after B- this is my 34th year in the
6 nuclear industry, and what I think I've seen stimulated by continued
7 reactor development is the idea of thinking, thinking about how do we
8 create better levels of safety, creativity, and passive safety, so the idea
9 of continuing to innovate is a must do.

10 But let me also tell you my other part of my experience,
11 and that is the deployment of civil nuclear power to make an impact on
12 quality of life. You know, when you look at the development B- the use
13 of, especially US-based, safeguards-driven light-water reactor
14 technology, and how that impacted the quality of life in places like
15 Europe and Asia, a lot of it was fundamentally locked into a concept that
16 said we're able to take some of the operating experience, the safety
17 ethic that occurred in the United States and was fostered and nurtured
18 in the United States and we're able to deliver that safely and effectively
19 to many other different continents. And you clearly see today the ability
20 of economies like in France, or economies in Korea to be able to
21 develop electricity safely and effectively without emitting CO₂, part of it
22 was tied to the ability of taking light-water reactor technology and
23 deploying it there.

24 So, my only comment to you is B- and I'm not here to
25 talk about the ability of where do I see that deployment in the next
26 phase, but I will tell you we would miss a point if we do not learn from

1 the past and the history that this country was able to show leadership
2 throughout the world by leveraging its light-water technology
3 experience, both from some core naval experiences that came out of
4 the nuclear propulsion system, to civil generation, and then the ability to
5 deliver that safely. Even in small countries, you take today a country like
6 Slovenia where 60 percent of its electricity is generated B- a population
7 that's probably smaller than most of the states in the United States, it's
8 been able to produce electricity safely and efficiently in that country for
9 the last 25 years. And I would say we'd lose something if we don't try to
10 replicate that same kind of concept. So, I'm not talking about locking in
11 technology for the future. Let's lock in on what's worked.

12 COMMISSIONER BURNS: Thank you. Sort of going
13 off under that theme is, I think you may have mentioned in terms of
14 lessons learned from Part 52. What do you think those lessons are, and
15 their particular application for the SMR development?

16 MR. PEREZ: Yes, it's B- I could take the whole day, but
17 I won't do that. As most of you know, I was very involved in the design
18 certification of the AP-1000, not 600, AP-1000. Some of it is
19 programmatic, Commissioner. I would generally tell you coming down
20 with some clear specificity on design review standards and acceptance
21 was critical in bringing the ball over the goal line on the AP-1000.

22 I would also tell you, and I think I've shared this with the
23 Staff, a lot of it, and I know I've talked it over with several of the
24 Commissioners here that were here at the time, the ability to engage
25 the Staff effectively and understand the threshold of the Staff. I am very
26 B- and I know I've said this to many of the Staff before, I am very

1 respectful of the fact that Part 52 requires the Agency to make a
2 determination of public safety that is at a different threshold than it was
3 in the Part 50. Fundamentally, you're giving the licensee a license to
4 operate that plant at the time of construction, so, we are respectful of
5 the fact that that is a large threshold.

6 The only thing we would ask, I think in that process was
7 a very clear communication of where that B- how could we clearly help
8 the Staff make that determination efficiently? And that is not a simple
9 send me a rock, it's the wrong rock, give it back. It really required a level
10 of interaction, especially on a new safety system design, like we were
11 talking about the AP-1000 or here. It requires a level of engagement,
12 technical, public transparency that, frankly, doesn't even look like Part
13 50. Even on the design application amendment for AP-1000 we had
14 over 60 public meetings, and that was just for an amendment.

15 Now, the positive of that was it brought an unbelievable
16 amount of transparency and interaction with the public. But I'll also tell
17 you behind the scenes it also required a level of interaction that is much
18 different than we saw in the Part 50 regime.

19 COMMISSIONER BURNS: Interesting. I guess one
20 other question B- well, along those lines, I guess another question I
21 would have is then, you may have touched on it, but any of you in terms
22 of what are then the pacing issues? I heard part of it is in terms B- even
23 though we're dealing with light-water technology, there are some B- I
24 take it some technological issues that may be what I'll call pacing
25 issues, or the things that sort of, I don't know if you want to say hold it
26 back, or basically those things that need to be resolved. But I also

1 heard, I think, the emergency planning and the security thing. Where
2 B- sort of where does that sort of sit from your standpoint?

3 DR. KELLY: Yes. Well, let's see. So, for several years
4 now we've been discussing what we'll call a set of generic issues. Some
5 are we'll call policy issues that are working their way through the
6 process, such as indemnification, and fees, and things like this that
7 really are not technical. There's a set, though, that I think involve some
8 technical inputs. And if they require things such as analysis or
9 experimental work, that work needs to be done. So, we're trying to
10 address those things generically so that they can benefit all.

11 Each technology vendor then will have their own set of
12 specific technologies, control rods, or within heated zones, or whatever
13 the specific design feature is. That's why we're glad to see that the
14 vendors have been building up their testing capabilities to provide the
15 data that will help answer those questions early on.

16 So, you know, it's not B- I think there is a pattern for
17 how the review will go, and getting the data and information in advance
18 I think is going to be important. You know, we've heard that the
19 applications need to be complete, that that will expedite the review.
20 We've enforced that concept with our partners, and hope that they will
21 be able to deliver on that. And we'll hold back on timing, on schedule in
22 order to have a more complete and thorough design.

23 MR. PEREZ: The only thing I'll add to that is I think
24 you're starting with the end in mind, so some of the comments that
25 Anthony made relative to the economics and the ability to deploy these
26 effectively in the kind of economic schemes we're talking about are

1 things that are the end in mind. So, when you talk about the
2 appropriately sized EPZ, staffing issues, security issues we talked
3 about, the industry has a pretty good idea what that B- pick what good
4 looks like in that perspective and getting a red thread from those ideas
5 to policy is clearly one of the things that I think we're talking about with
6 John, and with the Agency on how to get there.

7 COMMISSIONER BURNS: Okay, thanks.

8 CHAIRMAN MACFARLANE: Okay. Next. All right, we'll
9 start off with Alex. Why do the light-water SMR designs require lower
10 burnup?

11 DR. GLASER: They don't require lower burnup, but
12 they based on our estimates achieve lower burnup for the same
13 enrichment level of the fuel. And the two main reasons, one of them is
14 the cores are smaller so there's more leakage. But more importantly,
15 there's no fuel shuffling generally kind of envisioned for these reactors,
16 and the fuel is replaced, you know, drop in/drop out so the burnup is
17 more homogenous.

18 CHAIRMAN MACFARLANE: Okay.

19 DR. GLASER: Axially, radially I should say.

20 CHAIRMAN MACFARLANE: Right, right, right. Okay.

21 DR. GLASER: So overall we B- based on our
22 calculations that a 50 megawatt days per kilogram you will get 30 to 35
23 megawatt days per kilogram. And, you know, that's exactly the ratio, 50
24 over 35. That gives you a plus 50-60 percent.

25 CHAIRMAN MACFARLANE: Okay. So, let's talk
26 internationally here, because the United States is just one market, and I

1 know that a lot of the SMR manufacturers are also envisioning selling
2 around the world. So, I want to understand more about the foreign
3 markets, if any of you know anything about that. And, you know, Alex,
4 you mentioned some of the B- a few foreign designs. Are there other
5 ones that are out there that are viable, that are competitive that we
6 should be aware of? You know, is somebody else eating this lunch
7 already, and we're just listening B- we're in our little fishbowl here, or
8 echo chamber. What's going on? So, who wants to jump in? I don't care
9 if a bunch of you respond.

10 DR. KELLY: Well, I don't mind telling you what I know
11 from our perspective. Certainly, if you look at the IAEA documents,
12 there's a whole set of small reactor designs that are out there, but
13 there's probably three or four beyond the U.S. designs that are, I would
14 say real.

15 CHAIRMAN MACFARLANE: What are they?

16 DR. KELLY: China has a small reactor that they are
17 progressing in the designs, have plans to construct a demonstration.
18 The Koreans have something called SMART.

19 CHAIRMAN MACFARLANE: Right. Which Alex
20 mentioned, right?

21 DR. KELLY: Yes, the regulator has already done the
22 B- whatever their process is, certification.

23 CHAIRMAN MACFARLANE: Right, it's licensed.

24 DR. KELLY: They're now looking at trying to build that.
25 The Russians have a barge-mounted unit which is probably meant for
26 specific applications, not broad applications. And, you know, basically, I

1 think that's probably it, although Argentina has a model called CAREM
2 that they're in the actually construction phase for the prototype of their
3 small module reactor.

4 In terms of B- those are the suppliers. In terms of the
5 markets, lots of interest, lots of countries signing up. You know, most of
6 those are going through IAEA milestone process where they're actually
7 trying to develop the infrastructure in their country, so they're not all
8 B- they're not ready to sign up and buy. Most of them want B- would like
9 to see the country of origin actually have the first operating plant. So,
10 they recognize that that's sometime out, but there is certainly a lot of
11 interest in the technology, just because in many countries it would fit
12 with their grid infrastructure probably better than the large units.

13 CHAIRMAN MACFARLANE: Anthony, do you have a
14 view on this?

15 MR. IANNO: Yes, I would just add that from a market
16 perspective, I think obviously there's a lot of countries out there that are
17 de-emphasizing nuclear right now. I think, obviously, Germany, Japan,
18 and I think that's economically disadvantaging those countries, and it's
19 escalating their cost of power having B- dealing with what they're
20 dealing with.

21 I would say clearly from a competitive standpoint that
22 China offers a unique advantage in developing this technology because
23 they don't need the public investing to B- whether it's from institutional
24 investors, or whether it's from investor-owned utilities, or whether it's
25 from individuals, China can obviously just put in place a policy and start
26 developing this. And I think that would be the fear that they would be the

1 most advanced from both a technology standpoint, and from an
2 implementation standpoint.

3 CHAIRMAN MACFARLANE: Okay, anyone else?

4 DR. GLASER: I guess I agree with everything that's
5 been said. I mean, I did mention the lifetime core reactors, the idea of a
6 nuclear battery that you would supply, and the customer would use.
7 And when it's depleted it would be picked up and away. And I guess
8 part of the attractiveness, at least from the non-proliferation
9 perspective, was a couple of B- many B- or a couple of years ago that
10 you may actually have a different fuel cycle architecture where you
11 have a hub and spoke system where you have very few vendors who
12 make these batteries, so to speak, and then they get shipped to the
13 customer and picked up afterwards. And the idea was maybe that has
14 non-proliferation advantages in the longer term.

15 Now, gaps remain, technology gaps. I mean, if you
16 want to irradiate fuel for 30 years, we haven't really done this very much
17 except perhaps for the Navy. So, you couldn't really deploy them today,
18 or tomorrow, but I wanted to make that point. You should keep in mind
19 that this was partly why we started thinking about SMRs in the first
20 place.

21 CHAIRMAN MACFARLANE: Okay. For Alex and John,
22 are there particular sites that are not appropriate for SMRs? And maybe
23 you want to say B- one of you wants to say more about flooding, and the
24 risks associated with that? Go ahead.

25 DR. GLASER: Well, you know, the flooding comes in
26 B- I did mention underground siting, which I think has important

1 advantages, but I also mentioned drawbacks. Economics is one of
2 them, but in terms of security there are issues with what if someone
3 takes the plant hostage, how do you have access to the facility. And
4 after Fukushima, of course, there's also the question about flooding in
5 underground sites, so I think at this point it's too early to say, you know,
6 underground siting is definitely a go. But I think it's worth looking into,
7 and really kind of balance the pros and cons.

8 DR. KELLY: Yes, and I don't think the B- you know,
9 there's been that kind of detailed evaluation on specific sites based on
10 that. I think there's general understanding that if you understand the
11 geology of the region and the meteorology, and those aspects of what
12 is possible and build that into the design basis for the plant, that the civil
13 engineers can figure out how to waterproof, how to build up weir walls,
14 whatever is necessary. So, I don't think we've come to the point in those
15 designs of actually getting to the point of how you would B- what kind of
16 maximum flood could you survive and that. But certainly I think that, you
17 know, everyone is very much aware of these unintended or rare events
18 that need to be considered in the design base, and appropriate
19 measures taken.

20 CHAIRMAN MACFARLANE: Okay. So, let's go back to
21 economics. A number of claims have been made about the smaller size
22 reducing the initial up front costs. Will it really reduce the initial up front
23 costs?

24 MR. IANNO: Well, certainly, from a total dollar
25 standpoint it should be a lot less expensive to build a 50 or 200
26 megawatt SMR than it would be to build an AP-1000 unit. And that B-

1 CHAIRMAN MACFARLANE: But you're excavating the
2 same amount of material kind of thing. I mean, you know B-

3 MR. IANNO: Well, I think the point was per megawatt.

4 CHAIRMAN MACFARLANE: Per megawatt, yes.

5 MR. IANNO: So, the initial dollars B- and for AP-1000
6 we're talking seven-eight billion dollars. It will be something less than
7 that, so clearly that will be helpful from a dollar standpoint. But as I
8 started with, if there is technology risk, then investors are not going to
9 be looking for the typical 8-10 percent ROE that we see for some of our
10 regulated utilities. They're going to be looking for some other higher
11 rates of return to compensate for that.

12 CHAIRMAN MACFARLANE: Yes. Any other views?

13 DR. KELLY: Well, just that for the SMRs we B- you
14 know, it depends if you're thinking first of a kind or later in the kind, and
15 the fact that we are really looking at a model where you get the factory
16 fabrication, which can improve both the economics of each individual
17 unit delivered, but also the quality, and safety of that. So, we're thinking
18 that that actually goes together. It's not just big versus small, but it's
19 small plus factory fabrication that are really the two ingredients that
20 have the potential to be competitive, whether that means lower price,
21 we're not sure of that yet, but competitive is in a range that a utility
22 would consider for something in their portfolio because of the overall
23 value that it provides to that portfolio.

24 MR. PEREZ: Let me just make a comment. I am not
25 familiar with Dr. Glaser's work, but I am familiar with AP-1000
26 excavation costs and it is extremely small amount of the overall relative

1 project cost.

2 DR. GLASER: What I showed was if you were to build
3 the AP-1000 underground completely.

4 MR. PEREZ: Okay. But I generally will tell you the
5 excavation costs were extremely low.

6 CHAIRMAN MACFARLANE: Yes, it was about putting
7 it underground.

8 MR. PEREZ: And the B- and in general I can say to you
9 that if you recall, the excavation at Vogtle 3 and 4 were actually
10 commenced before economic rate making was made by the State of
11 Georgia. So, the reason B- I only give you as a data point. I'm not
12 certain that that is the litmus test on the economics. There is a lot of
13 other challenges to the technology, a ton, which is clearly part of the
14 things that need to be developed and matured. But right now, the
15 underground issue from at least the perspective we have in the industry
16 is not the tipping point to the economics of the reactor design.

17 CHAIRMAN MACFARLANE: Okay.

18 DR. GLASER: And one quick comment, perhaps.
19 Combining the economic argument with the lock-in, risk of lock-in. I
20 mean, I think there's B- I wouldn't be surprised if the first SMR units are
21 more expensive than B- per megawatt as kind of the large reactor, and
22 that's not a problem. And the first of a kind will be more expensive, I
23 mean, in a realistic world.

24 The question really is, you know, how quickly would
25 these B- will this cost come down? How much do you learn per unit, the
26 learning rate from first of the kind to nth of the kind. And that's where I

1 think we really need to understand much better how this will play out,
2 and how many IPWRs would you have to build to actually understand
3 where you will end up? And that's where the lock-in argument may
4 come back. Do you need 10, or do you need 100? And at that point you
5 might have said well, you know, we keep building those because we
6 know how to do this. And that's the tradeoff, how many do you have to
7 build before you know what the economics are?

8 MR. PEREZ: Let me make a comment, though. One
9 thing we can't B- if we're so locked into LCOE and the old way of
10 thinking B-

11 CHAIRMAN MACFARLANE: LCOE?

12 MR. PEREZ: Sorry, Levelized Cost of Electricity, sorry,
13 Chairman. That's an old way of thinking. Fundamentally today, if you
14 look at some of the nuclear plants that exist in the United States, what
15 tips the economic case is when they're able to be dispatched.

16 CHAIRMAN MACFARLANE: It seems what tips the
17 economic case for nuclear plants right now is whether they're in a
18 regulated market or not.

19 MR. PEREZ: Well, I think there's B- if you look at them,
20 half of them are not in regulated markets.

21 CHAIRMAN MACFARLANE: I'm talking about new
22 builds.

23 MR. PEREZ: Yes. The B-

24 CHAIRMAN MACFARLANE: Correct?

25 MR. IANNO: No, but definitely for new builds whether
26 they're rate-based or not, but I think what Rick's point was on, if you

1 look at existing plants, the merchant plants.

2 MR. PEREZ: Merchant plants.

3 MR. IANNO: And, obviously, a big subset of the
4 existing nuclear plants are outside of rate-base today. You wouldn't
5 build a new one today, but the existing ones, is I think what Rick was
6 getting to.

7 MR. PEREZ: Right. The issue is in non-regulated
8 markets, I think we all are actually in agreement, the big gigawatt size
9 reactors, it's a tough lift. The question becomes in unregulated markets
10 where agility and diversity matters, and let me just be sure that means.
11 That's what all economics is based on. You're able to dispatch at the
12 right time for the right amount of money, and that's where we think
13 there's a real play for non-CO2 generation from an SMR.

14 CHAIRMAN MACFARLANE: Okay, great. Thank you.
15 Commissioner Svinicki.

16 COMMISSIONER SVINICKI: Thank you for your
17 presentations. It really has been interesting, some of the topics are not
18 strictly in our Atomic Energy Act purview here, but it's very interesting to
19 understand these broader dimensions of some of the regulatory issues
20 in front of us.

21 Dr. Kelly, I didn't realize that it had been well over three
22 years since the Commission had met on this topic. That's almost as
23 long since you and I have gotten together to complain about Michigan
24 football, but there's not really a whole lot of good news stories there this
25 season, so B- but to be fair, I think one of the reasons that it might have
26 not been at the top of the Commission's list the last few years is that

1 over the last seven or eight years the timeline of anticipated submittal of
2 designs for review at NRC have slipped pretty consistently out to the
3 right, so it has been something where based on larger things that have
4 happened economically and otherwise, there's been some change of
5 plans in terms of our anticipated receipt of designs for review. But,
6 nonetheless, as Dr. Kelly and others have made clear, there are a
7 number of very important initiatives that we can be engaging in,
8 resolution of issues, other technical work that can be done as that B- as
9 the vendors continue to work on their design submittals.

10 One of the issues that has been worked on is the set of
11 what we call policy issues. Commissioner Burns asked about this, as
12 well. It's been a pretty static list of those issues, one of which is security.
13 I know that the NRC Staff has concluded that the NRC's current security
14 regulations provide a framework within which one could license an
15 SMR.

16 To me, though, the question on the policy issues is a
17 little bit different. The framework that we have for regulating, of course,
18 adopts itself most seamlessly to large light-water reactors because
19 that's what it grew up around, and has evolved to regulate. So, on the
20 policy issues, I might ask, this is a very broad question, but is the
21 community of practice here in terms of defining and putting forward, and
22 resolving policy issues, is the community of practice where you
23 anticipated we would be in the year 2014, or do you think that we've
24 been a bit slow in scoping those issues and getting them resolved?
25 Anyone who would like to respond on that.

26 MR. PEREZ: Yes, I think we have moved the ball

1 forward, Commissioner, relative to some of the policy issues, but the
2 old adage, the proof is in the pudding and eating it. I think it's
3 application. Now, there is some highly innovative ideas on security
4 staffing and security items that are being woven into the design
5 concepts from the start that should allow us to I think really understand
6 if we can appropriately downsize some of the staffing and security, but it
7 has to be hand in hand. So, I think that the B-

8 COMMISSIONER SVINICKI: It's not so much in
9 security, that Part 73 is written in a way that you'd have to kind of
10 regulate by exemption. It's that when we get into the application of it,
11 which as most of us know, the regulatory language is written at a very
12 high level, so you will apply to B- you will basically have a security plan
13 that proposes to comply in a certain method, and so your point is you
14 need to submit one of those plans and get an NRC Staff reaction to
15 really know that that's B- your phrase of the proof is in the doing.

16 MR. PEREZ: That's correct.

17 COMMISSIONER SVINICKI: Okay, so we are B- but in
18 terms of what we can do notionally and generically you feel that we are
19 advancing the ball on the policy issues.

20 MR. PEREZ: Yes, we have. I know at least one of the
21 designers has brought that up, and gotten pretty good engagement with
22 the staff on the concepts.

23 COMMISSIONER SVINICKI: Okay.

24 MR. PEREZ: But that's still just in a very preliminary
25 fashion.

26 COMMISSIONER SVINICKI: And something that's

1 helpful, as you said, specifics are really how we resolve issues. And, of
2 course, we don't have any designs under review right now, but we do
3 have very substantive engagement with the vendors. Design-specific
4 review standards, I know I've been told by the vendor community are
5 extremely helpful in that they aren't regulations, but they give a strong
6 communication of what the NRC Staff is likely to find acceptable or
7 unacceptable in terms of proposals to comply with those regulations.

8 We will hear from the Staff, and I've been aware for
9 some time that they target having a design-specific review standard
10 available 12 months prior to the submittal of the design itself. In talking
11 with designers, I think somewhat not surprisingly, they've indicated that
12 the earlier they could have that knowledge, they could improve the
13 quality and thoroughness of their submittals.

14 The Staff, I think B- I shouldn't speak for them, but I
15 think would rebut well, but the better design specifics you can have for
16 me, the better design-specific review standard I can write. So, there's a
17 little bit of finding a sweet spot here. Would you like to, any of you, like
18 to react about the 12-month target, and whether the community, the
19 regulated community or vendors, what's their view on that?

20 MR. PEREZ: Well, I'll start and be brief. I do think that
21 12 months is imperative. It's my experience, I will say B-

22 COMMISSIONER SVINICKI: Is it insufficient?
23 Imperative sounds like well, we have to at least have it then.

24 MR. PEREZ: That's B-

25 COMMISSIONER SVINICKI: Are their lost
26 opportunities in the quality of the submittal by not having it done earlier?

1 And do you take the Staff's point, that it's difficult for them to develop a
2 high-quality, design-specific review standard?

3 MR. PEREZ: Right. I will say this, I'll be very succinct. I
4 think it is sufficient. My perspective would be, there's a devil in the
5 details in what you just have described, and that is B- and I know the
6 Staff's very aware of this, design acceptance, especially the use of
7 design acceptance criteria in areas that are difficult.

8 COMMISSIONER SVINICKI: Well, I was going to ask
9 about that. The Staff has said that their notional time frames for
10 reviewing an SMR, one of the assumptions is critical that could blow the
11 estimate is minimize the use of design acceptance criteria. And I was
12 going to ask a question, is that reasonable? Is that B- are we going to
13 see a lot more design acceptance criteria than we would for like an
14 AP-1000 or something?

15 MR. PEREZ: It becomes an issue of the level of
16 specificity that you're able to fund and deliver at this part of the process.
17 Let me give you just quick insight. The reason why there was a lot of
18 design specificity on the AP-1000, it was very much tied into providing
19 the economic structure that the supplier did to Georgia Power and to
20 South Carolina Electric and Gas relative to design B- price certainty.
21 So, the question becomes without fundamentally yet a direct customer
22 as to knowing who's going to actually build one of these things, the
23 supply base has to always balance that issue, is how much B-

24 COMMISSIONER SVINICKI: But if you don't have
25 customers that you can identify now, would that lead to a kind of, I don't
26 want to call it a laziness, but a greater willingness to have DAC in there,

1 because your customer is not driving you. They're not saying I've got to
2 make the business case, so you can't just have a box that says we
3 designed something inside this box.

4 MR. PEREZ: I think we have a robust debate with the
5 Staff. There are certain technologies that lend themselves, I would
6 argue, to design acceptance criteria. When we're talking about piping
7 analysis, the state of piping analysis in the country isn't like it is in digital
8 technology on I&C. It's a known entity that is something that I believe, in
9 fact, does lend itself to design acceptance criteria.

10 I recognize that there's differences of opinion on that,
11 so my only comment to you is that's a kind of interaction B- when I
12 stated that we need to have a robust discussion with the Staff, it would
13 be to achieve those things, what are reasonable B- because I am
14 sensitive to the fact that Staff needs to be able to make that
15 determination.

16 The question is, if you have to get down to
17 one-inch-line piping designs, that level of specificity is very difficult in
18 this phase of maturity of the design. That's clearly more in the certified
19 for construction type of phase, that would argue would be in a COL type
20 of discussion.

21 COMMISSIONER SVINICKI: And, again, I really
22 appreciate the discussion of some of the economic questions, not
23 strictly in our wheelhouse here at NRC, but obviously has a huge
24 influence on what will end up in our regulatory sphere, so I think it's
25 really interesting to be informed by that. So, we're having some back
26 and forth about excavation costs are not, I think as one of you put it,

1 maybe it was Dr. Kelly, a litmus test in the economics here in terms of
2 SMRs.

3 One of the things that I do here thematically, and have
4 heard over the course of years is, a litmus test in terms of the
5 economics is going to be the ability to have confidence in the estimated
6 regulatory review time frame. Now, the NRC Staff will begin with a
7 statement, as they should, which is there is no instance in which an
8 estimated time frame is going to compromise safety and their review,
9 and that is as it should be.

10 But that being said, if 39 months is 80 months, my
11 sense as not a business person is that probably blows the business
12 case, but I don't know. Does an overrun of, you know, 20 percent of
13 schedule, or 30 percent of schedule, you know, how much confidence
14 does there need to be in B- if NRC says we will review this in 39
15 months, is 45 a killer, is 80 definitely no-go? I don't know. How will that
16 be monetized in an analysis?

17 MR. IANNO: I think I started off my presentation talking
18 about the process for the licensing of the new AP-1000 that are coming
19 on line. And I think that will be the litmus test on how that works.

20 Now, obviously, there is some B- there's B- in
21 developing the technology, there is some incremental risk associated
22 with that. And, therefore, all of that needs to be factored in, in analyzing
23 the cost of capital. And, therefore, I do think that it's going to take some
24 of these B- I think in some of these early projects that B- which aren't
25 necessarily going to be economic if they're going to get built. We'll all
26 have a learning process associated with that, and then we'll all get more

1 comfort around the time frame for the review. But I think, certainly, the
2 public markets couldn't take that open-ended risk around how long a
3 review process is going to take.

4 MR. PEREZ: I would just add one thing. Keep in mind
5 what we're talking about. This is a reactor that has significantly less
6 source term, significantly less complexity, significant, 60-70 percent
7 less piping, much more simpler levels of design safety that are orders of
8 magnitude more than any other operating units in this nation. So, the
9 reason I say that to you, Commissioner, is I would think that you add
10 that, you add the experience we had, the ability from the other reactors
11 that have been designed, and we've got to be able to hit those dates.

12 It's somewhat a credibility issue from both a design
13 perspective, and also from a regulator that, you know, the ability to
14 bring a safer reactor into the public domain, and do it in efficient fashion
15 I think is an important test for us to be able to demonstrate that we can
16 deliver these kind of new technologies the country needs.

17 COMMISSIONER SVINICKI: Again, I appreciate all of
18 your insights. Thank you, Chairman.

19 CHAIRMAN MACFARLANE: Okay. Commissioner
20 Ostendorff.

21 COMMISSIONER OSTENDORFF: Thank you,
22 Chairman. Thank you all for being here today.

23 I want to kind of pick up B- let me start off with where
24 Commissioner Svinicki was in the latter part of her questioning. In my
25 discussions with Glenn Tracy and Mike Mayfield, and Stu Magruder out
26 in the audience there, I've been impressed and encouraged by the

1 extent of the prelicensing application meetings between our Staff and
2 industry, vendors, et cetera. I think there's been a lot of dialogue which
3 has been extraordinarily helpful. And I think, Rick, you made some
4 commentary on that with respect to your experience with the AP-1000,
5 which I thought was a key point.

6 What I hear from our Staff, and like Commissioner
7 Svinicki, I've not be here as long as she has been. We've been
8 watching this now for some period of time. I know, four and a half years
9 for me since I got here in the Spring of 2010, the sense I have from our
10 staff, and when I ask really Rick and John to respond to this. The sense
11 I have from our staff is that NRC Staff has gone about as far as they can
12 go absent an actual detailed written application for an SMR design
13 certification. Agree or disagree?

14 DR. KELLY: Well, I'm not in the business of B-

15 (Simultaneous speech)

16 COMMISSIONER OSTERDORFF: And it's framed
17 because I continue to hear in some of the trade press, and other
18 speaking events that we participate in; well, there's this regulatory
19 uncertainty. There's this big policy question, and I'm not being
20 defensive here, but I do believe that our Staff has really done about as
21 far as they B- gone as far as they can go without saying okay, here's a
22 detailed design. So, that's B-

23 DR. KELLY: I guess what I've heard is that, you know,
24 have we reached the point of diminishing returns on the pre-application
25 discussions. I think not. I think there's always some opportunity there.
26 We're still looking to be a couple of years away, so continuing the work

1 on the generic, on the design standards for the B- NuScale has not
2 been completed, so that's B- the B&W one has been put out so there's,
3 I think B- but continuing that kind of work, and continuing the
4 discussions on the generic issues, it has to continue because they're
5 not going to go away in two years time, I don't think.

6 In terms of the design, you know, specific reviews,
7 that's B- you know, it's going to take time. It takes time to meet the
8 expectations, and I think we have to wait and see on it.

9 COMMISSIONER OSTENDORFF: Okay. Rick?

10 MR. PEREZ: Yes, I'd like to bring you back to
11 something which I think has a lot of logic, and even though I in the
12 previous reactor regime, we may not have followed as exactly as
13 industry. I think so far what we've put in the queue relative to the SMR
14 helps answer your question.

15 The initial targets are for early site permits in the end of
16 2015. DCA Design Certification Applications in the end of 2016 followed
17 by COLs in the 2017 time frame.

18 The reason I say that to you, I do think they provide a
19 progressive graded type of approach to dealing with the issues you
20 talked about. So, very pointed in our case. The Tennessee Valley
21 Authority's application for early site permitting of Clinch River, we
22 decided to take the ball on the concept of appropriately sized EPZ. And
23 that clearly, and I think the Staff would agree, that is something that's
24 going to require strong engagement with the Staff. So, I do think there's
25 still much more discussion on that.

26 COMMISSIONER OSTENDORFF: Just let me

1 interrupt, because that's a great example. It's my understanding that
2 NRC is still waiting on a mechanistic source term calculation from a
3 licensee here. Is that a fair statement?

4 MR. PEREZ: It is a fair statement, but we've discussed
5 this to be sure that we have the right methodology when we provide that
6 to you.

7 COMMISSIONER OSTENDORFF: Okay.

8 MR. PEREZ: It's not super high science.

9 COMMISSIONER OSTENDORFF: No, I understand.

10 MR. PEREZ: We believe that it's very doable. We want
11 to be sure going back that we deliver a product that Staff is confident in.
12 So, to answer your question, you're right, but the B- how that's framed,
13 how that dovetails with policy that has to come to the Commission.
14 Those are the kind of discussions we've having.

15 COMMISSIONER OSTENDORFF: Okay, thank you. I
16 want to turn to Anthony. I really, like Commissioner Svinicki, I think
17 there's a lot of value in us having awareness of the business economic
18 environment even though it's not "necessarily in our direct responsibility
19 as a nuclear safety regulator." I note you made a comment that new
20 nuclear absent being present in some type of rate-based environment
21 or long-term power purchase agreements that some new construction
22 is not likely.

23 I have a couple of questions. I'm going to maybe two or
24 three questions and then let you respond however you'd like to,
25 because I think it's helpful to get these out on the table. So, one
26 question deals with absent some change in carbon emission policy in

1 this country, absent some premium value being placed on 24/7 base
2 load generation, is it likely that there will be a cost competitive argument
3 to be made for SMRs? That's one question.

4 And the second is, you know, looking at natural gas. Is
5 there some magical number for long-term natural, shale natural gas,
6 natural gas future prices above which gas price that looks like this is
7 more of an economically viable technology to consider? So, I'll stop
8 right there and let you digest those.

9 MR. IANNO: Sure. And you hit on the key issue, gas
10 prices are lower than we all expected them to be, and the abundance of
11 gas to be found leads to a belief that gas prices will stay low for a
12 significant period of time. So, clearly, to the extent B- unless that
13 changes, it's uneconomic for us to think about SMRs purely for
14 economic reasons. There obviously are going to be other policy
15 reasons. There might be changes in emissions, and there might change
16 in policy around capacity, but today there's nothing that points to SMRs
17 being economic. But I think clearly what the people on this side of the
18 table are thinking about is okay, well, if we wait until we have those
19 economics to support it, then we're too late. Then we're talking about
20 another 10 years before we were able to deploy a significant amount of
21 this, so I think everyone here is trying to figure out how do you move the
22 ball forward while we have this type of environment? I think that gets
23 maybe to your question earlier about are things developing as quickly
24 as we would have expected? Well, there isn't obviously the urgency for
25 that development, which I think slowed down a little of the development
26 side of it, as well, you know. And that's not necessarily a bad thing, it

1 allows us to do things more carefully and without a panic approach, and
2 safely which I know we're all interested in, so it's not necessarily a bad
3 thing, but today we don't have those signals.

4 Yes, there is a gas price, it's significantly above where
5 we are today. And I think more importantly, it has to be a long term gas
6 price, and that's the problem with relying on purely markets, is they're
7 volatile. And, you know, as Rick was talking about before about
8 profitability, profitability on a lot of technologies happens during those
9 real peak periods. But you can't go out and build a 40-year asset based
10 on polar vortex and the ability to make profit in a three-month period in
11 the beginning of 2014.

12 COMMISSIONER OSTENDORFF: Okay. I'm going to
13 stop you right there because I want to ask you another question, but I
14 want to get B- I'm going to ask John also to respond to this. So, John
15 Kelly, Pete Lyons, Secretary of Energy have done a lot of investment in
16 nuclear reactor technology. And I really commend John his efforts with
17 his colleagues at DOE. And the funding opportunities that have been
18 provided already for SMR, or license development, R&D have been
19 significant. Some in the private sector could make the case that that's
20 not enough, that if we really are trying to achieve the clean energy
21 goals, one could make the argument from a policy standpoint that the
22 U.S. Government needs to further, and perhaps invest in X number of
23 SMR applications, and commitments to build actual SMRs in different
24 places around the country.

25 Does the private sector have a view towards what
26 B- whether there should be an expanded U.S. Government role in

1 moving SMRs forward above and beyond what's already been done? I'll
2 ask both of you all to respond, whoever you want to.

3 DR. KELLY: Well, let me just tell you what we're
4 thinking. You know, the first big risk is the regulatory risk, and there's an
5 implied financial risk associated with that. That's what we're tackling
6 first. And until we get a design application submitted, you know, we'd be
7 hesitant to go out and start proposing new incentives for technology
8 that's still not even gone to the first phase. So, we think once it's in the
9 regulatory review, once the application has been accepted for review, I
10 think that's a big hurdle. It points the direction positively. It will, I think,
11 point the financial markets, at least give them an indicator. And then I
12 think we can have that serious discussion about what's out there. The
13 Energy Policy Act outlined set of incentives that are working both for
14 nuclear and other renewable energies, and the question is what will we
15 need in 2017-2018 time frame looking forward to what the country will
16 need in 2025 for deployed technology. So I think right now we're
17 beginning the discussions with various think tanks on that subject with
18 the idea that the formulation of the policy to meet our ultimate objectives
19 is going to really B- in terms of when we would want to make those
20 proposals, it's still a couple of years away.

21 COMMISSIONER OSTENDORFF: Do you have a
22 response, Alex?

23 MR. GLASER: Maybe one quick note related. I showed
24 this map with these coal plants that are, you know, shutting down in the
25 next few years because new EPA regulations will kick in. I mean, these
26 are, you know, 250 sites or so that will be uniquely suited for SMRs.

1 They have real access, they have water, they have transmission and so
2 on. The big challenge really for SMRs will be B- I mean, if SMRs are not
3 on the table they will just transition to gas. Right? Most of these sites,
4 and the challenge will be, or the question will we have SMRs kind of
5 available to kind of capture some of the market which, quite frankly, is a
6 historic opportunity. I don't think we're going to see many of those
7 coming more frequently. That's the big challenge in terms of timing, you
8 know, 2018, 2020, that's where the transition occurs.

9 COMMISSIONER OSTENDORFF: Okay.

10 MR. IANNO: And I would just add, clearly the private
11 sector has a view, but I don't think there's a uniform view. I think that the
12 private sector clearly hasn't focused on SMRs being the solution, but I
13 think the private sector is focused on the fact that yes, with all the
14 renewables that we're building that we do need some incentive for
15 stable base load generation to support that in order to help the
16 sustainability of the grid. So, I think there's lots of different opinions out
17 there, but there clearly is a consensus I think for strong signals going
18 forward.

19 COMMISSIONER OSTENDORFF: Yes. Thank you all,
20 thank you, Chairman.

21 CHAIRMAN MACFARLANE: Okay. Commissioner
22 Baran.

23 COMMISSIONER BARAN: Thanks. Let me add my
24 thanks for being here, appreciate it. The conversation so far is naturally
25 focused, I think on light-water reactors SMRs. Dr. Kelly, I wanted to ask
26 you just for a minute about non-light-water reactor SMRs.

1 The NRC Staff has said it would be a challenge to
2 consider a non-light-water reactor SMR design application in the next
3 five years. Based on your interactions with potential applicants, when
4 do you think NRC could realistically see a non-light-water reactor SMR
5 application?

6 DR. KELLY: Well, certainly, the vendors c-the
7 designers have their views out there right now. We think that there's
8 some long poles in the tent, fuel qualification for advanced reactors
9 which involve long life fuel, or fuel exposure to both neutrons and
10 different coolant chemistries. You know, it could take several years,
11 maybe even a decade for fuel qualification, so you know absent that,
12 you would probably be hesitant to try to license a reactor where you
13 don't have a qualified fuel. But that's just sort of one metric that I use.

14 Certainly, some of the vendors such as TerraPower
15 are understanding that, and are beginning those programs to do that
16 testing, but it still takes - it is very difficult to accelerate that testing, so
17 it's basically a year by year kind of thing. But the - so, that's
18 progressing, so that's one aspect of it.

19 I think when NRC says that they're ready, you know,
20 they've told us that they could review by exception, you know, take
21 exceptions to the current regulations. That's certainly a possible thing. I
22 think that introduces some uncertainty in the process, so it's desirable
23 to try to look at the design criteria, general design criteria, safety design
24 criteria, and look at how do you keep, basically, the essence of the
25 criteria while putting it in a format that allows someone with
26 non-light-water reactor technology to respond to that appropriately. And

1 that's the activity that we're engaged at the NRC, and that's I think in its
2 second year, and it's probably a couple of more years before we at least
3 get that we'll call small step forward in terms of that.

4 And then there's a third aspect of just the technologies
5 in general. These have been deployed in a few kind of B- you know, on
6 a handful of basis, so we've built sodium fast reactors in this country,
7 elsewhere, high temperature gas reactors. It's been several years, so
8 there's a general lack of familiarity with the technology, so there's really
9 an issue with the human capital resource development to bring people
10 in to both the industry and the regulatory side that are knowledgeable
11 about the technology, and move that forward.

12 So, on our part, on the DOE's part, we've been
13 investing heavily in the universities, putting about 20 percent of our
14 R&D funding into the university program to try to train the next
15 generation of scientists, engineers, and a lot of that work is directed
16 towards advanced reactor technologies. So, we think the time is
17 coming, that's why we're making the investments now. But as I said, it's
18 probably five, sorry, 10 years before I would say that we've done
19 enough testing that you could really seriously consider that, but I think
20 the vendors would probably be more optimistic than I am.

21 COMMISSIONER BARAN: Mr. Perez, do you have
22 anything to add to that?

23 MR. PEREZ: No. I think the main focus I can tell you in
24 the industry in the short term, that being the next I would say 12 to 60
25 months is on light-water reactor technology. I think just to jump on Dr.
26 Kelly's point, I think in general we see the support of advanced reactors

1 very much hand in hand with whole concept of supporting STEM
2 B- you know, science, technology, and engineering type of capabilities
3 for the nation. So, don't lose that aspect of it. It's really an investment in
4 that depth and that capability for the future.

5 COMMISSIONER BARAN: Dr. Glaser, you discussed
6 in your presentation reactors with lifetime cores. And do you see any
7 renewed interest in the U.S. nuclear industry with respect to lifetime
8 cores?

9 MR. GLASER: Let me just maybe back up a minute. In
10 the beginning when I B- in my opening remarks, I mentioned that in my
11 group, we focus mostly on non-proliferation aspects. Nuclear has
12 several key questions, safety is one of them, nonproliferation is another
13 one. We happen to work on this. And if you believe that nuclear will or
14 should make a big difference in mitigating climate change in the future,
15 you would have to deploy a lot of nuclear power, not only domestically
16 but internationally.

17 And if you also believe that SMRs kind of will be part of
18 that picture, and if you do the numbers, there will be hundreds, or
19 possibly thousands of them. And so the question really is what type of
20 technology do you want to deploy. And kind of the worst thing you want
21 to happen is it turns out these SMRs that we exported were kind of
22 proliferation prone and involved a lot of, you know, separated fissile
23 material and so on, which is why, you know, we always try to
24 emphasize, let's go back and look at these concepts, lifetime cores
25 without processing of fuel and maybe these hub and spoke
26 architectures. Again, I understand this is not typically what B- for the

1 domestic U.S. market. That's not the key aspect of SMR development,
2 but it may be one that is relevant for the export market. And, again, the
3 U.S. has been the leader in many of these issues, non-proliferation
4 policy. And I think it would be important to kind of keep that part in mind.
5 I was pleased to hear from Dr. Kelly that DOE does put quite some
6 emphasis on this type of technology.

7 COMMISSIONER BARAN: Mr. Perez, what are your
8 thoughts about that, lifetime core, is that something that B-

9 MR. PEREZ: I would be B- come in line with Dr.
10 Glaser's comments. I think it's B- the market in the United States would
11 be very, very limited, Commissioner. I know there has been some
12 discussions in very, very remote areas, but I think that's a one-off, so
13 my guess would be, as Dr. Glaser indicated, probably outside the
14 United States.

15 COMMISSIONER BARAN: Okay. You mentioned that
16 successful large reactor licensing programs provide a regulatory policy
17 roadmap, that that's an important thing here.

18 MR. PEREZ: Right.

19 COMMISSIONER BARAN: The NRC Staff is
20 proposing to address certain key regulatory and technical issues, such
21 as operator staffing, decommissioning funds, and security with
22 exemptions. What are the industry's thoughts about that exemption
23 approach?

24 MR. PEREZ: Well, I think it's workable, especially for
25 the first tranche of these reactors. Obviously, we would hope that as the
26 exemption processes occur that there would be more codification of

1 those things, but in general I think we can live with that type of structure.
2 I just can't emphasize, I must sound like a broken record. I think it does
3 require a lot of interaction with the Staff to be sure we understand what
4 good looks like in that exemption area, and to be transparent to the
5 public. I mean, let's be clear, transparency is key in this kind of activity,
6 so I would generally tell you that if there is one thing that clearly came
7 out of the projects at Summer and Vogtle was that whole concept of
8 transparency. We had a huge amount of debates with the
9 Commissioners in this room about the amount of public interaction, but
10 it's clear, and I'm not putting myself in your shoes, but when we had the
11 public hearings on Vogtle and Summer, the fact that there was a huge
12 of amount of public discord added unbelievable value. I remember
13 talking to the former Chairman. He equated public discourse with the
14 public's perception of safety. So, just to make a point, I will just
15 generally tell you that was a lesson that I learned, and I think we need to
16 carry that going forward.

17 COMMISSIONER BARAN: Following on that point,
18 one of the major issues, policy, regulatory issues on SMRs is the B- is
19 whether emergency planning zones for SMRs should be scalable. And
20 one could easily imagine how that would be a very controversial thing
21 among the public.

22 Are folks in the industry thinking about how the public
23 will react to that kind of approach, and whether it could impact
24 community interest in having SMRs located in their communities?

25 MR. PEREZ: I'll take a shot at it. The answer to your
26 question is yes. I mean, but it goes hand in hand with the cost of

1 increased safety and increased confidence. They don't B- there's no
2 way to separate the two ideas. And it clearly is an issue of the ability to
3 demonstrate that the community that's going to be accepting the
4 potential project has that security in the safety of the design. So, I'm
5 actually very confident that we can do that. I mean, it was B- I can just
6 tell you, I mean, it was always a delicate balance, but the Part 52
7 process and, in particular, on the new AP-1000s that are being built in
8 Georgia and South Carolina, we spent a lot of time with the public telling
9 them why, one, the existing reactors at both Vogtle and Summer were
10 safe, but why the addition of two new reactors at those sites actually
11 didn't decrease their safety, but actually provided a confidence level for
12 the long term for stewardship of those sites. That's another 60 years of
13 operation. So, Commissioner, I'm not telling you there won't be
14 challenges, there will be in the public realm, but I'm very confident that
15 we can demonstrate and make the public confident that those units are
16 safe, and that they can feel comfortable with them being there.

17 And to Dr. Glaser's point, I think the engagement of
18 non-CO2 generation in some of those regions where they could
19 potentially replicate big carbon emitting type of facilities is actually a
20 positive environmental statement for those localities and those
21 communities.

22 COMMISSIONER BARAN: Thank you.

23 CHAIRMAN MACFARLANE: Any further questions?

24 No, all right. All right. Well, I thank everybody for coming, some of you
25 for traveling a distance to get here, and appreciate all your thoughts and
26 the discussion, and we will now take a five-minute break.

1 (Whereupon, the above-entitled matter went off the
2 record at 2:38 p.m., and resumed at 2:45 p.m.)

3 CHAIRMAN MACFARLANE: Well, we've got a full
4 compliment here, don't we?

5 MR. SATORIUS: Well, you've got an extra one now,
6 so we had to bring a couple of extra ourselves.

7 CHAIRMAN MACFARLANE: Yes, you're just trying
8 to, you know, protect yourselves here.

9 Now, it's seven to five, I don't know.

10 All right, well, we will start the afternoon's second panel
11 when we'll turn things over to Mark Satorius, our Executive Director of
12 Operations.

13 MR. SATORIUS: Thank you, Chairman, and good
14 afternoon and good afternoon, Commissioners. And to Commissioner
15 Burns on behalf of the staff, I welcome you to the Commission. It
16 rounds it out to an even five, now all the seats are filled. And it's good
17 to see that you were busy at work at your first Commission meeting less
18 than three hours after having been sworn in.

19 COMMISSIONER BURNS: Thanks.

20 MR. SATORIUS: So, welcome, sir.

21 COMMISSIONER BURNS: Thanks.

22 MR. SATORIUS: The Commission was last briefed
23 on the topic of small modular reactors, or SMRs, in March of 2011, as
24 you may have heard from the earlier presentation.

25 At that time, the staff was actively involved in licensing
26 activities with a very strong support from the Office of Nuclear

1 Regulatory Research, the Office of Nuclear Security and Incident
2 Response, the Office of General Counsel and the Offices of
3 International Programs.

4 Since 2011 in that briefing, those offices have
5 continued to provide support to SMR activities to include infrastructure
6 development and pre-application interactions.

7 I would like to acknowledge the dedicated efforts and
8 the accomplishments of the Office of New Reactors and also it included
9 the Division of Advanced Reactors and Rulemaking who are
10 represented at the table here today.

11 Today's briefing will provide you with an update of the
12 activities that demonstrate the staff's readiness to review light water
13 SMRs.

14 Today's briefing will also touch on the strategic
15 planning for non-light water reactors.

16 I will now turn the presentation over to Debbie Jackson,
17 the Deputy Director of the Division of Advanced Reactors and
18 Rulemaking. Debbie?

19 MS. JACKSON: Thank you, Mark. Good afternoon
20 Chairman and Commissioners.

21 We are here today to inform you of the Office of New
22 Reactors readiness to conduct safety and environmental reviews for
23 small modular reactor applications under 10 CFR 50 and 10 CFR 52.

24 As Mark stated, this briefing will include light water
25 reactor, small modular reactor designs and briefly discuss strategic
26 planning for non-light water reactors.

1 The Division of Advanced Reactors and Rulemaking
2 has successfully completed a number of tasks since our last briefing.
3 These tasks include development of a baseline review schedule for
4 small modular reactor designs, completion of interim staff guidance for
5 light water reactor review and international small modular reactor
6 regulator forum and a comprehensive report to Congress on advanced
7 reactors.

8 Today's briefing will focus on three main areas,
9 licensing, guidance and policy. With me at the table today are the
10 Division of Advanced Reactor and Rulemaking's branch chiefs
11 responsible for this work, Stewart Magruder, Joe Colaccino and Anna
12 Bradford.

13 The branch chiefs will discuss their role in each of
14 these three areas to demonstrate that NRO has the infrastructure in
15 place to conduct reviews of small modular reactors.

16 I'd also like to state that in late summer of 2014, the
17 Office of New Reactors staff completed SECY-14-0095 entitled Status
18 of the Office of New Reactor Readiness to Review Small Modular
19 Reactor Applications. That SECY became public in August 2014.

20 With that, I'd like to turn the presentation over to
21 Stewart Magruder.

22 MR. MAGRUDER: Thank you, Debbie, and good
23 afternoon Chairman and Commissioners.

24 I will spend a few minutes now providing an update on
25 staff activities with some of the SMR vendors, ideas about improving
26 the timeliness of design certification reviews, our interactions with the

1 first utility that has discussed building SMRs and our collaborations with
2 international partners on SMR issues.

3 Slide five, please?

4 Consistent with the Advanced Reactor Policy
5 Statement, we have engaged the SMR designers in effective
6 pre-application activities.

7 The two designers we've had the most engagement
8 with are NuScale and mPower. As Dr. Kelly mentioned, these
9 designers are receiving funding from DOE and we have given them top
10 priority.

11 On average, the staff has met with both designers once
12 a month for the last three to four years.

13 One of the results of these meetings is that we have
14 mutually identified some critical licensing, policy and technical issues
15 that we'll need to develop positions on before we begin the reviews.
16 Anna will cover several of these issues in her presentation.

17 Both of these designers have also done testing over
18 the last several years and the staff has taken advantage of the
19 opportunity to inspect and observe some of the most important tests.

20 The staff has gained a lot of knowledge of the designs
21 over the last several years from these pre-application interactions.

22 Per Commission direction, the staff has been
23 developing individual design specific review standards, or DSRs, for
24 the mPower and NuScale designs.

25 These DSRs will be used by the staff in lieu of the
26 standard review plan and will allow the staff to conduct a more

1 risk-informed and integrated review. Joe will talk about the DSRSs
2 and other review guidance in his presentation.

3 I believe that the process of developing these DSRSs
4 has been very helpful to the staff and have provided more insights into
5 the designs and better interaction with the designers than we have had
6 in previous pre-application interactions.

7 Next slide, please?

8 We expect that the first design certification, or DC
9 application, that we'll receive is from NuScale. They've told us their
10 planning to submit their application in the second half of calendar year
11 2016.

12 As I mentioned, the staff has been drafting the DSRS
13 for the NuScale design. We expect to publish a draft version for use
14 and comment next summer, more than a year before the expected
15 application.

16 Until their announcement in April of 2014, the B&W
17 mPower design was expected to be the first SMR DC application. The
18 staff published a draft DSRS for mPower in May 2013 and received
19 nearly 2,000 comments from the industry and the public. The staff
20 continues work to resolve public comments and reflect changes in the
21 DSRS documents.

22 We expect to issue the final mPower DSRS sections
23 prior to receipt of the mPower application but we are uncertain of that
24 date.

25 Holtec has had very few high level discussions with the
26 staff about their design. They have told us they are not ready to

1 engage in pre-application activities and they're uncertain of the
2 submittal date for their DC application.

3 And Westinghouse had previously expected to send
4 NRC an application for DC earlier this year. We have had some
5 pre-application activities with them. However, after reassessing the
6 marketplace, they decided to put their SMR work on hold and we are
7 also uncertain of the submittal date for an application from them.

8 Next slide, please?

9 The NRC recognizes the need for providing timely
10 application reviews, however, safety remains the NRC's top priority and
11 it will not be compromised to achieve schedule success.

12 Using lessons learned from recent reviews for large
13 light water designs, and after reviewing potential time saving
14 suggestions, NRO has developed a best-case baseline review
15 schedule for SMR DC applications under optimal conditions.

16 The traditional six phase review model shown here
17 was determined to continue to provide the best review framework.
18 This 39-month schedule includes the six phase activities and
19 rulemaking.

20 As we have said before, the staff's acceptance review
21 must first conclude that the vendor's application is complete and
22 technically sufficient to conduct the full DC review before the review can
23 begin.

24 In addition, as Joe will mention, the staff has updated
25 guidance for acceptance reviews and has demonstrated that it will
26 complete the acceptance review in two months.

1 Next slide, please?

2 This optimal schedule is based on critical assumptions
3 and key stakeholder actions that must be satisfied. Some of the
4 assumptions are, number one, all Requests for Additional Information,
5 or RAIs, are issued and answered by the end of six month long phase
6 one.

7 Number two, the DSRS is complete at the time of
8 docketing and results from productive pre-application interactions.

9 Number three, NRC has developed positions at all
10 critical licensing, policy and technical issues prior to docketing.
11 Appropriate guidance to the staff reviewers is also in place.

12 Next slide, please?

13 Number four, the Advisory Committee on Reactor
14 Safeguards review duration assumes that the Safety Evaluation Report
15 is complete with open items for phase three reviews.

16 And, number five, the use of the design acceptance
17 criteria, or DAC, is minimized. Related to this, DC's supplemental
18 applications are for addressing open items only. That is, an applicant
19 design freeze is in effect.

20 Satisfaction of all of the baseline assumptions will be
21 critical to achieving timely review success.

22 Next slide, please?

23 TVA is currently planning to submit an early site permit
24 for ESP application for the Clinch River site near Oak Ridge,
25 Tennessee in September 2015. TVA had planned to submit a
26 construction permit application for up to four mPower SMRs there.

1 However, this plan changed as a result of the April 2014 decision by
2 B&W.

3 The ESP is not expected to use a specific design but
4 rather bound all four of the SMR designs that I have mentioned.

5 The staff is actively observing TVA's site preparation
6 activities and has held several well-attended public meetings on
7 pre-application topics such as subsurface characterization and their
8 approach to the ESP application.

9 This picture shows Diane Jackson, the chief of one of
10 the geoscience and geotechnical engineering branches at NRO
11 observing core borings at the Clinch River site.

12 The staff has also begun our normal extensive
13 environmental pre-application activities with TVA.

14 Next slide, please?

15 The NRC has encouraged collaboration with our
16 international partners on SMR and helped established a forum for SMR
17 regulators. The goal of the forum is to promote understanding of each
18 member's regulatory views on common issues to capture good
19 practices and methods, enabling regulators to inform changes, if
20 necessary, to their requirements and regulatory practices.

21 This photo shows attendees at a dialogue forum on
22 SMR issues held at the IAEA in July of 2013.

23 Next slide, please?

24 The objectives of the forum are to share regulatory
25 experience among forum members and strive to reach common
26 understanding on discussed issues, to document and disseminate the

1 results of these discussions and to interact with key stakeholders where
2 possible to effectively inform forum activities.

3 Next slide, please?

4 Within a two year pilot project, the forum will address
5 the following issues for both light water and non-light water SMR
6 designs, emergency planning zone signs, defense in depth and grading
7 approaches to reviews.

8 Besides the United States, countries that have
9 expressed interest in participating in the forum are Canada, China,
10 France, Finland, Germany, Korea, Russia and the United Kingdom.

11 This concludes my remarks and I would now like to turn
12 the presentation over to Joe.

13 MR. COLACCINO: Thank you, Stu and good
14 afternoon.

15 As you know, the NRC produces a tremendous amount
16 of guidance for our applicants and staff to use in the preparation and
17 review of new reactor applications.

18 Our current guidance is sufficient to conduct the review
19 of an SMR related application. We continue to update and optimize
20 our guidance to facilitate a timely review of applications related to small
21 modular reactor designs.

22 Please turn to slide 15.

23 A number of guidance products have been completed
24 to support SMR reviews. As Stu said earlier, a draft of the DSRS for
25 the generation mPower design was completed in May of 2013. This
26 draft included significant new guidance for applicants such as pilot of

1 guidance for conducting digital instrumentation and control reviews.

2 This DSRS would have been completed had the
3 vendor not discontinued pre-application interactions.

4 In January of 2013, a new introduction section was
5 added to the light water reactor standard review plan, NUREG-0800
6 also referred to as the SRP which provides guidance on the use of the
7 SRP for SMRs, included a method to risk-inform the application review.

8 Regarding the environmental reviews, the staff issued
9 two interim guidance documents in September of 2014. The first
10 provides updated guidance based on new reactor reviews conducted
11 over the last several years for the applicants to prepare environmental
12 reports for combined license, early site permit applications and for the
13 staff to prepare and submit an environmental impact statement.

14 The second provides specific guidance for an early site
15 permit or combined license application that references a light water
16 small modular reactor design.

17 Finally, the staff completed just last month an office
18 instruction to support the pre-application readiness assessment of the
19 safety portion of an early site permit, design certification and combined
20 license application. This readiness assessment is planned to take
21 place approximately six months before the submission of an application
22 and is voluntary. We plan to make this instruction public in the near
23 future.

24 Next slide, please?

25 The baseline document of any DSRS is this SRP.
26 The Office of New Reactors is responsible for updating the SRP. A

1 major revision to the SRP was issued in March 2007 to support the
2 review of large light water reactor applications submitted under 10 CFR
3 Part 52.

4 Since the SRP provides review guidance for both
5 operating and new reactors, NRO coordinates updates with both the
6 Offices of Nuclear Reactor Regulation and Nuclear Security and
7 Incident Response.

8 The approximately 4,500 page, 19 chapter SRP
9 contains over 300 individual review sections. It should also be noted
10 that most SRP sections reference one or more regulatory guides which
11 are managed by the Office of Research. It is not efficient to update the
12 SRP all at once, instead it is updated by section, groups of related
13 sections or entire chapters.

14 Each draft package is noticed in the Federal Register
15 for public comment. Final sections are posted on the NRC public
16 website.

17 During this process, we may also have public
18 interactions on proposed updates to the SRP. For example, we have
19 had a number of public meetings this year on revising the guidance for
20 staff review of proposed inspections, tests, analyses and acceptance
21 criteria, or ITAAC, which are unique to the Part 52 licensing process.

22 For the two DSRSs that the staff is engaged their
23 respective applicants on during pre-application, the staff determines
24 which SRP sections will be superseded by a corresponding DSRS
25 sections or used in their entirety.

26 For the draft mPower DSRS, two-thirds of SRP

1 sections have been either superseded by DSRS sections or omitted
2 because the design does not contain the specific features that are
3 covered by the SRP.

4 Regarding the NuScale DSRS, slide 16 shows that
5 today, approximately half of the 256 sections that could comprise the
6 staff guidance for the NuScale review are either updated SRP sections
7 or drafted DSRS sections ready to go for public comment.

8 The completion of the draft NuScale DSRS is an NRO
9 safe closure item for fiscal year 2015. As the staff continues its
10 pre-application interactions with NuScale, it is expected that the mix of
11 DSRS and SRP sections will change.

12 Next slide, please?

13 As I stated previously, the staff continues to engage
14 NuScale in the development of a DSRS for their design. We anticipate
15 that the development of this DSRS will be less resource-intensive
16 because of the experience the staff gained with the development of the
17 mPower DSRS.

18 The staff is also close to completing an Office
19 Instruction to conduct acceptance reviews. The Office Instruction
20 incorporates in part the assumptions used to support the optimum
21 39-month review schedule discussed earlier for an SMR design
22 certification.

23 It also incorporates insights gained from the
24 acceptance review of the Korea Hydro Nuclear Power APR-1400
25 Design Certification Application. This acceptance review Office
26 Instruction will be used by the staff to determine whether to docket any

1 new reactor license application received by the NRC. We plan to
2 make this instruction public shortly after its completion.

3 Next slide, please?

4 One of the actions from the licensing lessons learned
5 report, which was referenced in the September New Reactor Business
6 Line Commission meeting with the Commission is to update the
7 combined license application regulatory guide, or Reg Guide 1.206 for
8 light water reactors.

9 Presently, we are updating and expanding the content
10 of the guide. We are adding a more complete standard format and
11 content section that is based on what the industry design center
12 working groups developed for the submittal of design certification, early
13 site permit and combined license applications in 2008.

14 This will ensure that applications are more consistent
15 and that guidance for electronic submission of applications is updated.

16 We are expanding the policy and regulatory topic
17 section to include guidance on how to submit an application that uses
18 the DSRS as well as the guidance on readiness assessments and
19 acceptance reviews discussed earlier.

20 Finally, we are updating the Final Safety Analysis
21 Report portion to incorporate the lessons learned from our large light
22 water reactor reviews. One of the techniques we are using to inform
23 our update is an extensive review of the questions we asked on those
24 reviews and determining whether our application guidance needs to be
25 updated or enhanced.

26 We have already begun planned interactions with the

1 industry on the update of Reg Guide 1.206.

2 Next slide, please?

3 As I stated earlier, we are ready now to review an SMR
4 related application with existing guidance, whether it be a design
5 certification, early site permit or combined license application.

6 The staff guidance is being updated to incorporate
7 lessons learned from large light water reactor reviews. We are
8 optimizing the guidance needed to support an SMR related application
9 and timing our activities based on the applicant's submittal schedules
10 that are currently known to us.

11 For example, we have been informed that NuScale's
12 design certification application is scheduled to be submitted to the NRC
13 in the second half of 2016. By that time, we will have completed the
14 NuScale DSRS.

15 In addition, any update of SRP sections that are
16 identified in the NuScale DSRS as "use as is," will be finalized six
17 months before the application is scheduled to be submitted to the NRC.

18 We will also ensure that necessary updates to
19 regulatory guides referencing in the DSRS and SRP are coordinated.

20 Finally Reg Guide 1.206, including the Appendices that
21 support a design certification review will be issued as draft for use and
22 comment to facilitate the preparation of the NuScale design certification
23 application.

24 The staff will continue to engage with the prospective
25 applicants to keep informed of their of application schedules and adjust
26 our plans to support preparation of staff and applicant guidance as

1 necessary.

2 I would like now to turn the presentation over to Anna.

3 MS. BRADFORD: Thank you.

4 Slide 21, please?

5 As you've heard, the staff has been planning for SMR
6 applications for several years now and we've used that time to make
7 progress on many difficult technical and policy issues.

8 In SECY-10-0034 in 2010, the staff identified 17 issues
9 that we planned to review to determine whether changes to the
10 regulatory framework or to NRC approaches would be needed.

11 These issues included emergency planning zone size,
12 control room staffing levels, security approaches, annual fees and
13 licensing of multi-modules.

14 After evaluation, several issues were determined to be
15 adequately handled under current regulations and guidance. Other
16 issues are currently still being actively addressed internally and with
17 potential applicants.

18 This slide shows a partial listing of some of the
19 publically available documents that discuss the progress and
20 conclusions that we've made on each of those issues.

21 The current status of those 17 issues are also each
22 summarized in the recent SECY paper that we sent to the Commission
23 regarding our readiness to review SMR applications SECY-14-0095.

24 Next slide, please?

25 Now, I'll individually cover four major subjects that
26 have been characterized by industry as being critical to deployment of

1 SMRs.

2 The staff has assessed all of them to ensure we have
3 the framework in place to protect public health and safety.

4 Two of them are now essentially closed in terms of not
5 needing any additional work on our part at this time, and the other two
6 are still a work in progress and may require Commission direction
7 before final resolution.

8 Next slide, please?

9 The first one is the use of a mechanistic source term, or
10 MST, approach by the potential applicants to evaluate the design basis
11 accidents, or DBAs. MST is the result of a design specific and
12 scenario specific analysis of fission product release based on the
13 amount of fuel damage and cladding damage resulting from the specific
14 accident sequences being evaluated.

15 Use of an MST approach allows industry to
16 approximate more realistic releases for DBAs when compared to the
17 current DBA source terms that result from bounding deterministic
18 modeling.

19 Industry will likely propose to use MST to show
20 compliance with siting and safety analysis regulations without needing
21 to request exemptions.

22 NEI submitted a white paper on this topic in 2012 and
23 both NuScale and mPower submitted proprietary reports in 2013
24 regarding their approaches for using mechanistic source term. We've
25 met with NEI, NuScale and mPower to discuss their approaches and to
26 provide feedback.

1 As we summarized in a publically available memo to
2 the Commission this past June, the staff is currently evaluating the
3 overall approaches proposed by the industry and we have indicated
4 during those meetings that more specific information is needed. For
5 example, for estimated deposition inside containment for a particular
6 design.

7 This may require Commission input on issues that
8 have a strong technical element but that also have a policy element
9 embedded in them. An example of a policy element regarding this
10 issue could be whether the agency would allow credit for the operation
11 of an Emergency Core Cooling System during an accident. We will
12 continue to keep the Commission informed of progress in this area.

13 Next slide, please?

14 Mechanistic source term can be used as an input to the
15 size of the emergency planning zone for SMRs. As you know,
16 emergency preparedness and emergency planning zone size
17 requirements have a long history behind their development.

18 With respect to SMRs, the industry has indicated that it
19 believes the SMR design smaller cores, passive safety features and
20 slower accident progression should require smaller EPZ sizes than
21 those required for currently operating plants.

22 It's important to note that these assertions have not yet
23 been evaluated in detail by the staff.

24 In 2011 the staff sent up a Commission paper that
25 discussed the idea of a scalable emergency planning zone size which
26 would use a dose-distance approach to determine the EPZ size needed

1 for SMRs.

2 That was an information paper and, therefore, the
3 Commission did not directly speak to this issue.

4 Last December, NEI submitted a white paper on its
5 proposed generic framework for determining the EPZ size for SMRs
6 and we held a public meeting to discuss it in April. Their approach is
7 described a high level in the white paper and would use, among other
8 things, probabilistic risk assessment and severe accident information to
9 determine the appropriate EPZ size.

10 In June, we sent NEI written questions on the proposal
11 and we had a public meeting with them use last week to discuss their
12 possible responses to our questions.

13 We're currently in the early stages of developing a vote
14 paper for the Commission which will provide options on how
15 extensively, if at all, the staff should potentially revise the EP
16 requirements for SMRs. This paper is due to you in early June and we
17 look forward to getting feedback from the Commission on this important
18 topic.

19 Next slide, please?

20 The next specific approach that may be unique for
21 SMRs is the one for control room staffing. Based on the use of
22 automated control systems, the passive safety features and the slow
23 progression of accidents, SMR designers are considering changing the
24 number of operators they would have in the control room.

25 For example, one vendor is evaluating whether having
26 one operator for every three modules would be sufficient or they may

1 want to control up to 12 modules from one control room.

2 We have recently updated the guidance in
3 NUREG-0711 regarding human factors engineering and we believe this
4 guidance provides the basis for us to evaluate requests for exemptions
5 from the regulations regarding control room staffing.

6 Next slide, please?

7 Since we have appropriate and updated guidance in
8 place, we believe we are prepared to successfully evaluate the
9 proposals of vendors and no further action is needed on our part at this
10 time.

11 As experience is gained by the staff and if it appears
12 there would be frequent requests for exemptions from this part of the
13 regulations, then we would consider whether a rule change is needed.

14 Next slide, please?

15 The next issue is security. It is our understanding that
16 the industry has been incorporating security considerations into their
17 designs as they evolve.

18 Some SMR design features may improve both safety
19 and security aspects of a design. For example, our reactor core and
20 spent fuel pool that are located underground may result in improved
21 safety and security.

22 The applicants may use this built in increased security
23 as a basis for a request to decrease the number of guards on site.

24 Along with NSIR, we have had discussions with
25 potential applicants about this, but have not yet received concrete
26 proposals.

1 Next slide, please?

2 The staff has reviewed our current security regulations
3 and guidance against possible approaches used by SMR applicants
4 and decided that because our security framework is comprehensive
5 and robust, it is adequate to successfully analyze the applicant
6 proposals as we understand them, therefore, no further action is
7 needed on our part at this time.

8 Next slide, please?

9 For my last topic, I want to switch gears and instead of
10 talking about light water SMRs, I'm going to talk for a minute about
11 non-light water reactor designs.

12 There has been low-level but consistent domestic
13 interest in designs that do not use water for cooling, for example,
14 sodium fast reactors and gas-cooled reactors.

15 Although it will be several years before we receive a
16 non-light water application, the staff is being proactive now. We're
17 thinking strategically about what changes might be needed to our
18 current regulatory framework to be ensured that we will be prepared to
19 efficiently and effectively review any such applications and ensure
20 public health and safety.

21 We've undertaken and completed several activities
22 lately to make progress toward this goal. For example, in 2012 we
23 developed an issue to report to Congress titled Advanced Reactor
24 Licensing. This report presents our near term and long term strategic
25 approaches for both light water SMRs and non-light water reactors and
26 discusses needs in such areas as research and test facilities.

1 Last year we initiated and are now implementing a two
2 part joint initiative with the Department of Energy to look at each of the
3 general design criteria in Appendix A of 10 CFR Part 50 and determine
4 which ones might need to be revised so they would be relevant to
5 non-light water designs.

6 Also last year the Generation 4 International Forum
7 issued a document with proposed safety design criteria for sodium fast
8 reactors. We reviewed this against our regulatory requirements and
9 transmitted our comments in January of this year.

10 Next slide, please?

11 In July of this year, we completed a multi-year
12 interaction with DOE regarding the Next-Generation Nuclear Plant
13 which is focused on a conceptual high temperature gas reactor design.
14 We transmitted our final assessments to DOE on such topics as fuel
15 qualification and mechanistic source term.

16 Lastly, we've increased our efforts to engage
17 internationally on this topic. For example, we've participated in recent
18 IAEA meetings and international conferences regarding non-light water
19 reactors.

20 This completes my part of our presentation and I will
21 now turn the discussion over to Glenn.

22 MR. TRACY: Thanks, Anna.

23 Slide 31, please?

24 In closing, I'd obviously like to acknowledge the
25 progress made by the NRO staff and our partner agency offices in
26 continuing to prepare for small modular reactor applications.

1 We've identified the policy issues that require
2 Commission interaction and we look forward to continued work with our
3 stakeholders and engaging with you in the future on these important
4 issues.

5 As part of these efforts, the staff is participating in and
6 leading strategic international interactions consistent with our forward
7 looking vision for multi-national cooperation.

8 In summary, our preparations and ongoing interface
9 with our stakeholders and the industry will ensure that the agency
10 continues to be ready for small modular reactor applications when they
11 arrive.

12 We look forward to your questions.

13 CHAIRMAN MACFARLANE: All right, thank you very
14 much. We'll turn to Commissioner Burns.

15 COMMISSIONER BURNS: Thank you and thank you
16 for the presentations.

17 I'd like to start perhaps on the international sphere.
18 I'm trying to understand what we see at least the benefits from the
19 participation in the IAEA's SMR regulators forum will be, partly because
20 I say when I look in context the time lines for it and also knowing having
21 just come from an international organization that things, not that they
22 move slowly because people want to move slowly, but because you're,
23 unlike a lot of the organizations, you have to reach consensus on
24 things.

25 And when I look at the time lines, it's talking about
26 2017. So what I'm trying understand is, where do we see the net

1 benefits to us from that participation? Because if we're talking about
2 having us start to reach decisions and applications and things like that
3 in the 2015-16 time frame, I'm not sure what that's going to do for us.

4 So, I'd like to get some ideas about or an idea about
5 where you see the longer term benefits from that participation?

6 MR. TRACY: I'll open and then turn to Mike and Stu
7 who'll be leading the effort.

8 Commissioner, obviously we have extensive
9 experience through the multi-national design evaluation program.
10 They're moving along in progress in pacing ourselves associated with
11 decisions as we do reviews.

12 So using that, we're not going to slow down associated
13 with the policy matters that we put on the plate and would be presenting
14 to you including the emergency preparedness paper in the near term.

15 But, every time that we come before you, we want to
16 have a sense of where our international partners are and where they
17 would be thinking with regard to what we're presenting and that's the
18 approach.

19 Mike, if you'd like to clarify, Stu will be leading.

20 MR. MAYFIELD: Well, it's simply that we always
21 benefit by understanding more about what's going on in the
22 international community. As Glenn said, we're not going to pace
23 ourselves based on consensus building at IAEA, however, if there are
24 new ideas come up out of the discussions that is going to come out of
25 Stu's forum, then we think we would benefit from those,
26 understanding and we might end up having to reverse something we

1 had started down. While I think that unlikely, we want to be better
2 informed as what's going on.

3 The other piece of it is that we have had just a parade
4 of international entities interested in what we are doing with SMRs.
5 When you do those one at a time, it really gets to be resource intensive.
6 So this gives us an opportunity to bring all of those interested parties
7 together to discuss these issues one time in one setting and therefore,
8 improve better understanding or improve understanding around the
9 world on what we are doing, why we're doing it and then gaining benefit
10 from their insights as we go.

11 Stu, if you have anything?

12 MR. MAGRUDER: I can't add much to that, but I will
13 say that the goal of the forum is not to necessarily reach consensus
14 opinions or consensus views on things, it's more to share information.
15 This was kind of a natural progression from discussions with other
16 regulators who just decided that it would be helpful to share
17 experiences.

18 We're all dealing with similar issues so we thought it
19 would be helpful to talk about them to understand where each country is
20 coming from, why they made those certain decisions and that would
21 benefit us, we hope.

22 COMMISSIONER BURNS: Okay, that's fair enough.

23 Would you say that there are some countries that might
24 actually, put it this way, sort of get it now with respect to the SMRs?
25 Are there some of them who are dealing with this who probably already
26 have insights that are perhaps a little more advanced than we are or are

1 we all sort of in the same boat which is, in some ways, the impression I
2 have?

3 MR. MAGRUDER: I personally think some countries
4 are ahead of others. In speaking with the Russians, for example. I
5 mean they are building their barge-mounted reactors now and they've
6 had interesting discussions with us about EPZ and other issues related
7 to that.

8 So, the countries that -- in Korea also has, obviously,
9 designed and certified a reactor. They're a little bit ahead of us.
10 Other countries are kind of just very interested in where we might end
11 up.

12 So, there are variations and I think we can learn, we
13 can all benefit from them.

14 COMMISSIONER BURNS: Okay, good. One of the
15 things I heard I thought was interesting, particularly thinking about Part
16 52, which is now about 25 years old and it's hard to call it a new reactor
17 license process anymore.

18 But, I heard the reference to ESPs and help me out,
19 early site permits. What benefit do they have in the context of where
20 we are now?

21 If we're, again, because I think of the early site permits
22 as clearing particular sites, not designs. And they often use a site
23 envelope, you know, we know that it might be an AP1000 or it might just
24 be a large light water reactor.

25 So, I'm trying to understand why would somebody go
26 for the ESP in this circumstance? But that -- unless I misheard.

1 MR. MAGRUDER: Yes, I'll take that. TVA is now
2 considering an early site permit. As I mentioned, they had been
3 considering a construction permit application, actually, at the site but
4 changed their mind based on the timing of the vendor's design
5 certification applications.

6 I think in TVA's case, they want to capture all the work
7 they've done, the site preparation, environmental monitoring and things
8 like that at the Clinch River site and kind of capitalize on that
9 investment.

10 COMMISSIONER BURNS: So, it sounds --

11 MR. MAGRUDER: I can't speak for other utilities.

12 COMMISSIONER BURNS: Yes, so it sounds like it's
13 -- that's really the more the site specific, it's not that it has particular
14 benefits to SMR unless they did the emergency planning which it
15 doesn't sound like we're really quite ready on.

16 MR. MAYFIELD: There is a potential for opening
17 some dialogue on an approach to early site permit based on the
18 enveloping approach for, you know, that they're going to use for the
19 Clinch River site.

20 So, we're interested to see how that's going to evolve,
21 but TVA pursuing the early site permit at least offers an opportunity to
22 engage in some dialogue that we wouldn't have if we were having to
23 pace things.

24 COMMISSIONER BURNS: Okay, okay. When we
25 talked about non-light water reactors and potential changes to the
26 regulatory framework, where are the disconnects now between what

1 we have? What are the gaps?

2 MS. BRADFORD: I think in a broad sense, most of
3 our regulations are based on our 40 years of experience with light water
4 reactors and they're written that way and all of our guidance is written
5 that way.

6 So, like if you look at the general design criteria in
7 Appendix A of 10 CFR Part 50, specifically says these are for light water
8 reactors. They really only kind of, I think it says provide guidance for
9 non-light water reactors. So even that fundamental part of the
10 regulations would need to be tweaked a little bit I would say.

11 If you look at the GDC, some of them specifically say
12 coolant water. Well, if you have a sodium-cooled reactor, you don't
13 have coolant water.

14 So maybe that's just a wording change, but you want to
15 keep -- you want to make sure you keep the safety basis that's
16 underlying those GDCs in the first place.

17 COMMISSIONER BURNS: Okay.

18 MR. MAYFIELD: I think Anna's point, the underlying
19 safety bases for the existing regulations, we are LWR centric in the Part
20 50 regulations, the general design criteria and the overall regulations.

21 We need to move from that LWR centric approach and
22 address specific technologies while we're maintaining the focus on the
23 underlying safety considerations that are embedded in the regulations.

24 So, disconnects, it's more moving from a light water
25 centric set of regulations and guidance to things that are more
26 appropriate for other technologies and not losing sight of the safety

1 pieces we were trying to assure in the regulations.

2 So, its not like there's a fundamental disconnect, it's we
3 need to get things in a way that everyone can understand and move
4 forward.

5 MR. TRACY: Commissioner, I'd just add we'll be able
6 to even further respond to you with more clarity as we are looking
7 forward to the report from the DOE and the applicability of the of the
8 GDC and we'll be happy to share.

9 COMMISSIONER BURNS: Okay. Another question
10 I had and I think -- well, just follow-up the question I had for the first
11 panel with respect to how would you reflect on the lessons learned from
12 the implementation of Part 52 and you heard their response, how would
13 you see what we've learned and its implementation and what needs to
14 applied here?

15 MC. COLACCINO: So, when -- after we completed
16 the first -- the licensing of the combined license applications, Vogtle and
17 Summer, we actually did do a licensing lessons learned report.

18 From that, seven recommendations came and I hit on
19 almost every single one of them in my presentation, whether it be the
20 quality of the applications and the updating of the guidance, whether it
21 be the application guidance or the staff's review guidance.

22 One thing that I didn't hit is the update to the Part 52
23 regulations. That's a paper we hope to have to the Commission in the
24 next couple of weeks that will outline updating Part 52 applications to
25 the lessons learned from our large light water reactor reviews.

26 COMMISSIONER BURNS: Okay, thank you.

1 CHAIRMAN MACFARLANE: Okay. Thank you very
2 much for all your presentations.

3 I think this is a very helpful discussion that we're having
4 this afternoon on SMRs. I think it's important for us as an agency to be
5 aware of the variety of issues that are out there with SMRs as we are
6 planning our own resources, whether, you know, whether it's the
7 domestic market issues, the global market issues, other technical
8 issues associated with this technology and it's, I think, absolutely
9 essential for us not to be listening to one source of information.

10 That has caught us out in the past and that is why we
11 are now venturing down the Project Aim road.

12 So I think it's absolutely essential that we hear from a
13 variety of sources and that's why I think the variety on the external panel
14 was so important and I'm happy you're all listening to that and I'm very
15 glad that your participating in the international group and going on with
16 it and I think you guys made a great case for why we have to go forward
17 with that. It's absolutely imperative that we continue that.

18 It's important to know what other regulators are doing if
19 we're going to be an outlier on something, we had better damn well
20 have a good explanation of why that is.

21 So, I'm wondering, you know, I know this is sort of in its
22 infancy, but with MDEP and whatnot, there have been discussions on a
23 variety of these issues. And so I'm wondering what the thinking is on a
24 couple of the important issues out there like EPZs. If you could share
25 some of that, that would be great.

26 You know, as we pointed, out, the Koreans have

1 licensed one of these already. What were they thinking? What are
2 others thinking?

3 MR. MAGRUDER: So we are, as you mentioned, we
4 are at the early stages of these discussions with other regulators, in
5 particular EPZ and in each regulator is being presented with cases from
6 vendors claiming different safety claims.

7 The Canadians, for example, are getting or are having
8 discussions with vendors that want a site, very small reactors in the
9 northern part of Canada, same with the Russians.

10 So the EPZ issues are different there than they would
11 be for siting in new relatively populated area.

12 I think, you know, as Anna mentioned, the source term
13 issue is really the key and we've had initial discussions about how we're
14 each approaching that, what technology we're using, whether we can
15 share codes and assumptions and things like that.

16 So, the EPZ group will consist of experts from each of
17 the regulators and their TSOs if needed to actually get down into some
18 of the technical discussions about how we're going to evaluate what
19 other policies are associated with that.

20 CHAIRMAN MACFARLANE: Anybody else want to
21 add anything?

22 MR. MAYFIELD: If I could, Chairman, there does -- I
23 think Stu's trying to be polite here. There's no consensus in the
24 international community on how to deal with emergency preparedness
25 and so that's part of -- I doubt that we're ever going to achieve an
26 international consensus.

1 But to better understand the stressors in the different
2 regulators and why they're making the decisions they're making, and for
3 some of the new entrant regulators to help influence their thinking. Not
4 that they're going to do what we're doing, but to help them understand
5 the underlying considerations, why you worry about this. Is it ten
6 miles? Is it five miles? Is it the site boundary? Understand what's
7 driving those decisions.

8 We think that's an important step forward in helping
9 others understand particularly the new entrants understand what it is,
10 what emergency preparedness is and why they need to consider it and
11 consider it carefully.

12 So, it's a little different spin on it but there isn't a good
13 international consensus.

14 CHAIRMAN MACFARLANE: Good. So, what are,
15 for you guys, I mean you gave us a nice presentation, but what are, in
16 your view, some of the main challenge areas? What are the areas of
17 particular challenge for us as an agency and what do you see as areas
18 of particular challenge for this technology?

19 For us as an agency, you know, there are some
20 features that are going to be new and different, putting it underground
21 would be one.

22 So, you know, what are those? I just want to put them
23 on the table.

24 MR. TRACY: Well, I'd like to take it to the detailed
25 level like you just went specifically to going underground. But, at the
26 highest level when we say 39-month review, we have to mean it and

1 then try and to do everything we can to honor that so the credibility of
2 our reviews and how we conduct them efficiently effective are, in fact,
3 strengthened and ensured.

4 With that, though, we have to have the design, good
5 engineering leads to good licensing. Every applicant, every vendor in
6 front of the Office of New Reactors has heard that and understands
7 that. So I believe the challenge will be conducting this dance
8 effectively and that the readiness for their detailed level at the proper
9 level as Perez indicated is, in fact, in front of us and then we're able to
10 have these dialogues with our DSRs intact in order to conduct this
11 view and do it methodically.

12 And you asked which is the highest challenge, that is in
13 the forefront of my mind. Then secondly, having things like emergency
14 preparedness in front of the Commissioners so that you can help guide
15 and shape -- it's not that they couldn't do a ten mile EPZ at this time, but
16 what is the right thing to do and having the staff's efforts informed by
17 international colleagues to be able to present that to you with the best
18 thinking.

19 Those are the two on my mind.

20 CHAIRMAN MACFARLANE: Anybody else? Mike?

21 MR. MAGRUDER: Yes, let me just get to -- I've
22 covered some technical issues.

23 CHAIRMAN MACFARLANE: Yes.

24 MR. MAGRUDER: I mean the staff has had really --

25 CHAIRMAN MACFARLANE: I like the technical stuff.

26 MR. MAGRUDER: Okay, me, too, actually.

1 We've had some really good interactions with the
2 vendors and I was happy to hear Rick Perez earlier say that the industry
3 thinks they're beneficial too, because the staff certainly does.

4 But some of these designs obviously have things we
5 haven't reviewed before having control rods inside a vessel, for
6 example, or relying totally on natural circulation for all the safety
7 systems.

8 So, there's some really interesting discussions with the
9 vendors observing their test programs, making sure that they're
10 complete, making sure that the codes that they're using to analyze the
11 designs are applicable for the size of the plants and things like that.

12 We've been working through those issues, but they're
13 not resolved yet. So, I think getting those resolved before we start the
14 review is going to be a big challenge because there's pressure,
15 obviously, to submit an application but there's also pressure to have all
16 the work done before the application is submitted.

17 CHAIRMAN MACFARLANE: Anybody else? Mike?

18 MR. MAYFIELD: Chairman, without going into too
19 many design -- well, the vendor specific issues, we've been talking and
20 I think we've briefed the Commission previous on multi-module
21 licensing considerations.

22 The spin-offs on that are multiple. What do you do
23 about multi-modules and if you think the NuScale design with up to 12
24 modules in a common pool of water? What do we do about the PRA?
25 Do we think about PRA simply in terms of individual modules or do we
26 think about it in terms of the facility?

1 That goes then to Price-Anderson considerations. Do
2 we consider the requirement for primary and secondary entrants, how
3 that plays out simply on a per module basis or do you go to the facility?
4 It's night and day difference.

5 So there are a number of things like that. Again, for
6 NuScale, their desire to have multiple modules under the control of the
7 single operator.

8 CHAIRMAN MACFARLANE: I was going to ask
9 about that.

10 MR. MAYFIELD: Exactly how that's going to play
11 out? The level of automation they're considering in their control room,
12 while admirable from a technical standpoint, is likely to create some
13 challenges for the technical reviewers as they get into it.

14 CHAIRMAN MACFARLANE: Airbus versus Boeing,
15 you know.

16 MR. MAYFIELD: Ma'am, I'm sorry?

17 CHAIRMAN MACFARLANE: Yes.

18 MR. MAYFIELD: So --

19 CHAIRMAN MACFARLANE: Inside joke, I don't
20 know.

21 MR. MAYFIELD: So there are a number of these but
22 we, while NuScale has been perhaps the most obvious of them, we
23 were seeing similar kinds of considerations to a lesser degree with
24 mPower.

25 Both the Westinghouse design and the Holtec design
26 are single modules for a control room, single modules in a particular

1 building as opposed to multiple modules. Yet, they also were creating
2 some interesting issues.

3 The Holtec design they have announced publically
4 using a canistered fuel. So rather than individual assemblies, they lift
5 the whole assembly out --

6 CHAIRMAN MACFARLANE: That's interesting.

7 MR. MAYFIELD: -- and put it in a cask to be dealt
8 with in fuel shuffle outside the reactor. That's going to create some
9 interesting challenges.

10 So you look at the individual designs, they are
11 interesting, challenging technical issues that go outside just looking at
12 the reactor design, that canistered fuel is going to raise issues for our
13 friends in NMSS as well as what we do for the reactor design.

14 So, there, as you start looking at these, they touch
15 such wide range of issues that start to affect multiple offices across the
16 agency.

17 CHAIRMAN MACFARLANE: Right, right. Glenn,
18 you know in a Commission paper that you sent up on the readiness to
19 license small module reactors, I think you noted that there was one
20 potential gas-cooled reactor application coming in 2017?

21 MR. TRACY: Possible.

22 CHAIRMAN MACFARLANE: Possible, okay. So,
23 that's as much as you can say about it possible? I mean do we need to
24 be preparing in some other way for it?

25 MR. TRACY: I don't like to be speculative with the
26 agency's resources as the business line owner. We are preparing

1 diligently, I thought John Kelly was very articulate in providing an
2 answer about the ability and readiness. I want to have the critical skills
3 in place with the Office of Research and NRO and our colleagues that
4 we can use in terms of, you know, their insights, internationally as well
5 who are further along in some cases.

6 So, I'll let Mike provide any further. But I think we are
7 still poised and aware of what needs to be done. I, again, look very
8 forward to the gap analysis of our general design criteria and that'll help
9 me inform my resources needs and then I'll communicate that to you.

10 Mike?

11 MR. MAYFIELD: The work we did with the DOE on
12 the next generation nuclear plant high-temperature casks, a lot of focus
13 on the pebble-bed technology, that's what the, as we understand, from
14 limited pre-application engagements from this vendor. That's what
15 they're talking about, it's a very small design.

16 So, we can build on the work that we did with DOE for
17 NGNP. There would be a need for some exceptions, some
18 exemptions from certain aspects of the regulation. The specifics of the
19 approach they're talking about, again, that's only been very cursory
20 discussion with us so far.

21 Is 2017 viable? Never say never, ma'am.

22 CHAIRMAN MACFARLANE: Okay, right.

23 MR. MAYFIELD: But we haven't had extensive
24 activity with them to date, so I'm not overly concerned about them
25 showing up in 2017 and us being caught unawares.

26 CHAIRMAN MACFARLANE: Okay, great, thank you.

1 Commissioner Svinicki?

2 COMMISSIONER SVINICKI: Thank you for your
3 presentations. I'll begin with a couple of observations and then I will
4 have a few questions.

5 The first observation is that this morning, the NRC had
6 a recognition and a commemorative moment that we took a little time
7 out to recognize a very significant milestone achieved, I'll say principally
8 by the Office of New Reactor and its staff but also by all the supporting
9 organizations within NRC.

10 And as much of the press of business day to day
11 carries us all forward, I think that the history of organizations is made up
12 of these individual milestones that are achieved over time.

13 The certification of the ESBWR was a very, very
14 significant undertaking for NRO and the NRC staff who supported them
15 in that mission and I thought it was a very appropriate and a positive
16 recognition.

17 So, Glenn, I want to once again congratulate you.
18 And these milestones are important, you know our tendency is to just
19 pick up the next piece of paper, but it's really important that you and
20 your staff, you know, take that moment and provide that recognition.

21 Thank your partners throughout the agency who make
22 it possible and all of the administrative support that goes into
23 something. We all know there's a lot of paper and things to be moved
24 in this agency.

25 So, congratulations, once again, to you and your team
26 and all of those who worked to support you in that. I think that that's

1 very important.

2 My other observation has to do with something that
3 hasn't been mentioned here today but I've been impressed by and think
4 is very important. I think many Commissioners have opportunities to
5 be invited to address SMR gatherings and, you know, there's been a lot
6 happening in vendor space and supply chain and there is tremendous
7 interest in small modular reactors.

8 As a result, there's a lot of technical meetings,
9 conferences, seminars and sometimes Commissioners go and speak.

10 What impresses me is that NRO is not sitting back and
11 just saying, we wait until inquires come to us. You know, I will listen to
12 a panel about the process and Anna Bradford's on that panel and she's,
13 you know, she's giving a great overview of our readiness and where we
14 are and open issues.

15 I pop into another break out session and it's about fuel
16 qualification for advanced reactors. We've got someone from the
17 office of NRC Office of Research there and, you know, speaking of
18 ways to kind of have a force multiplier and get awareness and
19 understanding of, here's what NRC's working on, here's our process,
20 here's our readiness, here's what's still an open item.

21 That's a great way to talk to -- when Anna gave her
22 talk, I think there were a couple of hundred people in that audience.
23 So that's a real force multiplier.

24 And also, you know, those sessions frequently have
25 Q&A and I want to credit the NRC staff, I think that they answer the
26 questions when I'm in the audience, I observe great, you know,

1 forthrightness about, here's what we know, here's what we're still
2 working on, here's where there's uncertainty. And I think that that's
3 really our obligation is to be clear about that.

4 It's, Glenn, a little bit what you talk about of just keeping
5 a very open state with people. It's that we're expected to have all the
6 answers right now, but let's be very clear about what has uncertainty
7 and what is it that we're feeling pretty sure of.

8 So, I just want to compliment you since we've not had a
9 focus on these issues for three years or so. I want to say that I've, you
10 know, I've kept a weather eye on where you are and what you're
11 engagement is with the stakeholder community and with interested
12 parties.

13 And I think you're out there, you're not shy, you're not
14 waiting, so I appreciate that and wanted to draw some attention that
15 that's an element of what you're doing is getting your experts out there.

16 You did hear my engagement with the previous panel
17 about design specific review standards. You must know about some
18 of the heartburn that, you know, we hear about as we're out and about
19 is people want you to be able to provide as much clarity to them as early
20 as possible.

21 A year, to me, seems like a lot of time, however, when I
22 think about all that they prepare to submit an application or something
23 for review, it's very, very detailed or at least it should be in order to pass
24 the acceptance review.

25 How do you respond to that? You know, you're
26 targeting 12 months, how did you arrive at that? And is there any back

1 and forth in terms of if you could have something out earlier, you would?

2 Anyone who wants to respond.

3 Joe, you went into a lot of detail about that, maybe you
4 want to respond to that.

5 MC. COLACCINO: Yes, and as I was listening to you,
6 I was thinking about some of the other guidance that we've developed,
7 too, and some of the natural give and take that occurs like on the
8 readiness assessment because we did some version of that when we
9 had the first -- when we had the design certifications and reference
10 COLAs come in and thinking about how we wanted to come a little bit
11 earlier than that, but they said no, we're not ready yet but if you came
12 later, then we wouldn't have enough time to actually react to what the
13 NRC has said.

14 And we went through those same things that you were
15 talking about, too, when we developed the readiness assessment trying
16 to get out there in six months because we did want to go as early as we
17 could.

18 With regard to the design specific review standard, we
19 think that the 12 months, it is a balancing act between the two things
20 and it also takes the SRP into account as well as we continue to update
21 that.

22 We think that that is -- it is a reasonable compromise
23 and I'd like to defer to Stu to maybe answer a little bit more about that.

24 There are probably some cases where we could do it
25 sooner, but it just depends on what kind of details that we get.

26 COMMISSIONER SVINICKI: Okay, thank you. Stu?

1 MR. MAGRUDER: Yes, I agree with everything Joe
2 said. I also want to add that the pre-application interactions we've had
3 with these vendors is far and away a lot more than we've had with other
4 vendors.

5 So, we hope, anyway, that there won't be any surprises
6 in the DSRS. We've had -- we would hopefully have discussed all the
7 issues, made clear our expectations through normal discussions with
8 the vendors. So, the DSRS should just be kind of codifying the things
9 we've already discussed.

10 I agree there is a balancing act and we know that the
11 vendors are still updating their designs so to try to capture the sweet
12 spot. We think a year is about right, but time will tell on that.

13 COMMISSIONER SVINICKI: Okay, I think, yes, fair
14 enough. I don't think there's any one magic answer on that and it
15 sounds like you just got some give and take and that you'll probably
16 inform future processes depending on how the first one or two go. So I
17 appreciate that feedback loop.

18 Speaking of the feedback loop, Joe, you mentioned a
19 paper on its way to the Commission on looking at Part 52 which, as
20 Commissioner Burns mentioned, yes, is this extremely young juvenile
21 thing that's 25 year old.

22 But how would that affect or impact any applications
23 that are under Part 52 that are currently in-house? Is the staff
24 proposing things that would have an impact on things in-house and, if
25 so, I'm not asking you to discuss it, but would the paper say, if the
26 Commission goes a certain course or the agency goes a certain course,

1 these are the implications for in-house work?

2 MR. COLACCINO: Thank you for the question. No,
3 it doesn't specifically affect any of the applications that are under review
4 right now, so that's a very important point, so thanks for that.

5 The paper has two things I can talk about just at a
6 higher level.

7 One thing is, is that we're looking at the Part 52, the
8 requirements for Part 52 applicants and when we were looking at
9 having a potentially a construction permit application come in. We
10 wanted to say, hey, we have 52 requirements, do they apply to Part 50?
11 And so that's one of the topics it's going to cover.

12 And then the other topic will be, we've been carrying for
13 since the last time that Part 52 was updated in 2007 a number of things
14 that we would like to adjust or to fix and there are more -- some of them
15 are administrative in nature, some of them are a little bit more than that.

16 So, there's another piece of the paper that will talk
17 about, though, in a higher term to try to sell why this is a good thing to
18 do and we're actually, we're hoping that the Commission will approve
19 us to go forward with rulemaking on Part 52.

20 COMMISSIONER SVINICKI: Okay. And I, again,
21 mention it because to the extent certain applicants were flat lining over
22 the earlier comment about we're going to change Part 52, I think we can
23 turn the ambulances around of the heart attacks that might have been
24 created on that.

25 Finally, Anna, I would ask -- you talked about the status
26 of the technical and policy issues. In the staff slide deck, but not

1 presented, is a B1 and B2, but it had listed the same issues that were
2 presented by the staff.

3 And for a whole lot of them, it says no further action.
4 It's things like control room staffing and stuff like that.

5 So, what does that indicate? Because you still need
6 to -- you said we're looking at, you know, someone to operate 12
7 modules with one operator and things. So, there's obviously some live
8 discussion going on.

9 MS. BRADFORD: Yes, these are the 17 issues that
10 we discussed in SECY 10-0034 when we were -- I think of it as kind of
11 brainstorming of policy or technical issues that might affect SMR
12 licensing.

13 And we looked at each of these since that SECY paper
14 and decided whether adjustments needed to be made to our
15 regulations, to our guidance, or some kind of framework.

16 Some of these when we look at the example, for
17 example, licensing of multi-module facilities, that was a paper we sent
18 up to the Commission, it was just an information paper about how would
19 you license modules? Would you license each one individually?
20 Maybe we could do a master license type of thing like we do with
21 materials licensees. Maybe you would have one license for all 12
22 modules.

23 And it said we think our preference is to license each
24 module but we were going to wait until we heard something back from
25 industry in case they had some sort of compelling reason to do it
26 differently.

1 So, in our mind, we've looked at that, we know what we
2 think our path forward is. There's no more action we can take on it at
3 this time. If they came in with something that wouldn't be able to be
4 handled under what we think is the path forward, maybe we'd have to
5 rethink it.

6 COMMISSIONER SVINICKI: Okay. So, you'll
7 evaluate and react to things that come in.

8 MS. BRADFORD: Yes.

9 COMMISSIONER SVINICKI: No further action
10 doesn't mean that you're not willing to discuss the topic or engage it or
11 something.

12 MS. BRADFORD: No, absolutely.

13 COMMISSIONER SVINICKI: I just wanted to clarify
14 what that meant.

15 Okay, thank you, Chairman.

16 CHAIRMAN MACFARLANE: Okay, Commissioner
17 Ostendorff?

18 COMMISSIONER OSTENDORFF: Thank you,
19 Chairman. Thank you all for your presentations.

20 Glenn, I want to commend you and your team for your
21 flexibility and agility in reshuffling work priorities as some of these
22 schedules have changed the last few years. So, Atta boy, Atta girl to
23 everybody here.

24 Stu, I want to start out with you. I wanted to focus on
25 slide seven, eight and nine from your presentation and I thought those
26 were very helpful.

1 In particular, I thought the optimal scenario requiring
2 satisfying key assumptions was very targeted towards, quite frankly,
3 the industry vendors here and I thought that was good.

4 You know, the request for additional information, the
5 timeliness in responding to those as well as the quality of submittals, in
6 particular, I know have been a recurring theme in a lot of different areas
7 of the agency, not just SMRs but across many business lines here,
8 reactors, fuel, et cetera.

9 To what extent do you have a sense that industry
10 vendors are embracing the need or are on board with this quote,
11 program to provide quality answers in a timely manner to support the
12 39-month schedule?

13 MR. MAGRUDER: So, I guess let me first say that
14 there is a lot of discipline required to do this 39-month schedule, both on
15 the industry part and on the staff part and I think --

16 So, we both have a role to play and my feelings, based
17 on discussions with vendors so far, is that they are committed to doing
18 this.

19 As I said, the pre-application interactions we've had
20 with them have been very helpful. We've identified the key issues, I
21 think. I think we've made good progress on identifying what the testing
22 requirements, what the submission requirements are going be.

23 As I keep referring to Mr. Perez's presentation, but I
24 think he hit it right on. I mean the issue really is the level of detail in the
25 application and the more we discuss that before an application comes
26 in, the closer I think we'll get to what the staff wants. So, I think that they

1 are committed to doing it.

2 COMMISSIONER OSTENDORFF: Okay.

3 MR. TRACY: I'd just add sir that over the course of
4 some many months, using a Navy term, I've seen a sea change and I
5 think I feel it in the meetings we have with the senior leadership of our
6 vendors and applicants of understanding.

7 When we did not accept the Korean Hydro and we
8 made it clear why, we articulated 12 or so positions. We've had very
9 professional dialogue. We'll see the return response.

10 And then when dealings with other vendors, I'm not
11 going to go into names, but in terms of those dialogues and the manner
12 in which those are conducted and the understanding, I'm just trying to
13 echo what Stu has indicated.

14 Although different for the small module community, I
15 think the entire industry, as Mr. Perez indicated, is speaking and
16 understanding the expectations. It's on our own onus and discipline
17 though to make sure that that guidance is clear and it's not just verbal.

18 COMMISSIONER OSTENDORFF: Okay, thank you.
19 And just one follow-on question back to Stu on that on your page seven
20 here, your different phases. I'm assuming that you've coordinated with
21 John Stetkar and Ed Hackett on the Advisory Committee on Reactor
22 Safeguards to ensure that we're all -- is that a fair statement?

23 MR. MAGRUDER: Yes, yes, it is very fair. As a
24 matter of fact, we initially thought we might be able to do a four phase
25 review and only give the ACRS one shot and we quickly agreed with
26 them that that's not the right way to go. So, we've had a lot of

1 discussions with the ACRS.

2 COMMISSIONER OSTENDORFF: That's good.
3 And I think the ACRS, when they know what they need to do and they
4 have the big picture plan, they've been extraordinarily responsive to the
5 staff and the Commission, so that's good. I'm glad you all have had
6 those discussions.

7 Anna, I want to go to you for a minute, if I can. But it's
8 somewhat, I'm going to ask for maybe a specific example to highlight
9 the question I asked about -- I asked Stu about, you know, quality of
10 information.

11 To date, and this is maybe somewhat of an ambiguous
12 question, but trying to see how would you as a branch chief
13 characterize your experience in receiving detailed information to date
14 from perspective vendors given the fact that, you know, their design is
15 not complete but they're working towards certain objectives time wise?
16 Does that make sense?

17 MS. BRADFORD: Yes, it does. I think that, as Glenn
18 said, it's a little bit of a dance. They move a little bit forward and they
19 want to get a thumbs up from us on that little bit of movement so we
20 have some discussions and some evaluation and then we give them
21 some feedback on, yes, that looks kind of reasonable and then they
22 take another baby step.

23 So, for example, from a mechanistic source term, DOE
24 is working with EPRI to do some studies on deposition inside
25 containments. We just had a meeting with them last week and they
26 presented their preliminary calculations and findings and they're

1 interested in getting some of our informal feedback on that.

2 So, it's -- we do need more from them, but I don't think
3 their pace is not incommensurate with their application dates.

4 COMMISSIONER OSTENDORFF: So, it's not
5 commensurate?

6 MS. BRADFORD: It is not incommensurate.

7 COMMISSIONER OSTENDORFF: There's a big
8 difference between the two. Okay, not in -- okay, I'm trying to get my
9 two negatives. Okay, I think I understand that.

10 Okay, Mike, you mentioned something that got my
11 attention. You were talking about multiple modules and it raises the
12 sector of, you know, how many operators can supervise and at previous
13 Commission meetings, at least two this year at this table, not involving
14 you, we've had the topic of human reliability analysis brought forward,
15 HRA.

16 And I think the Commission, and correct me if I'm
17 wrong, but I think the Commission has heard from the Advisory
18 Committee on Reactor Safeguards at a recent meeting here at this
19 table on that topic.

20 And we've heard from an eternal panels that there's a
21 lot of work in this area, but not necessarily a consensus model for what
22 human reliability analysis methodologies might be most appropriate for
23 certain applications.

24 Can you talk for a minute or two about how you see
25 HRA applying to looking at the operator staffing sufficiency for multiple
26 modules or for even one module?

1 MR. MAYFIELD: Well, yes and no. I am not an
2 expert in HRA, so I don't -- I'm not even going to try and go down that
3 path.

4 What we have said to the industry and specifically
5 looking at NuScale because of their desire to change control room
6 staffing, we said that we would entertain exemption requests, not that
7 we would approve them, we would entertain them.

8 However, the basis for that, so they're going to have to
9 through first the thermal hydraulics and accident analysis scenarios,
10 identify then through a task analysis what actions the operator has to
11 take and on what timing, the laundry list of them.

12 For modules in a variety of situations, for example, you
13 may have a module that gets into some accident scenario at the same
14 time you have other multiple modules out for maintenance, at the same
15 time you have one on the crane hook being transported down to the
16 refueling station.

17 We want to understand that set of scenarios and then
18 look at the operator actions, the timing of them and then they're going to
19 have to demonstrate it in a full scale simulator to the satisfaction of the
20 reviewers that those actions can be taken with high reliability,
21 acceptable reliability, for the range of scenarios.

22 We will have to see how that plays out but it's that level
23 of detail, rather than rely solely on human reliability analysis, that will
24 plainly be a factor but we want them to demonstrate what they're able to
25 do with the timing.

26 The thesis from the vendor is that the timing for

1 operator actions is very long, that not much happens quickly in that
2 design so there, one, there isn't much to do and, secondly, they have a
3 lot of time to get around to doing it.

4 We'll see how that works out in the accident analyses
5 and in the thermal hydraulics analyses that support it. So, we don't try
6 to subscribe and agree with, yes, this thing all happens very slowly,
7 they're going to have to demonstrate it and then in justifying, reduce or
8 changing control room staffing, they're going to have demonstrate that.

9 That's what we laid out for them in some detail. I think
10 we presented that in a Commission paper as well. That's the
11 expectation on the industry to justify doing something different in control
12 room staffing.

13 If we had a enough applications for that where we were
14 starting to regulate by exception, we would likely come to the
15 Commission with a proposed rule change. But for a small number of
16 them, if it's only one vendor, perhaps not a regulation change of that
17 sort -- would get to be fairly expensive. So we'll just have to see how it
18 plays out. But right now, the expectation is do it through exemption by
19 them demonstrating what the needs really are. Does that answer your
20 question?

21 COMMISSIONER OSTENDORFF: Very well, it does
22 really. No, that was an excellent answer and I appreciate it.

23 I just know that this whole area of human reliability,
24 human performance has been one that if you take a cross cut across
25 various Commission meetings here the last few years, it's been one that
26 there's not a single set of answers and that's why I was interested in

1 asking the question, but thank you very much.

2 Thank you, Chairman.

3 CHAIRMAN MACFARLANE: Thank you.

4 Commissioner Baran?

5 COMMISSIONER BARAN: Thanks. Let me just
6 start by thanking you all for the work you've been doing on this.

7 I wanted to follow up on some of the questions that
8 Commissioner Svinicki was asking about design specific review
9 standards.

10 My understanding is that the staff was pretty near
11 completion of the DSRSs for the mPower design earlier this year.
12 What are the key lessons learned from that process that are applicable
13 and presumably already being applied to the DSRS from NuScale?

14 MR. MAGRUDER: So I'll try to start the answer to that
15 anyway.

16 I think we learned a lot from doing the mPower DSRS.
17 We actually standardized a lot of language among the sections in the
18 DSRS. So that was helpful.

19 We ran all the sections through OGC to get legal
20 approval of the sections before we published the draft.

21 We also learned a lot on some specific issues. One of
22 the major changes that we made was we completely revised the
23 chapter on reviewing digital I&C or digital instrumentation and control
24 systems.

25 So that portion, we think, can be probably directly
26 translated to NuScale. Also on regulatory treatment of non-safety

1 systems, a lot of information that the staff has gleaned from actually the
2 passive large light water reviews and applied to mPower and then we
3 translated that to NuScale.

4 In addition, there was some kind of internal processes
5 that we've learned a lot about that and we think we can improve.

6 So, as Joe mentioned, we think that the NuScale
7 DSRS will be a lot less resource intensive than the initial mPower
8 DSRS.

9 MR. COLACCINO: Yes, if I could add to that, the staff
10 has learned a lot too when they created those DSRSs, not only about
11 that but how it applies to the standard review plan in general. And as I
12 said before, the standard review plan applies to both operating and new
13 reactors.

14 The design specific review standard gives them an
15 opportunity to apply it to that design. But what we're seeing some of
16 the technical groups do is go back and look and see if actually the
17 changes that they have made are actually more generic.

18 And so, if you talk on NuScale, if you talk to the lead
19 project manager and he looks at the pie chart slide that I had there,
20 that's what was yesterday as the mix, but that mix could change as the
21 staff looks and says, well, this is actually a more generic change, we, of
22 course, have to work with NRR on that to make sure that that change is
23 acceptable for operating reactor reviews as well.

24 So there's a lot that's been learned from that and it's
25 getting more and more efficient as we do them.

26 COMMISSIONER BARAN: So, we have NuScale,

1 are we anticipating other vendor requests in the near term for DSRSs?

2 MR. MAYFIELD: Let me take that one. We have --
3 it's not a requirement that they have a DSRS. Of course, mPower and
4 NuScale have both said, yes, they wish to go down that path.

5 Westinghouse flatly said they did not. They had no
6 interest, they fully understood Part 52, they had a lot of experience with
7 Part 52 and they were quite satisfied to enter into a design certification
8 review on that basis.

9 Holtec is still evaluating. We think they would want to
10 go down that path, there are enough unique aspects to that design that
11 we think it would benefit them.

12 It is a resource intensive activity for both the vendor
13 and the staff. But we think they would likely go down that path.

14 For the non-light water designs, should we start seeing
15 them, we just don't know yet. I think they are still early enough in their
16 thinking that they haven't worked through that specific detail. So, we
17 don't know.

18 If I could just follow-up and actually with this and it
19 actually goes to a question that you had, Commissioner Svinicki, in
20 Joe's presentation, he pointed out that, what, 50 percent of the DSRS
21 would rely on existing SRP sections.

22 Stu made the point that a lot of what would go into
23 NuScale, DSRS builds on what we learned from mPower. So the
24 concern that has been expressed by some of the vendors are, oh,
25 we've got to have our DSRS simply come in to them what's in the public
26 domain and that the notion that, well, you need to do something earlier,

1 it's the design specific sections that we need to let their design mature
2 so we can write those sections, otherwise, we stop where we are and, if
3 you will, wing it when they actually submit a design.

4 We don't think that serves the interest of having a
5 DSRS. So there is a balancing act as has been suggested but there is
6 a lot of information where the vendors can understand exactly what the
7 staff's going to use in reviewing their application that's already out
8 there.

9 So, it's the design specific sections that we need to
10 hang back on and see what they actually have in the design and tailor
11 the review guidance to that design.

12 COMMISSIONER BARAN: I want to turn for a minute
13 to the 39-month optimal scenario for reviewing applications.

14 I think we all know that sometimes in the past NRC's
15 been criticized for not meeting licensing schedules. And so, I'd like to
16 get an understanding kind of on the front end of how realistic do we
17 think this 39-month scenario really is?

18 I know there are these assumptions or factors that
19 were listed, the five of them, how confident at this stage do you feel that
20 for say, NuScale, it's realistic to say 39 months?

21 MR. TRACY: I'll take that one. I've bene asked by
22 various Commissioners about that over the course of, you know, when
23 we developed it.

24 I recently heard on ESPN Radio that a recent coach
25 said that I'm not going to set low expectations because I just might meet
26 them and I thought that was a great quote.

1 So, the bottom line is if we're saying 39 months, the
2 assumptions are clear, I told you that how direct we are with our
3 applicants and vendors and I feel it in the room when we're talking to
4 them. You heard it from Rick Perez who represents a larger forum.

5 We have work to do in our discipline, there's not
6 question. But as long as we're able to have those conversations in a
7 timely fashion at the staff's level and then when it gets more serious set
8 mind of exactly what's going wrong in a timely fashion and be able to
9 take corrective action or at least inform you earnestly that, guess what,
10 it's not going to be 39, it's going to be whatever the basis, the reasons
11 and then legitimacy of that significance. That's how I'd like to proceed,
12 sir.

13 So, do I believe in it? We've said it, we do believe it.
14 Is it a dance that requires both knowing how to do it? Absolutely or it
15 will not be the case and we're trying to do that in every case, not just for
16 SMRs, but obviously for our ongoing efforts.

17 COMMISSIONER BARAN: And I know this question
18 is hard to answer in the abstract and not in the context of a specific
19 application, but when you look at these five, you know, key
20 assumptions to meeting that kind of time frame, which of these gives
21 you the most heartburn now? Which are you worried about blowing
22 schedules?

23 MR. MAYFIELD: I'll take that one. Based on the
24 experience with the large light water reactor reviews, it's the timeliness
25 of response to the request for additional information.

26 When you look at an expectation of a 30 or a 60 day

1 response and the average is running out in the 120 day, that's
2 problematic. We will not make a 39 month review with that kind of
3 response to RAIs.

4 When we look back at well, what led to that? The
5 applications weren't sufficiently complete when they were originally
6 submitted, that's why we changed the acceptance standard from
7 complete enough to being the review to complete enough to conduct
8 the review. It's a higher threshold.

9 We think that will help with not having requests for
10 additional information that takes the vendor off having to do detail
11 thermal hydraulics analysis and build new models that takes months
12 and months and months.

13 So, by raising our standard, not trying to set low
14 standards, by raising the bar on what's acceptable to being the review
15 to accept the application, we think we will help that. But the one in my
16 experience that was the most problematic is RAI response time.

17 COMMISSIONER BARAN: And so, you went right to
18 that question I had in mind next which is how high should the bar be for
19 accepting it? And you guys think you're at the right --

20 MR. MAYFIELD: We think we're at the right level.

21 COMMISSIONER BARAN: -- at the sweet spot on
22 how high that bar should be?

23 MR. MAYFIELD: We think we're at the right level,
24 we'll say it's a change in the phrasing of it that Glenn drove when we did
25 the lessons learned report, when we looked at where we were with the
26 KHNP application on what caused us to not docket that application, we

1 think if the other vendors learn from that experience, we'll get an
2 application that we can go to work on and not have these huge time
3 sinks in it, we think.

4 COMMISSIONER BARAN: I just want to quickly, I
5 know we're running out of time, ask about the assumption of minimizing
6 design acceptance criteria. Do you have a sense of how likely it is that
7 applicants intend to minimize DAC and what's your sense of need for
8 applicants to utilize DAC for piping?

9 MR. MAYFIELD: My background is --

10 COMMISSIONER BARAN: You have one second,
11 go.

12 MR. MAYFIELD: My background is that piping
13 design, they can complete it. I am, however, sympathetic to Mr.
14 Perez's point about we don't need to get down to the one inch piping.

15 If you look at the threshold of what the expectation is
16 complete enough for the Commission to make its safety findings, that
17 typically doesn't take us down to one inch piping. But we -- there is a
18 balance that we'll have to work through. I think they can get there, they
19 may not want to, but I think they can get there.

20 COMMISSIONER BARAN: Thank you.

21 CHAIRMAN MACFARLANE: All right. Any further
22 questions? No, all right, great. Well, thank you very much for your
23 presentations and for the discussion and thanks again to the external
24 panel. I think this was a good discussion of the situation with SMRs
25 and we are now adjourned.

26 (Whereupon, the above-entitled matter went off the

1

record at 4:08 p.m.)